

MEETING
STATE OF CALIFORNIA
AIR RESOURCES BOARD

ZOOM PLATFORM

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY
BYRON SHER AUDITORIUM
1001 I STREET
SACRAMENTO, CALIFORNIA

THURSDAY, JUNE 22, 2023
9:03 A.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

APPEARANCES

BOARD MEMBERS:

Liane Randolph, Chair

John Balmes, MD

Hector De La Torre

John Eisenhut

Senator Dean Florez

Eric Guerra

Davina Hurt

Gideon Kracov

Tania Pacheco-Werner, PhD

V. Manuel Perez

Bill Quirk, PhD

Senator Henry Stern

Susan Shaheen, PhD

Diane Takvorian

Supervisor Nora Vargas

STAFF:

Steve Cliff, PhD, Executive Officer

Edie Chang, Deputy Executive Officer, Planning, Freight,
and Toxics

Edna Murphy, Deputy Executive Officer, Internal Operations

APPEARANCES CONTINUED

STAFF:

Rajinder Sahota, Deputy Executive Officer, Climate Change and Research

Ellen Peter, Chief Counsel

Matt Botill, Division Chief, Industrial Strategies Division (ISD)

Linda Echegaray, Senior Attorney, Legal Office

Rhead Enion, Senior Attorney, Legal Office

Bonnie Holmes-Gen, Chief, Health and Exposure Assessment Branch, Research Division (RD)

Quinn Langfitt, PhD, Air Resources Engineer, Program Assessment Section, ISD

Carolyn Lozo, Chief, Oil & Gas and Greenhouse Gas Mitigation Branch, ISD

Chris Ruehl, Air Pollution Specialist, Climate Change Mitigation and Emissions Research Section, RD

Elizabeth Scheehle, Division Chief, RD

HAAGEN-SMIT AWARDEES:

Daniel Albritton, PhD, represented by Eliz Albritton, Susan Solomon, PhD

Prashant Gargava, PhD

Allen Goldstein, PhD

Bill Magavern

Shankar Prasad, MBBS

Jonathan Samet, MD

Peggy Shepard

APPEARANCES CONTINUED

ALSO PRESENT:

Jon Costantino, California Independent Petroleum Association

Riley Duren, Carbon Mapper

Ian Faloon, University of California, Davis

Elise Fandrich, Environmental Defense Fund

Kayla Karimi, Center on Race, Poverty, and the Environment

Ms. Morgan, The Originaldra

The Originaldra

Karen Urso, California Nurses for Environmental Health

Jasmine Vazin, Sierra Club

Christine Luther Zimmerman, Western States Petroleum Association

INDEX

	<u>PAGE</u>
Call to Order	1
Roll Call	1
Opening Remarks	2
Item 23-6-1	
Chair Randolph	6
Executive Officer Cliff	7
Dr. Ian Faloon	8
The Originaldra	10
Motion	12
Vote	13
Item 23-6-2	
Chair Randolph	14
Executive Officer Cliff	15
Staff Presentation	17
Jon Costantino	32
Christine Luther Zimmerman	33
Kayla Karimi	35
Karin Urso	36
Jasmine Vazin	38
Riley Duren	39
Ms. Morgan	41
Elise Fandrich	43
Board Discussion and Q&A	45
Motion	63
Vote	63
Item 23-6-3	
Chair Randolph	65
Executive Officer Cliff	67
Board Member Guerra	68
Board Member De La Torre	69
Bill Magavern	71
Board Member Quirk	74
Dr. Allen Goldstein	75
Board Member Pacheco-Werner	79
Dr. Jonathan Samet	81
Board Member Balmes	84
Dr. Shankar Prasad	86
Board Member Hurt	89
Peggy Shepard	91
Board Member Shaheen	95

INDEX CONTINUED

	<u>PAGE</u>
Item 23-6-3 (continued)	
Eliz Albritton	96
Board Comments	98
Public Comment	102
Closed Session	102
Adjournment	102
Reporter's Certificate	103

PROCEEDING

1
2 CHAIR RANDOLPH: Okay. Good morning. The June
3 22nd, 2023 public meeting of the California Air Resources
4 Board bill will come to order.

5 Board Clerk will you please call the roll?

6 BOARD CLERK HARRINGTON: Thank you.

7 Dr. Balmes?

8 BOARD MEMBER BALMES: Here.

9 BOARD CLERK HARRINGTON: Mr. De La Torre?

10 BOARD MEMBER DE LA TORRE: Here

11 BOARD CLERK HARRINGTON: Mr. Eisenhut?

12 BOARD MEMBER EISENHUT: Here.

13 BOARD CLERK HARRINGTON: Senator Florez?

14 BOARD MEMBER FLOREZ: Florez here.

15 BOARD CLERK HARRINGTON: Assemblymember Garcia?
16 Mr. Guerra?

17 BOARD MEMBER GUERRA: Guerra here.

18 BOARD CLERK HARRINGTON: Ms. Hurt?

19 BOARD MEMBER HURT: Hurt present.

20 BOARD CLERK HARRINGTON: Mr. Kracov?

21 BOARD MEMBER KRACOV: Here

22 BOARD CLERK HARRINGTON: Dr. Pacheco-Werner?

23 BOARD MEMBER PACHECO-WERNER: Here.

24 BOARD CLERK HARRINGTON: Mr. Perez?

25 Dr. Quirk?

1 BOARD MEMBER QUIRK: Here.

2 BOARD CLERK HARRINGTON: Senator Stern?

3 Dr. Shaheen?

4 BOARD MEMBER SHAHEEN: Here.

5 BOARD CLERK HARRINGTON: Ms. Takvorian?

6 BOARD MEMBER TAKVORIAN: Here.

7 BOARD CLERK HARRINGTON: Supervisor Vargas?

8 Chair Randolph?

9 CHAIR RANDOLPH: Here.

10 BOARD CLERK HARRINGTON: Madam Chair, we have a
11 quorum.

12 CHAIR RANDOLPH: Thank you. Alright, we will
13 start with our housekeeping items. We are conducting
14 today's meeting in person as well as offering remote
15 options for public participation both by phone and in
16 Zoom.

17 Anyone who wishes to testify in person should
18 fill out a request to speak card available in the foyer
19 outside the Board room. Please turn it in to a Board
20 assistant prior to the commencement of the item. If you
21 are participating remotely, you will raise your hand in
22 Zoom or dial star nine if calling in by phone. The Clerk
23 will provide further details regarding how public
24 participation will work in just a moment.

25 For safety reasons, please note the emergency

1 exit to the rear of the room through the foyer. In the
2 event of a fire alarm, we are required to evacuate this
3 room immediately and go down the stairs to the lobby and
4 out of the building. When the all-clear signal is given,
5 we will return to the auditorium and resume the hearing.

6 A closed caption feature is available for those
7 of you joining us in the Zoom environment. In order to
8 turn on subtitles, please look for a button labeled "CC"
9 at the bottom of the Zoom window, as shown in the example
10 that's on the screen now. I would like to take this
11 opportunity to remind everyone to speak clearly and from a
12 quiet location, whether you are joining us in Zoom or by
13 phone.

14 Interpretation services will be provided today in
15 Spanish. If you are joining us using Zoom, there is a
16 button labeled "Interpretation" on the Zoom screen. Click
17 on that interpretation button and select Spanish to hear
18 the meeting in Spanish. If you are joining us here in
19 person and would like to listen to the meeting in Spanish,
20 please speak to a Board assistant and they will provide
21 you with further instructions.

22 I want to remind all of our commenters to speak
23 slowly and pause intermittently to allow the interpreters
24 the opportunity to accurately interpret your comments.

25 (Interpreter translated in Spanish).

1 CHAIR RANDOLPH: Thank you. I will now ask the
2 Board Clerk to provide more details regarding public
3 participation.

4 BOARD CLERK HARRINGTON: Thank you, Chair
5 Randolph.

6 Good morning, everyone. I will be providing
7 additional information on how public participation will be
8 organized for today's meeting. We will first be calling
9 on any in-person commenters who have turned in a
10 request-to-speak card. And then we'll be calling on
11 commenters who are joining us remotely. If you are
12 joining us remotely and wish to make a verbal comment on
13 today's Board item, or during the open comment period at
14 the end of today's meeting, you must be using Zoom webinar
15 or calling in by phone. If you are currently watching the
16 webcast on CAL-SPAN, but you wish to comment remotely,
17 please register for the Zoom webinar or call in.
18 Information for both can be found on the public agenda for
19 today's meeting.

20 To make a verbal comment, we will be using the
21 raise-hand feature in Zoom. If you wish to speak on a
22 Board item, please virtually raise your hand as soon as
23 the item has begun to let us know you wish to speak. To
24 do this, if you are using a computer or tablet, there is a
25 raise-hand button. And if you are calling in on the

1 telephone, dial star nine to raise your hand. Even if you
2 previously indicated which item you wished to speak on
3 when you registered, you must raise your hand at the
4 beginning of the item, so that you can be added to the
5 queue.

6 And for anyone giving verbal comments today in
7 Spanish and requiring an interpreter's assistance, please
8 indicate so at the beginning of your testimony and our
9 translator will assist you. During your comment, please
10 pause after each sentence to allow for the interpreter to
11 translate your comment into English.

12 When the comment period starts, the order of
13 commenters will be determined by who raises their hand
14 first. We will call each commenter by name and will
15 activate each commenter's audio when it is their turn to
16 speak. For those calling in, we will identify you by the
17 last three digits of your phone number. We will not show
18 a list of remote commenters, however, we will be
19 announcing the next three or so commenters in the queue,
20 so you are ready to testify -- so you are ready to testify
21 and know who is coming up next. Please note, you will not
22 appear by video during your testimony. I would also like
23 to remind everyone to please state your name for the
24 record before you speak. This is especially important for
25 those calling in by phone to testify on an item.

1 We will have a time limit for each commenter and
2 we'll begin the comment period with a two-minute time
3 limit, although this could change at the Chair's
4 discretion. During public testimony, you will see a timer
5 on the screen. For those calling in by phone, we will run
6 the timer and let you know when you have 30 seconds left
7 and then when your time is up. If you require Spanish
8 interpretation for your comment, your time will be
9 doubled.

10 If you wish to submit written comments today,
11 please visit CARB's send-us-your-comments page or look at
12 the public agenda on our webpage for links to send these
13 documents electronically. Written comments will be
14 accepted on each item until the Chair closes the record
15 for that Board item.

16 If you are experiencing any technical
17 difficulties, please call (805)772-2715 so an IT person
18 can assist. Thank you.

19 I'll turn the microphone back to Chair Randolph
20 now.

21 CHAIR RANDOLPH: All right. Thank you. The
22 first item on the agenda is Item number 23-6-1. The
23 proposed Eastern Kern 8-hour Ozone Plan. If you are here
24 with us in the room and wish to comment on this item,
25 please fill out a request-to-speak card as soon as

1 possible and submit it to a Board assistant. If you are
2 joining us remotely and wish to comment on this item,
3 please click the raise hand button or dial star nine now.

4 We will first call on in-person commenters
5 followed by any remote commenters when we get to the
6 public comment portion of this item.

7 Dr. Cliff, would you please introduce the item.

8 EXECUTIVE OFFICER CLIFF: Thank you, Chair
9 Randolph. Before you today is the proposed Eastern Kern
10 8-hour Ozone Plan. Over the past decade, ozone levels in
11 the Eastern Kern non-attainment area have improved in
12 response to nitrogen oxides and reactive organic gas
13 emission reduction strategies adopted by the District and
14 CARB. The CARB strategies have provided reductions not
15 only in Eastern Kern, but also in the upwind contributing
16 areas namely San Joaquin and South Coast. The 2023 plan
17 includes a CARB emission reduction commitment as part of
18 the 2022 State SIP Strategy. The 2023 plan, along with
19 CARB's commitment, will provide the reductions needed for
20 attainment of the 75 ppb and 70 ppb ozone standards in
21 Eastern Kern by 2026 and 2032 respectively.

22 The Eastern Kern Air Pollution Control District
23 adopted the 2023 plan on May 4, 2023. CARB staff
24 concluded that the 2023 plan meets the requirements of the
25 Clean Air Act. Staff recommends that the Board adopt the

1 2023 plan along with CARB's emission reduction commitment
2 and forward it to U.S. EPA as a revision to the California
3 SIP.

4 This concludes my summary of the item.

5 Thank you.

6 CHAIR RANDOLPH: Thank you.

7 It's time for public comment on this item. Board
8 Clerk, are there any public commenters?

9 BOARD CLERK HARRINGTON: Yes, thank you. We have
10 currently one person signed up to speak. Ian Faloona.

11 DR. IAN FALOONA: Thank you.

12 Hi. My name is Ian Faloona. I'm a University of
13 California at Davis scientist and an atmospheric
14 scientist. I'd like to -- I wrote up a weight of evidence
15 that indicates that the SIP modeling for this -- the
16 region in Southern California is probably faulty to a
17 significant extent. I know I only have a few seconds, so
18 I'm going to go through the seven lines of evidence I have
19 outlined in my written comments.

20 In 2015, Oikawa et al., showed in a study of
21 direct measurements and then modeling consequently that
22 the high temperatures of Southern California produced soil
23 NOx emissions that were at least an order of magnitude
24 larger than what was defaulted in their -- in their model.
25 In 2017, Parrish et al., developing an empirical model of

1 ozone trends. So if you look at ozone decreases with time
2 over the past couple decades showed that there was
3 plateauing behavior occurring in the San Joaquin Valley
4 and in the Imperial Valley. This he pointed to controls
5 that were not being -- that were not successful --
6 something -- some emissions that were not being controlled
7 by standard regulatory procedures and pointed to the
8 intensive agriculture in these regions.

9 2018, Almaraz et al., was a study I was heavily
10 involved with, which involved both modeling from -- of
11 soil NOx emissions as well as airborne studies doing
12 budgeting -- careful budgeting in the region around
13 Fresno. And we showed that there was approximately 215
14 tons per day during that study being emitted by --
15 overall, and the CARB inventory had something of the order
16 of 100 tons per day. So we're not talking about a small 5
17 or 10 percent correction. We're talking about a factor of
18 two.

19 Then Guo et al., from this -- from ARB produced
20 their own soil and -- okay. Well, that was -- that was
21 the end, but I have four more studies Wang, et al., 2021,
22 Sha et al., 2023.

23 BOARD CLERK HARRINGTON: Thank you.

24 CHAIR RANDOLPH: You can submit those in writing
25 to the clerk.

1 DR. IAN FALOONA: Right. I only have it on
2 digital. Can I submit it digitally?

3 CHAIR RANDOLPH: Yeah, you can talk to the clerk
4 and she'll let you know how to do that.

5 DR. IAN FALOONA: Marvelous. Thank you so much.

6 CHAIR RANDOLPH: Okay. Are there any other
7 commenters?

8 BOARD CLERK HARRINGTON: Yes. We have one person
9 on Zoom with their hand raises, and it looks like their
10 username is Originaldra. I have activated your mic. You
11 can unmute.

12 THE ORIGINALDRA: Yeah. All of these things that
13 you guys are doing with the zero emissions, I mean, ozone
14 is in our own lungs. And so if you guys are set out to go
15 to like a zero, you know, emissions type of thing, we as
16 human beings emit all the things that you're trying to
17 stop, just like plants, everything living does. So in
18 your pursuit to try and stop all of this stuff, every
19 living thing would have to die in order for you to get to
20 that number, including you guys.

21 I mean, it's like I don't understand. This is a
22 whole push for a UN agenda and you guys are punitively
23 taxing or punishing people just to get this done. And,
24 you know, it's like they're bringing in, you know, vehicle
25 miles traveled, so you're like tracking and tracing people

1 in order to see, you know, what's going on, but you're
2 going to start -- you know, people are beginning to bring
3 forward taxes, or fees, or whatever in order to push this
4 whole agenda. And it's to get us into densely populated
5 areas, and where we need to go. It's bigger than just the
6 environment. You guys are using that as a guise, but this
7 is a plan for -- with globalists, and you guys are all
8 engaging in it.

9 And, you know, it's a very dangerous thing,
10 because the people are believing that you guys are doing
11 this to help the environment, when in reality it's a bunch
12 of smoke and mirrors, and it's to get people into a new
13 way of life. And that's why you have to punish them in
14 order to get them to comply with this new way of living.
15 And it's all under the guise of saving the environment.

16 And in your pursuit to do that, if you got down
17 to zero, you would kill every living thing, so it doesn't
18 make any sense, and people need to pay attention, because
19 this is bigger than just what they claim it is. This is a
20 globalist agenda period.

21 BOARD CLERK HARRINGTON: Thank you. And can you
22 state your name for the record, please.

23 THE ORIGINALDRA: The Originaldra.

24 CHAIR RANDOLPH: Do we have any other commenters?

25 BOARD CLERK HARRINGTON: That concludes the

1 in-person and Zoom commenters.

2 CHAIR RANDOLPH: All right. Thank you. I will
3 now close the record on this agenda item. The Board has
4 before them Resolution number 23-17. Do I have a motion
5 and a second?

6 BOARD MEMBER HURT: Move approval.

7 BOARD MEMBER BALMES: Could I ask a question of
8 staff?

9 CHAIR RANDOLPH: Sure.

10 BOARD MEMBER BALMES: Thank you. So I just want
11 to know if -- could we get a response to Professor
12 Faloona's?

13 EXECUTIVE OFFICER CLIFF: So we recognize that
14 there's a difference of opinion regarding the subject of
15 soil NOx. And in response, and I know we've heard from
16 professor Faloona on several occasions on this issue,
17 we're actually undertaking a contract to look at all the
18 studies and to help us propose what to do going forward.
19 I mean, certainly we establish the best available
20 inventory, given all of the data that we have available to
21 us, but there's more science to be done and we recognize
22 that. So we think establishing a contract to help us look
23 at all those studies is the best path forward.

24 BOARD MEMBER BALMES: Thank you, Dr. Cliff.

25 BOARD MEMBER KRACOV: This issue came up, Chair,

1 real quickly at south coast as well. And I thought EPA is
2 studying this a little bit too, I thought, as well,
3 someone had told -- at the South Coast had told me, I
4 thought.

5 CHAIR RANDOLPH: Do I have a second?

6 BOARD MEMBER BALMES: Second.

7 BOARD MEMBER QUIRK: Second.

8 CHAIR RANDOLPH: All right. Clerk, would you
9 call the roll.

10 BOARD CLERK HARRINGTON: Mr. De La Torre?

11 BOARD MEMBER DE LA TORRE: Aye.

12 BOARD CLERK HARRINGTON: Dr. Balmes?

13 BOARD MEMBER BALMES: Yes.

14 BOARD CLERK HARRINGTON: Mr. Eisenhut?

15 BOARD MEMBER EISENHUT: Yes.

16 BOARD CLERK HARRINGTON: Senator Florez?

17 BOARD MEMBER FLOREZ: Florez aye.

18 BOARD CLERK HARRINGTON: Mr. Guerra?

19 BOARD MEMBER GUERRA: Guerra aye.

20 BOARD CLERK HARRINGTON: Ms. Hurt?

21 BOARD MEMBER HURT: Aye.

22 BOARD CLERK HARRINGTON: Mr. Kracov?

23 BOARD MEMBER KRACOV: Yes.

24 BOARD CLERK HARRINGTON: Dr. Pacheco-Werner?

25 BOARD MEMBER PACHECO-WERNER: Yes.

1 BOARD CLERK HARRINGTON: Mr. Perez?

2 BOARD MEMBER PEREZ: Supervisor Perez aye.

3 BOARD CLERK HARRINGTON: Dr. Quirk?

4 BOARD MEMBER QUIRK: Aye.

5 BOARD CLERK HARRINGTON: Dr. Shaheen?

6 BOARD MEMBER SHAHEEN: Aye.

7 BOARD CLERK HARRINGTON: Ms. Takvorian?

8 BOARD MEMBER TAKVORIAN: Aye.

9 BOARD CLERK HARRINGTON: Supervisor Vargas

10 BOARD MEMBER VARGAS: Vargas, yes.

11 BOARD CLERK HARRINGTON: Chair Randolph?

12 CHAIR RANDOLPH: Yes.

13 BOARD CLERK HARRINGTON: Motion passes.

14 CHAIR RANDOLPH: Alright. Thank you. The next
15 item on the agenda is Item number 26-6-2[SIC], proposed
16 amendments to the greenhouse gas emission standards for
17 crude oil and natural gas facilities. If you are here
18 with us in the room and wish to comment on this item,
19 please fill out a request-to-speak card as soon as
20 possible and submit it to a Board assistant. If you are
21 joining us remotely and wish to comment on this item,
22 please click the raised hand button or dial star nine now.
23 We will call on in-person commenters first followed by any
24 remote commenters when we get to the public comment
25 portion of this item. Reducing short-lived climate

1 pollutants like methane is a key part of our climate
2 strategy.

3 We know that in California as well as elsewhere,
4 oil and gas production and transport are responsible for
5 significant releases of methane. While our primary
6 long-term strategy remains to phase out oil and gas
7 dependency in California to reduce these emissions, we
8 have also been working closely with air districts, the
9 California Department of Conservation, U.S. EPA, and
10 others to identify and address methane leaks from oil and
11 gas activities that are occurring now.

12 The proposed amendments will help us strengthen
13 our existing Oil and Gas Methane Regulation, which works
14 as a complement to existing air district rules controlling
15 volatile organic compounds. The amendments also make
16 modifications to conform with U.S. EPA guidelines and
17 requirements. Dr. Cliff, would you please introduce the
18 item.

19 EXECUTIVE OFFICER CLIFF: Thank you, Chair
20 Randolph. In 2018, CARB included the Oil and Gas Methane
21 Regulation in the State Implementation Plan submittal to
22 U.S. EPA because the regulation included emission control
23 requirements that are necessary in ozone non-attainment
24 areas. U.S. EPA reviewed the regulation and in October of
25 2022 provided CARB with a list of regulatory changes that

1 CARB is required to address prior to April 2024. CARB
2 must move expeditiously to make these amendments before
3 any potential sanctions are initiated.

4 This is also an exciting time for the development
5 of new tools to remotely measure methane emissions. CARB
6 will soon begin receiving satellite based data enabling
7 detection of large methane plumes in the state. To fully
8 utilize these data, today's proposed amendments include
9 provisions to put data into action to achieve methane and
10 co-pollutant emission reductions.

11 These proposed amendments would make this
12 regulation the first proposed in California to require
13 action to reduce methane emissions based on satellite
14 data, and it will serve as a demonstration of what's
15 possible for other CARB regulations and other
16 jurisdictions.

17 In addition to the changes already discussed,
18 staff have gained valuable experience over the course of
19 implementing this regulation. This experience has led to
20 additional proposed changes to streamline the regulation,
21 increase clarity, and improve the uniformity of
22 implementation. I will now ask Dr. Quinn Langfitt of the
23 Industrial Strategies Division to begin the staff
24 presentation.

25 Dr. Langfitt.

1 (Thereupon a slide presentation).

2 ISD AIR RESOURCES ENGINEER LANGFITT: Thank you,
3 Dr. Cliff. And good morning, Chair Randolph and members
4 of the Board. I'm pleased to be presenting staff's
5 proposed amendments to the Greenhouse Gas Emission
6 Standards for Crude Oil and Natural Gas Facilities, also
7 known as the Oil and Gas Methane Regulation.

8 --o0o--

9 ISD AIR RESOURCES ENGINEER LANGFITT: In this
10 presentation, I'll start by providing the big picture on
11 oil and gas efforts in California, and background
12 information on the existing Oil and Gas Methane
13 Regulation. I will then present an overview of staff's
14 proposed amendments, including the motivations for this
15 rulemaking and a summary of the proposed changes. Next
16 I'll discuss the costs and benefits of these proposed
17 amendments. And finally, I'll cover the need for 15-day
18 changes that staff have identified and staff's
19 recommendation for the Board.

20 --o0o--

21 ISD AIR RESOURCES ENGINEER LANGFITT: Although
22 we're here today to talk about the Oil and Gas Methane
23 Regulation, I'd like to start with the broad climate
24 policy approved by the Board last year and how our efforts
25 to address methane emissions from oil and gas sources

1 support California's efforts to achieve carbon neutrality.

2 Last year, the Board approved CARB's 2022 Scoping
3 Plan update, which presents the pathway to achieve targets
4 for carbon neutrality and reduce greenhouse gas emissions.
5 The plan calls for dramatic reductions in total fossil
6 fuel use, by transitioning to clean energy. As the Board
7 heard back in December of last year, implementing the 2022
8 Scoping Plan would result in a 94 percent reduction in
9 liquid petroleum demand in California and an 86 percent
10 reduction in total fossil fuel use in California. That's
11 in 2045 relative to 2022.

12 --o0o--

13 ISD AIR RESOURCES ENGINEER LANGFITT: As we all
14 know, transportation is a key sector for reducing our
15 reliance on petroleum fuels. CARB's regulations, such as
16 Advanced Clean Trucks, Advanced Clean Cars, and Advanced
17 Clean Fleets complemented by regulations like the Low
18 Carbon Fuel Standard are accelerating the transition to
19 zero-emission vehicles and also reducing our reliance on
20 fossil fuels.

21 And so the long-term trajectory for California is
22 to phase down use of fossil fuels, which means that there
23 will be less need for wells, storage tanks, production
24 components, and other infrastructure that leak methane
25 into the atmosphere. But even with this transition away

1 from fossil fuels, we expect that we will continue to have
2 oil and gas production infrastructure operating in
3 California for some time, so we need to continue to work
4 to reduce methane emissions from oil and gas activity.

5 --o0o--

6 ISD AIR RESOURCES ENGINEER LANGFITT: Because
7 methane is more efficient at trapping heat in the
8 atmosphere than carbon dioxide over a short time frame,
9 reducing methane emissions can have an outsized impact in
10 the near term. Methane accounted for approximately 10
11 percent of the greenhouse gas emissions in California in
12 2019, based on a 100-year global warming potential.

13 Oil and gas sector activities collectively
14 accounted for 14 percent of methane emissions in the state
15 in 2019. Many sources of methane emissions in the oil and
16 gas sector also emit volatile organic compounds and toxic
17 air contaminants as co-pollutants. Because oil and gas
18 facilities are disproportionately located near vulnerable
19 communities, reducing emissions from the oil and gas
20 sector can bring not just climate benefits, but also
21 community air quality improvements.

22 --o0o--

23 ISD AIR RESOURCES ENGINEER LANGFITT: Federal,
24 State, and local agencies are applying emission reduction
25 strategies in a number of ways to address these sources of

1 leaks. For example, local air districts throughout
2 California have been regulating the oil and gas sector to
3 control volatile organic compounds for decades and they
4 continue to improve their rules to drive down emissions.

5 At the State level, the Natural Gas Leak
6 Abatement Program implemented by the California Public
7 Utilities Commission, with assistance from CARB, requires
8 utilities to implement best practices to reduce emissions
9 from pipelines and associated facilities. A recent
10 multi-agency effort launched about a year ago is the
11 Methane Task Force convened by the request of Governor
12 Newsom to address leaks from the oil and gas sector near
13 communities. The Task Force includes representatives from
14 CARB, the California Geologic Energy Management Division,
15 the California Natural Resources Agency, and the
16 California Environmental Protection Agency.

17 The Task Force holds quarterly public meetings to
18 gain community insights and are joining local air
19 districts to perform field inspections and repairs. At
20 the federal level, the United States Environmental
21 Protection Agency, or U.S. EPA, issues emission control
22 guidelines that states must incorporate into their
23 regulations. U.S. EPA proposed emission guidelines last
24 year that would require states to put forth plans to meet
25 certain requirements for regulating the existing oil and

1 gas sector and we anticipate that U.S. EPA will finalize
2 those guidelines later this year.

3 Finally, we're proposing amendments to strengthen
4 and improve CARB's Oil and Gas Methane Regulation. We
5 expect several of the efforts shown on this slide to
6 result in recommendations and additional requirements to
7 consider and potentially incorporate into the methane
8 regulation or to address through other avenues.

9 Because these efforts are currently underway,
10 namely the Methane Task Force, and issuance of U.S. EPA's
11 Emissions Guidelines, CARB will consider making further
12 regulatory changes in the future.

13 --o0o--

14 ISD AIR RESOURCES ENGINEER LANGFITT: As a
15 reminder, the Oil and Gas Methane Regulation was adopted
16 by the Board in March 2017 to address methane emissions
17 from both new and existing oil and gas facilities.
18 Adoption of the regulation served as an early action
19 measure for AB 32, California's Global Warming Solutions
20 Act. The regulation builds off of existing local air
21 district rules that are targeted at reducing volatile
22 organic compounds and also includes additional sectors and
23 equipment that are not covered by local programs, usually,
24 because those sectors and equipment emit primarily
25 methane. And local air district rules are focused on

1 different pollutants that have a stronger effect on local
2 air quality rather than climate change.

3 The regulation went into effect in January 2018.
4 Over the past five years, CARB and the local air districts
5 have been working together to implement the regulation.
6 On-the-ground enforcement is typically the primary
7 responsibility of local air districts due to their
8 proximity and expertise with the facilities within their
9 districts. CARB, however, does retain authority to
10 enforce all aspects of the regulation.

11 --o0o--

12 ISD AIR RESOURCES ENGINEER LANGFITT: This
13 regulation applies to specific portions of the oil and gas
14 sector, which I'll walk through here one segment at a
15 time. The regulation applies to the oil and gas
16 production and processing sector, including well sites and
17 related equipment, storage vessels, natural gas gathering
18 and boosting stations, and natural gas processing plants,
19 both offshore and on land within California's borders.

20 The regulation applies to certain portions of the
21 natural gas transmission and storage sector as well, which
22 includes the natural gas transmission compressor stations
23 and natural gas underground storage facilities. However,
24 the regulation does not apply to natural gas transmission
25 pipelines. It also does not apply to the natural gas

1 distribution segment, in which gas is moved from the city
2 gate through to end uses, like homes and businesses.

3 Although, the regulation does not apply to
4 transmission pipelines or the distribution segment, there
5 is separate efforts to reduce emissions from those
6 segments, such as the Natural Gas Leak Abatement Program
7 that I mentioned earlier.

8 --o0o--

9 ISD AIR RESOURCES ENGINEER LANGFITT: I'll now
10 give a brief overview of the main requirements in the
11 current regulation. Leak detection and repair, or LDAR,
12 is required for components that are not already subject to
13 local air district LDAR requirements and are not otherwise
14 exempt. Operators are required to conduct quarterly
15 inspections and repair leaks that are found in those
16 inspections. Vapor control is required for uncontrolled
17 tanks that emit methane above an annual threshold.

18 For other types of equipment that vent methane as
19 part of their normal operation, if they're emitting above
20 a specified threshold, either vapor collection or
21 equipment replacement or repair are required. These
22 include seals and compressors, certain pneumatic
23 controllers, and pneumatic pumps. Emissions from some
24 source types must be measured and reported annually.

25 The current regulation also imposes additional

1 monitor requirements for natural gas underground storage
2 facilities, including at least daily leak screening at
3 wellheads and continuous ambient monitoring both upwind
4 and downwind of the facilities. Lastly, there are record
5 keeping and reporting requirements.

6 --o0o--

7 ISD AIR RESOURCES ENGINEER LANGFITT: Now, I'll
8 move into the process for these proposed amendments.
9 During the development of the proposal, staff engaged with
10 the public, individual stakeholders, and other agencies.
11 In September 2022, staff introduced the need for the
12 proposed amendments and discussed changes under
13 consideration in a virtual public workshop. In January
14 2023, we released draft regulatory text and held a second
15 virtual public workshop to discuss the draft changes.
16 Following both workshops, CARB staff held individual
17 meetings as requested by stakeholders from industry, and
18 environmental advocacy groups. Throughout the development
19 process, staff also held discussions with U.S. EPA and
20 with local air districts.

21 --o0o--

22 ISD AIR RESOURCES ENGINEER LANGFITT: Staff are
23 proposing amendments to the Oil and Gas Methane Regulation
24 for three primary reasons. First, CARB is required to
25 make changes to the regulation to comply with U.S. EPA

1 standards related to California's State Implementation
2 Plan, or SIP. The SIP is a collection of CARB's and local
3 air districts' plans and adopted rules and regulations
4 that are designed to attain and maintain compliance with
5 the National Ambient Air Quality Standards. I'll discuss
6 this in more detail on the next slide.

7 Second, CARB expects to soon start obtaining
8 remote emission plume detection data from methane-sensing
9 satellites. This presents a substantial opportunity to
10 identify large emission sources earlier than they
11 otherwise would be discovered, and to mitigate those
12 emissions. Finally, numerous minor changes, mostly to
13 clarify and streamline the regulatory text, are proposed
14 throughout the regulation.

15 These changes include items such as clarifying
16 potentially ambiguous passages, removing time periods from
17 the past, and adjusting record keeping and reporting to
18 improve compliance verification and emissions estimates.
19 I'll now discuss the State Implementation Plan and remote
20 emission plume monitoring items in more detail.

21 --o0o--

22 ISD AIR RESOURCES ENGINEER LANGFITT: In 2016,
23 U.S. EPA issued Control Techniques Guidelines for the oil
24 and natural gas industry, referred to as the CTG. The CTG
25 establishes requirements for specific oil and gas sector

1 volatile organic compound, or VOC, emission sources that
2 states must implement in ozone non-attainment areas.
3 Although our regulation targets methane emission, VOCs are
4 often emitted together with methane in the oil and gas
5 sector. So controlling methane emissions also controls
6 VOC emissions as a co-benefit.

7 To demonstrate controls as stringent as the CTG,
8 CARB submitted the Oil and Gas Methane Regulation into the
9 SIP in 2018. Because the Oil and Gas Methane Regulation
10 references some local air district rules for certain
11 requirements, those rules were also evaluated by U.S. EPA
12 as part of their review.

13 If October of last year, U.S. EPA finalized
14 analysis of our methane regulation and issued a limited
15 approval, limited disapproval of CARB's SIP submittal.
16 This means that some aspects of the regulation meet the
17 CTG, but there are some inconsistencies that preclude full
18 approval.

19 U.S. EPA listed the specific deficiencies in
20 their decision, which you'll get a feel for on the next
21 slide, when I go over changes that we're proposing in
22 response to that decision. To achieve approval, all
23 deficiencies identified by U.S. EPA must be addressed and
24 the regulation resubmitted into the SIP before April 30th,
25 2024. The result of not achieving U.S. EPA's approval by

1 that date is federally imposed State sanctions.

2 --o0o--

3 ISD AIR RESOURCES ENGINEER LANGFITT: Numerous
4 amendments are being proposed to meet the level of
5 stringency required by the CTG. Operators would be
6 required to develop and maintain leak detection and repair
7 plans for each of their facilities. And that would be to
8 guide the inspections that operators are already required
9 to perform under the current regulation.

10 Vapor collection systems and control devices that
11 are used to comply with this regulation would need to meet
12 additional requirements, such as more detailed
13 inspections, sizing analyses, and performance testing.
14 Separator and tank systems controlled pursuant to the
15 regulation would also need to comply with additional
16 requirements.

17 In some cases, owners or operators are not able
18 to repair leaks or defects within the standard allowable
19 time frames, and as a result, they request approval for
20 delay of repair. The proposed amendments would add more
21 rigorous requirements for obtaining a delay of repair
22 approval in those cases. Some equipment and components
23 are exempt from certain provisions if they're covered by
24 local air district requirements. U.S. EPA's decision
25 stipulates that these exemptions can only be based on

1 rules and not on requirements, so staff are proposing to
2 make this change.

3 Staff are proposing to list the qualifying rules
4 for ozone nonattainment areas, which U.S. EPA is requiring
5 so that they can assess those rules. Finally, there are
6 many additional minor proposed changes, such as those
7 listed under the last item on this slide.

8 --o0o--

9 ISD AIR RESOURCES ENGINEER LANGFITT: Now, I'll
10 move on to the proposed provision to require oil and gas
11 operators to take action upon notification of remotely
12 detected methane plumes.

13 Within the next year, a public-private coalition,
14 in which CARB is a partner, plans to launch two methane
15 detecting satellites, and CARB will be receiving data from
16 these satellites starting in 2024. The State of
17 California has invested in obtaining even more satellite
18 data into the future through a competitive bid process
19 using a \$100 million appropriation from the Legislature.

20 Together, these efforts will provide CARB with
21 access to high quality frequent remote monitoring data to
22 locate large methane emission plumes. To prepare for the
23 availability of satellite-based data, staff are proposing
24 to add a provision to the regulation that would require
25 owners or operators to go into the field and investigate

1 the source of emission plumes that are reported to them by
2 CARB based on that satellite data.

3 If, during the field investigation, the operator
4 finds the leak, they would then be required to repair the
5 leak. The operator would also be required to report back
6 to CARB, regardless of whether the emissions source is
7 found. By including these new provisions in the
8 regulation and utilizing satellite data, we expect that
9 the State and operators will be able to more quickly
10 identify and address leaks than if we just relied on
11 quarterly inspections alone.

12 --o0o--

13 ISD AIR RESOURCES ENGINEER LANGFITT: I'll now
14 discuss the costs and benefits associated with the
15 proposed amendments. Staff estimates that over the course
16 of a five-year analysis period, the proposed amendments
17 would cost approximately \$6.6 million with roughly 20
18 percent of the costs attributable to responding to remote
19 emission plume detections and roughly 80 percent of the
20 costs for all remaining items. To give an idea of
21 magnitude, these costs correspond to approximately two
22 hundredths of a percent of the total California industry
23 sales from oil and gas production and natural gas
24 transmission and storage over an equivalent period.

25 --o0o--

1 ISD AIR RESOURCES ENGINEER LANGFITT: The
2 proposed regulatory changes provide several types of
3 benefits. The changes are necessary to achieve approval
4 of the regulation in the SIP and therefore to avoid
5 federal sanctions. The changes help to better assure
6 compliance with the regulation through increased clarity,
7 design analysis, testing, inspections, record keeping, and
8 reporting. Additions to the required reporting data will
9 also help enable more accurate calculations of total
10 emissions by source type and associated emission
11 reductions.

12 Finally, the remote emission plume response
13 provision will improve regulatory implementation and
14 reduce the time it takes to identify and address leaks.

15 --o0o--

16 ISD AIR RESOURCES ENGINEER LANGFITT: Now, to
17 wrap up with staff's recommendations. When U.S. EPA
18 issued their SIP decision on the Oil and Gas Methane
19 Regulation, they also identified deficiencies in local air
20 district rules that are cited and relied upon in CARB's
21 regulation. Local air districts, including the South
22 Coast Air Quality Management District, the San Joaquin
23 Valley Air Pollution Control District, and the Ventura
24 County Air Pollution Control District, either recently
25 updated or will soon be updating some of their rules to

1 comply with the U.S. EPA decision.

2 Because those rules are being changed after the
3 release of the 45-day notice package, CARB staff
4 anticipate a 15-day change will be necessary to refer to
5 the latest version of each air district rule in the Oil
6 and Gas Methane Regulation to achieve U.S. EPA's SIP
7 approval.

8 Staff propose to do this under the resolution's
9 direction for the Executive Officer to make appropriate
10 conforming 15-day modifications, given the pending
11 deadline for approval of the amendments to avoid sanctions
12 from U.S. EPA.

13 --o0o--

14 ISD AIR RESOURCES ENGINEER LANGFITT: With that,
15 staff recommend that the Board adopt Resolution 23-18 and
16 update the SIP accordingly.

17 Thank you. And that concludes staff's
18 presentation

19 CHAIR RANDOLPH: Alright. Thank you very much.
20 We will now hear from the public who signed up to speak on
21 this item, either by submitting a request to speak card or
22 by a raised hand in Zoom. I will ask the Board clerks to
23 begin calling the public commenters.

24 BOARD CLERK HARRINGTON: Thank you, Madam Chair.
25 We currently have seven commenters who wish to speak on

1 this item. If you wish to verbally comment on this Board
2 item, please raise your hand or dial star nine now. I
3 also apologize in advance if I mispronounce your name. I
4 would like to also remind all commenters to please speak
5 slowly and clearly for our interpreters and the court
6 reporter. Also, just a friendly reminder that speaker
7 comments will close 30 minutes after the public comment
8 portion of an item has begun at 10:15. Please keep your
9 hand raised Until you are called upon. I will now pass it
10 to John Moore for the in-person commenters.

11 BOARD CLERK MOORE: Thank you.

12 Our first commenter is Jon Costantino.

13 JON COSTANTINO: Hi. Good morning. Jon
14 Costantino on behalf of the California Independent
15 Petroleum Association, a non-profit, non-partisan
16 association that represents oil and gas producers here in
17 the state of California. CIPA would like to thank staff
18 for the process that we went through. It was clear, and
19 as they said, they walked through the amendments. And so
20 there were no real surprises. We understand that this is
21 being done for EPA's necessity, but we appreciate that
22 staff took the opportunity to make amendments that, as
23 they said, streamline and reduce duplicative
24 implementation. So we really appreciate that aspect of
25 what staff was trying to do.

1 And then also on the remote sensing, we
2 understand that it's coming and that changes were made
3 based on the first draft, which we thought were not quite
4 up to the rigor of what needed to be done in a State
5 regulation, so we appreciate that. We look forward to
6 working with staff on both the implementation of the new
7 remote sensing and the implementation of the updated
8 rulemaking.

9 And then finally, it wouldn't be a CIPA comment
10 if we didn't say that adding additional requirements on
11 State production and can cause leakage and leakage is when
12 that production occurs elsewhere and comes into the state.
13 And the Scoping Plan, and Quinn mentioned it, that we're
14 going to have production for a while in the state. And if
15 you -- if you produce -- if you need more production and
16 you're reducing it in-state, then it has to be imported.
17 And that produces emissions at the port. And we know that
18 California's regulatory system is more Stringent than
19 other foreign entities in the -- oh, that's it. So thank
20 you and appreciate the time today.

21 BOARD CLERK MOORE: Okay. The next commenter is
22 Christine Luther Zimmerman.

23 CHRISTINE LUTHER ZIMMERMAN: Good morning, Chair
24 Randolph and members of the Board. As it says up there,
25 my name is Christine Luther Zimmerman and I work in

1 Regulatory Affairs at the Western States Petroleum
2 Association.

3 I wanted to start this morning by thanking CARB
4 staff. We met and worked with Carolyn Lozo, with Jim
5 Nyarady, and with Dr. Langfitt. And that made the process
6 of understanding what needed to be accomplished in getting
7 there that much easier, so I just wanted to commend your
8 staff for their excellent work throughout this process.

9 WSPA agrees with most of the amendments,
10 including the incorporation of the SIP-approved rules and
11 EPA's Control Technique Guidelines. And we just had a
12 couple of key issues that we wanted to point out this
13 morning that we're concerned about.

14 We're concerned about the addition of
15 SIP-approved prohibitory rules and the exclusion of
16 non-prohibitory rules creating duplicative requirements
17 for certain separator and tank systems. There are similar
18 issues in the LDAR section of the language that are also
19 of concern to us.

20 We believe that the alignment of implementation
21 timelines between COGR and the regional air districts is
22 essential and we hope to see that that moves forward
23 smoothly. Our only final concern is that in the case of
24 EPA's -- not that we know that this would happen, but
25 should, EPA give a partial or complete disapproval of any

1 of the updated district rules from being SIP approved,
2 we're not sure how the rules-dependent COGR revisions
3 would be handled. So we just wanted to highlight that is
4 a concern that we have and like to thank you for your time
5 and consideration this morning.

6 Thanks.

7 BOARD CLERK MOORE: Thank you.

8 Our next commenter is Kayla Karimi.

9 KAYLA KARIMI: Good morning, Board and members.
10 My name is Kayla Karimi here representing the Center on
11 Race, Poverty & the Environment. CRPE is committed to
12 environmental justice and uplifting underrepresented
13 communities in the San Joaquin Valley. As CRPE, we work
14 closely with local communities to advocate for their needs
15 and public health. Our communities are low-income
16 communities of color with neighborhoods in close proximity
17 to oil and gas wells and they depend on California
18 agencies to protect them.

19 We at CRPE are extremely concerned about the
20 leaking wells in the Arvin-Lamont areas that were recently
21 discovered. These wells surrounding our communities pose
22 a huge health risk to health and safety. Any leaks from
23 these wells for any period of time are unacceptable.

24 Many of our communities suffer from effects of
25 living near oil and gas wells including asthma, chronic

1 headaches, cancer, and more. CRPE hopes these amendments
2 include enhanced requirements for sites within 3,200 feet
3 and are handled with extreme care. There should be
4 increased leak detection and repair inspections at these
5 sites, more than required at others. These inspections
6 should include testing for co-pollutants that are the
7 culprit for health harms our communities suffer from, in
8 order to mitigate the harm as quickly as possible.

9 Lastly, reports from these inspections should be
10 public and communities within 3,200 feet should be
11 notified as soon as possible. No communities deserve to
12 be sacrifice zones with the harm these communities have
13 already unfairly suffered.

14 Thank you.

15 BOARD CLERK MOORE: Thank you. That concludes
16 our in-person commenters. I will now pass it back to
17 Christine for Zoom.

18 BOARD CLERK HARRINGTON: Thank you, John.

19 We currently have four people signed up with
20 their hands raised in Zoom and they are Karin Urso,
21 Jasmine Vazin, Riley Duren, and Ms. Morgan.

22 I will start with Karin Urso. I have activated
23 your microphone. Please unmute yourself and you can
24 begin.

25 KARIN URSO: Hello. I am a nurse in Bakersfield

1 and I'm a member of the California Nurses for
2 Environmental Health and Justice.

3 We applaud CARB's efforts to reduce methane
4 emissions, which protects our most vulnerable populations,
5 the very young, the very old, and pregnant persons.
6 Before a baby takes its first breath, it is already exposed
7 to air pollution in many places in California, as these
8 pollutants can pass the placental barrier. We submitted
9 written comment, but I would like to add one further
10 point. We request that CARB plan and implement a more
11 robust community notification policy.

12 Recently, we had the unfortunate situation in
13 which a South Kern high school held an outdoor graduation
14 ceremony on June 2nd. Three major methane leaks had been
15 identified within a thousand feet of the school. The
16 school claims it wasn't notified, although CARB stated in
17 a comment in a public meeting that it had notified the
18 school, so there is some confusion there. The community
19 members were not notified, so their right to make
20 decisions impacting their health and the health of their
21 families was violated.

22 Please close the communication gap to assure that
23 community members are informed in a timely manner to any
24 threat to their health and safety. Thank you.

25 BOARD CLERK HARRINGTON: Thank you.

1 Next, we will have Jasmine Vazin. Jasmine, I
2 have activated your microphone, you can begin.

3 JASMINE VAZIN: Thank you. My name is Jasmine
4 Vazin, and today I'm providing comment on behalf of the
5 Sierra Club. I would just like to highlight and support
6 the recommendations submitted via June 12th in a letter
7 signed by 13 environmental and public health organizations
8 to strengthen these updated regulations, specifically: the
9 current exemptions for heavy crude oil wells and separator
10 and tank systems that receive an average of less than 50
11 barrels of crude oil or condensate per day, leave huge
12 gaps in monitoring that will impact communities, heavy
13 crude wells were the type of wells that were found to be
14 leaking methane outside of homes and a school a year ago
15 in the Morning Star Neighborhood in Bakersfield, and 98
16 percent of producing wells in the state produce less than
17 the 50 barrel per day threshold meaning that all tanks
18 within community drilling sites would be exempt the way
19 the regulation is currently written and would place
20 communities at risk for undetected leaks.

21 We also recommend that both of these exemptions
22 are taken out of the final regulation. And also the
23 regulation, as others have mentioned, doesn't set out any
24 requirements for community notification or testing for
25 co-pollutants, which we heard earlier in the staff

1 presentation are quite common when methane is leaking from
2 these sites. And so we want to recommend that when sites
3 are found to be leaking within 3,200 feet of sensitive
4 receptors, that there is a robust notification and health
5 testing regime set out in these regulations explicitly.

6 We've seen kind of this lack of notification and
7 testing right now over the last month with the 27 wells
8 that are leaking in Arvin, and so we really want to urge
9 CARB to include standards of community level response and
10 notification in the final regulation.

11 With that, just please see our full letter
12 submitted via the written comment period for our full list
13 of recommendations. And thank you for the opportunity to
14 provide comment.

15 BOARD CLERK HARRINGTON: Thank you.

16 Next is will be Riley Duren followed by Ms.
17 Morgan, and then Elise Fandrich.

18 Riley, I have unmuted -- or I have activated your
19 microphone. You can please unmute and begin.

20 RILEY DUREN: Great. Good morning, Chair
21 Randolph and Board Members. I'm Riley Duren, CEO of
22 Carbon Mapper, a non-profit organization focused on
23 delivering transparent and precise methane data to guide
24 mitigation action.

25 In 2016 and 2017, while at NASA's Jet Propulsion

1 Lab, I led the first California methane survey that used
2 advanced remote sensing aircraft to conduct a
3 comprehensive assessment of methane point sources in the
4 state. We found it less than 0.2 percent of oil and gas
5 operations, landfills, and other facilities represent over
6 a third of the state's total methane emissions. In short,
7 a small number of leaky sources are responsible for a
8 large fraction of emissions. This is a trend we continue
9 to see with follow-up airborne surveys, including the one
10 we're doing for CARB right now. During these pilot
11 studies, we found that when armed with precise and timely
12 data, operators often take quick action to stop
13 unnecessary and wasteful methane emissions.

14 Our team and CARB staff communicated observed
15 methane plume data to facility operators in California.
16 As summarized in a recent released CARB report, operators
17 indicated that nearly half of methane emissions detected
18 by our overflights were previously unknown and leaks were
19 quickly repaired with many of the reductions verified by
20 subsequent overflights. Carbon Mapper has since expanded
21 these pilot efforts across other U.S. jurisdictions with
22 similar feedback.

23 It was the success of these pilot projects that
24 motivated me and our philanthropic sponsors to found
25 Carbon Mapper and establish partnerships to scale up

1 operational methane monitoring with satellites. Remote
2 sensing enables us to precisely and unambiguously locate
3 high emission methane sources, in many cases at the level
4 of individual components. Empirical field studies like
5 these, and publications in the open scientific literature
6 provide overwhelming evidence that remote sensing methods
7 can offer important contributions to methane mitigation.

8 We applaud California's continued climate
9 leadership and look forward to supporting implementation
10 of this important program. Thank you.

11 BOARD CLERK HARRINGTON: Thank you.

12 Next will be Ms. Morgan. I have activated your
13 microphone. You can unmute and begin.

14 MS. MORGAN: Yes, I would like to give a
15 shout-out to Nora. She is very, very good friend of mine.
16 But Nora, as a friend, I wanted to say you shouldn't be
17 posting on Instagram while people are speaking. I think
18 it would behoove you to listen to what they have to say.

19 But so you guys, wow, \$100 million for satellites
20 and you can't even quantify what the reductions would be.
21 So you don't even know if it would be worth that \$100
22 million of the people's money. And I'm not saying that we
23 should be having leaks, but with the things that you guys
24 are pushing into trying to get rid of this type of
25 resource, you know, the way to do it, because you're

1 basically saying if they have a leak that you've detected
2 through a satellite, they have to shut down and go find
3 it. So, I mean, whether or not there is a leak, they
4 still have to report to you, but it's a good way to get
5 them to shut down and not be, you know, producing any
6 supplies for people.

7 And you guys have to make more and more, stricter
8 and stricter rules and requirements as time goes on,
9 because you're afraid of federal sanctions, because it's
10 like the top down. Everybody has to enforce this in order
11 for it to work, because if you don't have this kind of
12 stuff, you can't force people into this new way of living.
13 Just like with driving, if you don't start taxing people,
14 Nora, right, then you're not going to get them to stop
15 driving like you guys want.

16 So everything you do, there's a punitive fee, or
17 regulation, or something that comes along with it, because
18 you have to push this. And I find it very dangerous that
19 you could just tell these people that they have to shut
20 down whether or not there is a leak, but you supposedly
21 found one with the satellite. And you guys are never
22 going to get to a zero reduction. It's impossible. It is
23 absolutely impossible. You guys leak methane. And some
24 of you probably are right now. What are you going to do
25 about that? Are we going to start doing this for people

1 and telling them that they can't, you know, pass gas? I
2 mean, it's ridiculous, the earth is self-healing and you
3 guys are manipulating it so it can't be.

4 BOARD CLERK HARRINGTON: Thank you. Our last
5 commenter is Elise Fandrich. I have activated your
6 microphone. You can unmute and begin.

7 ELISE FANDRICH: Thank you. Good morning.

8 BOARD CLERK HARRINGTON: Sorry. Go ahead.

9 ELISE FANDRICH: Can you hear me now?

10 BOARD CLERK HARRINGTON: Yeah. Sorry, I
11 accidentally deleted you.

12 ELISE FANDRICH: No problem. No problem.

13 Good morning. I'm here representing
14 Environmental Defense Fund. And I work for TrattenPrice
15 Consulting. They're one of our clients. So these
16 comments elaborate on EDF's written comments and address
17 the proposed remotely detected emissions plume provision
18 put forth by CARB. EDF is an international member
19 organization with more than three million members and
20 activists worldwide, many of whom are deeply concerned
21 about the pollution emitted from oil and natural gas
22 development and operations.

23 So we appreciate CARB's leadership with respect
24 to eliminating or reducing methane and other harmful
25 emissions from oil and gas facilities. The current

1 proposal furthers CARB's leadership role and will aid the
2 State in achieving carbon neutrality by 2045. We
3 specifically want to offer suggestions to achieve
4 additional reductions through the remotely detected
5 emission plumes provision.

6 Specifically, we urge CARB to: One, expand the
7 provision and allow CARB to use other types of remote
8 detecting technology capable of identifying super emitters
9 rather than limiting the proposal to satellites, two;
10 require operators to investigate all detected super
11 emitters, even those that may occur due to authorized
12 maintenance activities; and three, publicize the data
13 identified and reported to CARB as part of the Remotely
14 Detected Emissions Plumes Program, so that community
15 members are updated while these events are occurring. In
16 particular, EDF is requesting CARB make this provision
17 applicable to leaks detected by other types of remote
18 sensing technology as well, not just satellites.

19 We recommend this course of action because
20 multiple types of remote sensing technology can detect
21 methane. And doing so is consistent with EPA's proposed
22 Super-Emitter Response Program. So we appreciate CARB's
23 consideration of these comments and welcome the
24 opportunity to share with them today.

25 Thank you.

1 BOARD CLERK HARRINGTON: Thank you. That
2 concludes all the public commenters.

3 CHAIR RANDOLPH: Alright. Thank you. Unless
4 there's any issues staff would like to respond to that
5 were raised in the comments, I will go ahead and close the
6 record on this agenda item.

7 Okay. Closing the record. However, if it is
8 determined that additional conforming modifications are
9 appropriate, the record will be reopened and a 15-day
10 Notice of Public Availability will be issued. If the
11 record is reopened for a 15-day comment period, the public
12 may submit written comments on the proposed changes, which
13 will be considered and responded to in the Final Statement
14 of Reasons for the regulation. Written or oral comments
15 received after this hearing date but before a 15-day
16 notice is issued will not be accepted as part of the
17 official record on this agenda item. The Executive
18 Officer may present the regulation to the Board for
19 further consideration, if warranted. And if not, the
20 Executive Officer shall take final action to adopt the
21 regulation after addressing all appropriate conforming
22 modifications.

23 Board members, do you have any questions or
24 comments on this item?

25 Board Member Takvorian.

1 BOARD MEMBER TAKVORIAN: Thank you, Chair.

2 I just noted that several of the commenters
3 requested I believe improved reporting and publicization
4 of the data, as reported to CARB as part of community
5 reporting and kind of transparency. So I kind of
6 wondered -- I didn't talk about that during my briefing,
7 so I don't know what the response to that is. I wonder if
8 you all could respond, please.

9 EXECUTIVE OFFICER CLIFF: Yes. Thank you, Board
10 Member Takvorian. So our goal here is to be as
11 transparent as possible and get data out as quickly as we
12 can. To the extent that it's satellite data, we'll be
13 making those available according to the agreements that we
14 have in place with the operator of those instruments. And
15 as well, there's a methane task force that includes other
16 agencies and an opportunity to provide information to the
17 public as part of that work, but I'll ask Matt Botill if
18 he wants to add anything to that, specifically on what
19 we're planning to do here.

20 ISD DIVISION CHIEF BOTILL: Thank you, Dr. Cliff.
21 And Matt Botill, Division Chief of the Industrial
22 Strategies Division. And thank you, Board Member
23 Takvorian for the question. As Dr. Cliff mentioned, the
24 State has initiated a Methane Task Force, and this comes
25 in response to a letter that the Governor sent to Chair

1 Randolph in July last year to have improved coordination
2 across State agencies, the California Air Resources Board,
3 CalGEM, CNRA, and CalEPA on addressing methane leaks from
4 oil and gas activity. And so the Task Force has met three
5 times. The fourth meeting is actually coming up next
6 week.

7 And as part of the Task Force activities, we've
8 been communicating with community members and taking in
9 feedback as well as conducting additional field
10 inspections across State agent -- and local agencies to
11 understand and identify potential leaks. So in the most
12 recent action that the Task Force took, the -- there was
13 some inspections done in the Arvin-Lamont area. You heard
14 from some commenters today about that. And the Task Force
15 put out information about the results of those inspections
16 publicly. And as that work continues with the Task Force,
17 we expect more public communication on the results of
18 additional inspections and information gathered on
19 potential leaks. So it's been a good forum to be able to
20 disseminate information on activities that the state is
21 doing and inform community members about potential issues
22 that have been found through actions.

23 BOARD MEMBER TAKVORIAN: Okay. Thank you very
24 much.

25 DEPUTY EXECUTIVE OFFICER SAHOTA: Good morning,

1 Board Member Takvorian. This is Rajinder Sahota --

2 BOARD MEMBER TAKVORIAN: I'm sorry.

3 DEPUTY EXECUTIVE OFFICER SAHOTA: -- Deputy
4 Executive Officer. I wanted to add a little bit more on
5 the satellite piece, because I think it's important to
6 note that in last year's budget, there was \$5 million
7 encumbered to help with community grants to help build
8 capacity to see the satellite data once it's provided on
9 the websites at CARB. And that will be statewide data
10 with location throughout -- for all of the methane plumes
11 that are noticed not just on the oil and gas
12 infrastructure. So there's already plans to make sure
13 that we have funding for the community engagement piece as
14 well.

15 BOARD MEMBER TAKVORIAN: Thank you. Thank you,
16 all. Does that include consideration of direct
17 notification of residents within nearby -- the nearby
18 neighborhoods with oil and gas wells? Is there -- is that
19 part of the consideration that would be taken on?

20 DEPUTY EXECUTIVE OFFICER SAHOTA: So we are
21 currently working with our sister agencies to build
22 processes and structures to take the data in and
23 disseminate that data. And we can definitely have the
24 conversation what tools do we have today, what venues do
25 we have today to get notifications out, but it will be

1 publicly available to everybody, and we want to make sure
2 that the public knows that they can check daily to see
3 what the updates on the rates of the plumes and any action
4 on those plumes.

5 BOARD MEMBER TAKVORIAN: So do the people who
6 live within a certain distance of these facilities know
7 that? Have they received direct notification?

8 DEPUTY EXECUTIVE OFFICER SAHOTA: So we haven't
9 gotten satellite data from the satellites yet. We have
10 research contracts that have been underway to collect that
11 data.

12 BOARD MEMBER TAKVORIAN: Um-hmm.

13 DEPUTY EXECUTIVE OFFICER SAHOTA: And that is
14 what we're starting to practice right now, which is how do
15 we take that data that we get in the research effort. We
16 know we're going to get larger sets of data when we have
17 continuous data with satellites, how do we get that out
18 quickly, how do we make sure that the right agencies,
19 including the air districts, are notified, and then what
20 are the subsequent pushing out of information and data?

21 The \$5 million is really going to go a long way
22 to make sure that communities that are living near some of
23 this infrastructure know about the website, know how to
24 help interpret the data. And if there's certain things
25 that they're interested in, we want to make sure that

1 we're making those data products available in the process.

2 BOARD MEMBER TAKVORIAN: Okay. Thanks. I
3 think -- I think we know a lot about public notification
4 now. We know a lot from our emergency response systems.
5 We know a lot about what works and what doesn't work. And
6 so I really appreciate your efforts and I think the
7 community organizations that are in relationship with
8 folks in these neighborhoods are a really good resource
9 for you as well. So thank you for all you're doing.
10 Appreciate it.

11 CHAIR RANDOLPH: Thank you.

12 BOARD Member Hurt.

13 BOARD MEMBER HURT: Thank you, Chair. I think I
14 was going along the same lines as Board Member Takvorian
15 as far as public information. So I will look forward to
16 seeing how we translate all this information that we're
17 gathering for the community to understand.

18 My first question here. You know, there's been
19 an assertion of duplicative requirements and incompatible
20 implementation timelines of these rules with the district.
21 We certainly want efficiency and transparency. And so can
22 staff explain in what ways we're addressing these
23 concerns?

24 ISD OIL AND GAS AND GHG MITIGATION BRANCH CHIEF
25 LOZO: Yes. Thank you for the question. Carolyn Lozo

1 Chief of the Oil and Gas Branch here at CARB.

2 Yeah, staff worked very closely with U.S. EPA,
3 with local air districts, and also had many discussions
4 with industry to work out these problems. It is not our
5 intent to have duplicative requirements, duplicative work.
6 So for most of those instances, where there could have
7 been some confusion and duplicative work, we worked
8 through it with EPA. EPA is very specific about the
9 language that we need to incorporate into the regulation.
10 So as I said, most of those instances, we were able to
11 work through. For those few instances that are left where
12 there might be some duplicative work that it appears might
13 be required, we're committed to working with industry,
14 with local air districts, and with EPA to work through
15 those through the implementation process.

16 BOARD MEMBER HURT: Thank you for that. I think
17 we have to realize that there's -- this is kind of an
18 organic process, and there's a lot of partnerships, and
19 that we're living and learning on how to do this better
20 and be more efficient together.

21 I -- maybe just a comment, which is I really
22 think this is a decisive decade for the world to confront
23 climate change collectively and be bold locally for air
24 quality, climate action, and environmental justice. So
25 maximizing technology innovation and tightening our

1 requirements as well as extending our data gathering for
2 oil and gas sector makes a lot of sense to meeting our
3 State goals. So I want to applaud staff for moving this
4 forward and creating those partnerships and talking
5 through what we need to do in this sector and area.

6 And I'm definitely sensitive to the underground
7 facilities and quantifying leakage. So I hope we have a
8 really steady eye and hand on that, because of its impact
9 in communities. And sometimes when we bury things, we
10 forget about them and -- until something really bad
11 happens. So I hope we continue to do that data gathering,
12 because at the end of the day, the health of our
13 communities needs to be protected. And that's what I see
14 in these rule amendments.

15 So I've had many different meetings with
16 stakeholders. And I said, you know, business as usual or
17 status quo is no longer an option, and so let's work
18 together into the future. And so I'll be supporting these
19 amendments.

20 Thank you.

21 CHAIR RANDOLPH: Thank you.

22 Dr. Balmes.

23 BOARD MEMBER BALMES: Thank you, Chair. First
24 off, I want to thank Ms. Sahota for clarifying about the
25 public communication effort. I really agree with Ms.

1 Takvorian and Ms. Hurt about how that's important. But I
2 wanted to say as a scientist who uses satellite data in my
3 own research - it's not for methane. It's PM2.5 for the
4 most part - it really has been a great boon to my own
5 research to cover areas where there is not ground
6 monitoring. So, you know, the satellite data that's
7 available for PM2.5 around the world now, I'm
8 collaborating with folks in Africa where I can get PM2.5
9 data where there are no monitors.

10 I just really think this is an important step
11 that we're taking with regard to methane emission
12 monitoring by satellite. So I just -- you know, it's
13 really exciting. You know, we've got to make sure it
14 works at multiple levels. And I agree that public
15 communication is key, but I'm really thankful that staff
16 is moving in this direction.

17 CHAIR RANDOLPH: Alright. Dr. Pacheco-Werner.

18 BOARD MEMBER PACHECO-WERNER: Thank you. Thank
19 you to staff and thank you to all the commenters both in
20 person, online, and written. I wanted to kind of pull in
21 this thread around the public information, and as that
22 continues to be involved -- evolve, and the Task Force
23 that you're talking about, because I definitely want to --
24 I feel like when we were dealing with this last year,
25 there was a little bit of frustration from folks in terms

1 of what the fire departments could classify as, you know,
2 a danger versus, you know, what's just -- what is leaking,
3 but maybe not a public health danger. And so I just want
4 to see if you could talk to us more about how the -- when
5 you're talking about the monitoring and the public
6 information, how we're weaving in that kind of like
7 clinical significance of what you're finding and how that
8 can best be communicated to the public.

9 ISD DIVISION CHIEF BOTILL: Thank you, Board
10 Member Pacheco-Werner. So again, Matt Botill with the
11 Industrial Strategies Division. I do think that the work
12 that we have been doing with the other agencies, the --
13 with the Task Force has been really helpful here. And I
14 say that, because, you know, as part of that work, we've
15 been discussing how different leaks have different
16 characteristics. So a leak of higher concentration
17 indoors maybe poses more of a safety risk or a fire risk
18 if it is really in a concentrated small space or confined
19 space versus a leak that maybe is less concentrated,
20 outdoors diffuses rapidly is a climate concern, because of
21 the methane emissions that are being released versus
22 another leak that maybe has co-pollutants in it that
23 could, in conjunction with other exposure risks, result in
24 health risks.

25 And so we've been working through how to

1 communicate the differences in the leaks and in potential
2 risks as part of the Task Force and in making sure that
3 other agencies, as they're doing inspection work, are
4 notifying appropriate authorities, for instance, the fire
5 department if it looks like we might be in a safety risk
6 for instance.

7 BOARD MEMBER PACHECO-WERNER: And I think I would
8 recommend, you know, as the public engagement happens on
9 that and the workshops, that some of that gets laid out
10 for folks in terms of some -- understanding some of the
11 clinical versus the other safety risks that you talked
12 about.

13 Thank you.

14 CHAIR RANDOLPH: Okay. Any other questions or
15 comments?

16 Board Member Guerra.

17 BOARD MEMBER GUERRA: Just one comment. I wanted
18 to again thank you again. I think this movement towards
19 satellite information is important, and more so, because I
20 do think that it's going to allow, even as we saw in the
21 previous item, I think other researchers to help us and
22 have more eyes on what we're seeing. And then finally,
23 just anecdotally, I know in my time in the last four years
24 of chairing the Sacramento Metro Air Quality Air District,
25 what I found that the public -- particularly,

1 unfortunately, we had terrible smoke issues, but the
2 satellite view and being able to visually show concerns
3 has helped the public engagement more than just talking
4 about the numbers.

5 And so I just do feel that there is a different
6 connection once we start using that. I mean, even in --
7 when you -- on the daily news, people look at the weather
8 map. That's -- that is one of the most common ways to
9 engage the public. So with that, I just wanted to thank
10 staff. And also, I think there's just an extreme amount
11 of benefit by having an opportunity for more researchers
12 and more eyes on potential situations that could happen,
13 not that they're happening immediately. But when they do,
14 it puts everyone else to join us on -- in our effort.

15 Thank you, Madam Chair, and I'll support the
16 item.

17 CHAIR RANDOLPH: Alright, thank you.

18 Senator Stern.

19 SENATOR STERN: Thank you, Madam Chair.

20 Apologies for my delay here. Just got out session and
21 walked over, but was watching this proceeding with great
22 interest. Appreciate the diligence of staff and the work
23 on this. We've been working in the Legislature for quite
24 a while on the impacts of oil and gas production in this
25 State on sensitive receptor sites, disadvantaged

1 communities, as well as people all over the state of
2 California. So I'm excited to see some work getting done
3 here.

4 I would -- I would say that I believe more needs
5 to get done and some beyond the scope of this regulation.
6 When we're talking about methane pollution, I think, you
7 know, there's been a lot of attention given to the
8 pressures around production say or in the 1383 context,
9 people are saying slow down and stop making an effort on
10 methane when it comes to waste. I think those are all --
11 those are misguided. But even if we take this step today,
12 our role as the largest gas consumer in the country
13 remains. And our complicity in this methane pollution
14 puzzle that really escapes our borders, to me, is still
15 outstanding. And I'm really hoping with the vote and with
16 the level of diligence done on oil and gas facilities,
17 that we can also recommit ourselves to understanding the
18 true carbon, methane, and public health impact of methane
19 gas in this state.

20 We consume a lot more than most states do. We
21 think of ourselves as very green and we like to pat
22 ourselves on the back often. I think in this case, as
23 well as in oil consumption, we don't have a lot of reason
24 to be, you know, too proud. You know, you're talking
25 about 60 some odd percent of California households heat

1 them -- heat their homes on gas. And in the south, that
2 number is down at 20, 15, 30 percent. We use more gas
3 here. We just don't produce a lot of that gas here. So
4 the meth -- this methane rule will be, I think, very
5 important, especially for those with oil wells behind
6 their -- you know, in their backyards. We have a gas
7 storage site, so I'm sensitive around gas issues. But
8 most people in this state aren't living behind a fracking
9 well that's completely unregulated at the wellhead, or
10 fugitive emissions are rampant, where gas really starts to
11 look like coal by the time it gets here.

12 Alright, so I'm hoping that we can really in the
13 future, either you know, legislatively or here at the
14 Board, take a look at the hidden part of the gas puzzle,
15 that hidden part of methane that's embedded in the gas we
16 consume every day, in the power plants we're extending or
17 it looks like we're extending, and then the stoves that
18 are burning it, much to the detriment of our children and
19 elderly, and start to say what is the true cost of that
20 methane? Let's not lie to ourselves and pretend this is
21 natural gas. It's methane gas. Natural gas is marketing.
22 It's methane gas.

23 And so the work is not done. I'm very supportive
24 of the measure today and appreciate you all doing it, but
25 I would just -- I would urge that consideration going

1 forward -- and if it's appropriate, I'd love to hear
2 anything from staff just about what's going on in the
3 broader methane context around the fugitive emissions in
4 natural gas. The concern is, yes, we don't import coal,
5 but if gas looks a lot like coal, aren't we just doing the
6 same thing? So any thoughts on that would be appreciated
7 gratefully.

8 DEPUTY EXECUTIVE OFFICER SAHOTA: Those were some
9 really great points, Senator Stern, and a lot of that was
10 covered as part of 2022 Scoping Plan. The first thing I'd
11 like to say is that we just absolutely need to get away
12 from combustion of fossil fuels everywhere, including
13 fossil gas. You're also correct that we import almost all
14 of the gas, fossil gas, that use in this state. And so
15 the actions to build out clean renewable energy to
16 electrify homes, electrify transportation, go to zero
17 emission vehicles through hydrogen, and decarbonize
18 industry will go a long way into reducing the demand for
19 that fossil gas, which means less leaks in the
20 infrastructure, because we can start to decommission some
21 of that.

22 I think the challenges here are how do you move
23 off of that gas and -- without building out the new energy
24 to displace it? And so one of the things that we keep
25 running into is the permitting issues on building out

1 clean energy to then be able to turn off the dirty energy
2 that's coming into the state. And so that is an area
3 where there's a lot of focus. As you're aware, Governor
4 Newsom had that Executive Order on permitting for clean
5 energy and infrastructure. There's efforts across State
6 agencies to figure out how to help on getting clean energy
7 infrastructure sited. There's regs here at CARB that I
8 know you've sat in on to actually deploy clean
9 non-combustion technology in the transportation sector.

10 As we look at the regulations moving forward to
11 align with the Scoping Plan, we'll be looking at how to
12 get away from combustion in the industrial sectors. And I
13 know there's a measure coming forward in the SIP context
14 for zero emission appliances in homes. So we're trying to
15 hit both the upstream side in terms of building out clean
16 energy and the downstream end uses of that fossil
17 technology today.

18 SENATOR STERN: If I could just ask one
19 follow-up, Madam Chair? I think those are the right
20 goals. We're with you 200 percent on it. But if we
21 concede, as the Scoping Plan itself does, that there will
22 be gas in our future, at least gas power, it's in there,
23 we're going to be bringing in gas to this state. And
24 we've transformed, you know, national practices before,
25 right? Our clean air policies have triggered a global

1 automotive revolution. For all those wellheads out in the
2 Permian Basin or deep in Pennsylvania in the Marcellus or
3 wherever else where they're flaring, where they're not
4 paying attention to VOCs, for the gas we're bringing in
5 shouldn't we be looking at some kind of standard, or some
6 kind of life cycle analysis, where at least, you know,
7 we're not treating all methane gas as equal, that somehow
8 there's sort of -- there's a lifting process, or a
9 certification, or some kind of standardization, so that
10 the industry beyond our borders will want to compete and
11 say let's deliver, you know, gas that's compliant and
12 cutting edge, and new market transformative work in that
13 way that doesn't exceed our jurisdictional authority by
14 any means, but at least starts to look at the supply side,
15 right, not just cutting that demand side. I guess, how do
16 we tackle that supply side?

17 CHAIR RANDOLPH: Oh, go ahead.

18 DEPUTY EXECUTIVE OFFICER SAHOTA: So there --
19 again, there's two points here. One is you mentioned 1383
20 and so that means getting more of the fugitive emissions
21 in the State captured and put into end uses where we need
22 some kind of gas for energy. So we have to do better on
23 getting that fugitive emission into the gas supply. That
24 will help on 1383 goals and help on the goals for 2030 and
25 2045. So that also has to be part of the consideration in

1 terms of displacement of fossil gas.

2 For the upstream piece, I think there is a couple
3 of considerations there, one has to be cost -- what's the
4 cost to ratepayers and what is the cost for that
5 infrastructure. The second part is how do we accurately
6 capture sources and systems outside of the state of
7 California? And so I think there's some work being done
8 on this. We know that there is a voluntary standard out
9 there and we're looking into this, but I think right now
10 we have to focus on -- well, here's what we're focused on
11 is what's going on within the State for 1383 for RNG
12 bringing that online, and then how to actually make sure
13 that demand goes down.

14 To the extent that gas persists, I think we do
15 want to look at options for how to make sure that that
16 gas -- fossil gas is as clean as possible, and clean being
17 low carbon intensity as possible, but I think that has to
18 happen in time, because first we need to push out as much
19 as we can. So maybe it becomes a resource capacity. I'm
20 not sure, but it has -- we can't do all of it at once, and
21 so we're trying to organize across the State agencies on
22 how to take the low-hanging fruit, with just can we just
23 get out of this fossil source as much as possible.

24 SENATOR STERN: I want to be there with you, but
25 we just ordered a billion two for gas plants to keep

1 running that we're supposed to close, right? Like, we're
2 eating this gas for decades to come. So it's a -- I know
3 it's not -- I want to be applauding, but it's -- we should
4 just sober ourselves and let's find a way to find that
5 capacity, I would say, because it's an ugly truth that I
6 think we all -- we all share, but I appreciate staff's
7 remarks and thank you for letting me dialogue for a
8 moment.

9 CHAIR RANDOLPH: Alright. Thank you so much. Do
10 we have any other questions or comments from the Board
11 members.

12 Okay. The Board has before it a motion,
13 Resolution 23-18. Do I have a motion and a second?

14 BOARD MEMBER PACHECO-WERNER: Move to approve.

15 BOARD MEMBER HURT: Second.

16 CHAIR RANDOLPH: Okay. Clerk, would you please
17 call the roll.

18 BOARD CLERK HARRINGTON: Dr. Balmes?

19 BOARD MEMBER BALMES: Yes.

20 BOARD CLERK HARRINGTON: Mr. De La Torre?

21 BOARD MEMBER DE LA TORRE: Aye.

22 BOARD CLERK HARRINGTON: Mr. Eisenhut?

23 BOARD MEMBER EISENHUT: Yes.

24 BOARD CLERK HARRINGTON: Senator Florez?

25 BOARD MEMBER FLOREZ: Aye.

1 BOARD CLERK HARRINGTON: Mr. Guerra?

2 BOARD MEMBER GUERRA: Aye.

3 BOARD CLERK HARRINGTON: Ms. Hurt?

4 BOARD MEMBER HURT: Hurt aye.

5 BOARD CLERK HARRINGTON: Mr. Kracov?

6 BOARD MEMBER KRACOV: Yes.

7 BOARD CLERK HARRINGTON: Dr. Pacheco-Werner?

8 BOARD MEMBER PACHECO-WERNER: Yes.

9 BOARD CLERK HARRINGTON: Mr. Perez?

10 BOARD MEMBER PEREZ: Supervisor Perez yes.

11 BOARD CLERK HARRINGTON: Dr. Quirk?

12 BOARD MEMBER QUIRK: Aye.

13 BOARD CLERK HARRINGTON: Dr. Shaheen?

14 BOARD MEMBER SHAHEEN: Aye.

15 BOARD CLERK HARRINGTON: Ms. Takvorian?

16 BOARD MEMBER TAKVORIAN: Aye.

17 BOARD CLERK HARRINGTON: Supervisor Vargas?

18 BOARD MEMBER VARGAS: Vargas yes.

19 BOARD CLERK HARRINGTON: Chair Randolph?

20 CHAIR RANDOLPH: Yes.

21 BOARD CLERK HARRINGTON: Madam, the motion

22 passes.

23 CHAIR RANDOLPH: Alright. Thank you.

24 Okay. Our next item on the agenda will be the

25 Haagen-Smit Clean Air Awards. We are going to take a

1 10-men break, get ourselves together, and then we will
2 have the awards presentation. So we will be back at
3 10:38.

4 (Thereupon a recess was taken.)

5 (Thereupon a slide presentation).

6 CHAIR RANDOLPH: I'd like to begin our last
7 agenda for today, which is item number 23-6-3.

8 Yes, oh, sorry.

9 Okay. We are ready for our last agenda item,
10 number 23-6-3, the 2022 Haagen-Smit Clean Air Awards.

11 If you are here with us in the room and wish to
12 comment on this item, please fill out a request-to-speak
13 card as soon as possible and submit it to a Board
14 assistant. If you are joining us remotely and wish to
15 comment on this item, click the rise hand button or dial
16 star nine now. We will call on in-person commenters
17 followed by remote commenters when we get to the public
18 comment portion.

19 For over 20 years, the Board has annually
20 bestowed the distinguished Haagen-Smit Clean Air Awards
21 upon extraordinary individuals whose career
22 accomplishments in air quality and climate change have
23 been exceptional, transformative, widespread and novel.

24 --o0o--

25 CHAIR RANDOLPH: The awards are named in honor of

1 Professor Haagen-Smit because of his important
2 contributions to air pollution science and the
3 significance of his career as the first Chair of the Air
4 Resources Board. Dr. Arie Haagen-Smit was a professor at
5 the California Institute of Technology in Pasadena for 16
6 years. In 1948, he embarked on air pollution research
7 when he was asked by the County of Los Angeles to
8 investigate the chemical nature of what we now call smog.
9 His research found that most of California's smog resulted
10 from photochemistry, when emissions react with sunlight to
11 create ozone. This breakthrough provided the scientific
12 foundation for the development of California's and the
13 nation's air pollution control programs. The impact of
14 his work can be seen in air pollution control efforts
15 throughout the world.

16 --o0o--

17 CHAIR RANDOLPH: Dr. Haagen-Smit continued
18 working in the field of air pollution research, and upon
19 becoming CARB's first Chair in 1968 directly addressed the
20 smog problem in Los Angeles. In 1973, Dr. Haagen-Smit
21 received the National Medal of Science, this country's
22 highest scientific honor. Although Dr. Haagen-Smit passed
23 away in 1977, his work continues to inspire scientists and
24 policymakers alike.

25 --o0o--

1 CHAIR RANDOLPH: Over the last 21 years, 72
2 acclaimed scientists and policymakers have received the
3 prestigious Haagen-Smit Award for their contributions to
4 clean air. Seven recipients are being added to the
5 illustrious list today, the 21st year of the Haagen-Smit
6 Clean Air Awards.

7 I will now ask Dr. Cliff to announce each 2022
8 Haagen-Smit Clean Air Awardee, along with the Board member
9 who will introduce the awardee.

10 Dr. Cliff.

11 --o0o--

12 EXECUTIVE OFFICER CLIFF: Thank you, Chair
13 Randolph. We're very pleased to honor the recipients of
14 the 2022 Haagen-Smit Clean Air Awards today. As you
15 noted, each of the winners will be introduced by a Board
16 member and each winner will have an opportunity to provide
17 a few remarks at the podium before being handed their
18 award. After the close of the Board meeting, we will
19 gather for a few photographs, including a group photo with
20 the Board. Additionally, after the meeting, the
21 Haagen-Smit Clean Air Leadership Talks will be held in
22 this room this afternoon at 1:30, where the awardees will
23 be given -- will give brief presentations about their
24 work.

25 --o0o--

1 EXECUTIVE OFFICER CLIFF: With that, the first
2 2022 Haagen-Smit Clean Air Award winner today is Dr.
3 Prashant Gargava in the category of International
4 Leadership. Unfortunately, Dr. Gargava is unable to
5 attend or provide a video. Board Member Guerra will
6 discuss Dr. Gargava's significant accomplishments.

7 BOARD MEMBER GUERRA: Thank you, Dr. Cliff and
8 Madam Chair, and members of the Board here. I'm honored
9 here to discuss Dr. Prashant Gargava's selection here and
10 accomplishments. He's been with the Central Pollution
11 Control Board of India since 1991, and served as a member
12 in the leadership capacity of Secretary since 2018. He
13 was also a Scholar in the Fulbright-Nehru Environmental
14 Leadership Program. Dr. Gargava has helped initiate many
15 critical air quality programs in India, including the Air
16 Quality Index, the National Air Quality Standards, and the
17 National Clean Air Program.

18 He's also an internationally recognized air
19 quality scientist having co-authored many papers
20 describing air quality in India, including those
21 describing a source apportionment study in six Indian
22 cities that guided future air quality action plans.

23 Dr. Gargava has been a longtime advocate for
24 democratization of environmental data. For example, he
25 helped create a website, UrbAirIndia, which makes detailed

1 information related to air quality monitoring availability
2 to the public.

3 He also developed the country's first publicly
4 accessible environmental data -- database. Dr. Gargava's
5 impact has been felt well beyond India. He co-authored a
6 guiding -- he co-authored a *Guiding Framework for Better*
7 *Air Quality in Asian Cities* for Clean Air Asia -- Asian
8 cities for -- that will support -- that supported the UN
9 Environmental Program, the Asian Development Bank, and the
10 World Bank. The framework has helped promote increased
11 attention to air quality issues in neighboring countries
12 such as Nepal, Sri Lanka. And CARB here is pleased to
13 honor Dr. Prashant Gargava with the Haagen-Smit Clean Air
14 Award in the category of International Leadership.

15 Congratulations, Dr. Gargava. Let me pass this
16 over back to Dr. Cliff.

17 EXECUTIVE OFFICER CLIFF: Thank you, Vice Mayor
18 Guerra.

19 The second Haagen-Smit Clean Air Award recipient
20 today is Mr. Bill Magavern in the category of Policy. Mr.
21 Magavern will be introduced by Board Member De La Torre.

22 BOARD MEMBER DE LA TORRE: Thank you. And I'm
23 very sorry, Bill, that I'm not there for your big day. I
24 greatly apologize for that, but glad we were able to meet
25 last week and talk. It is a great privilege to introduce

1 Bill Magavern as our Policy winner in the Haagen-Smit
2 Awards.

3 He is dedicated to clean air, to renewable
4 energy, to climate protection, in fact, everything we do
5 at CARB. He is soft spoken, but tough. He is analytical
6 and strategic and has gotten so much done in the area of
7 clean air and climate protection in the state of
8 California. He has been -- he is currently Policy
9 Director at the Coalition for Clean Air, where he's been
10 for 10 years. Previously, when I met him, he was Policy
11 Director for the Sierra Club. Before that, he was
12 Director of the Critical Mass Energy Project for Public
13 Citizen. And before that, he was a staff attorney at U.S.
14 PIRG.

15 I met him in my first year in the State
16 Legislature, when due to some really bad outcomes, we
17 created Green California, a coalition of environmental
18 groups that united in support of important legislation and
19 continued throughout my time -- tenure in the Legislature
20 and beyond. He has been a leader over the decades, AB 32,
21 California's innovative climate legislation, SB 210, the
22 Smog Check for Trucks legislation. He has worked on
23 reducing short-lived climate pollutants and has supported
24 CARB's efforts in this regard, particularly with methane,
25 referencing the item we just considered before this one.

1 He is a champion of environmental justice legislation
2 throughout his tenure, including a big proponent of SB
3 535, which required a significant portion of the climate
4 investments to benefit underserved and disadvantaged
5 communities.

6 There is no one, no Governor, no legislator, no
7 regulator, who has been involved in every air quality and
8 climate policy accomplishment in California of the last
9 three decades. Bill has and that is why we are honoring
10 him today. CARB is honored to present Mr. Bill Magavern
11 with the Haagen-Smit Clean Air Award in the category of
12 policy.

13 Congratulations, Bill.

14 (Applause).

15 BILL MAGAVERN: Alright. You'd think I'd know
16 how to do that.

17 Thank you so much for that introduction, Hector.
18 When I saw Hector last week I said you've said such
19 wonderful things about me, I can only hope to live up to
20 them.

21 I warned the staff I may need more than my usual
22 three minutes, because I have a lot people to thank, and
23 starting with my wife Sara Nichols, who's moved --

24 (Laughter).

25 BILL MAGAVERN: -- and is right there now, who

1 has been incredibly supportive of my career, is one of the
2 best organizers that you'll ever meet, and also finds very
3 creative ways to charge our electric car when we're on
4 vacation. I also want to thank the Board and staff of the
5 Coalition for Clean Air, which has been my home now for
6 the last 11 years, and especially our CEO Joe Lyou, who
7 always has my back.

8 DR. JOE LYOU: Here. Right behind you.

9 BILL MAGAVERN: And in addition to Joe, the
10 people who nominated me for this incredible honor, are
11 Mary Nichols, Hector De La Torre, and V. John White. And
12 I thank them not only for that, but also for so much that
13 I've learned from them over many, many years. I also
14 wanted to thank Senator Fran Pavley, who I was privileged
15 to help her on some of the climate laws that she authored,
16 which have really formed the foundation of California's
17 climate program. And then also lesser known, when Fran
18 was in the Assembly, I helped her on some bills they she
19 authored that we sponsored at Sierra Club California to
20 get toxic mercury out of products in California.

21 And I really want to thank the Board and staff of
22 the California Air Resources Board. You are the most
23 effective body that I've ever practiced before during my
24 35-year career. You're dedicated to your mission of
25 protecting public health. And actually one of my favorite

1 parts of my job is standing at this podium and taking the
2 three minutes, or two minutes, however much you give me
3 for public comment. And it's not only because the podium
4 does rise to the level of my height - I do like that - but
5 I feel like when I talk, you actually listen to me, and
6 most importantly, working together we're able to protect
7 the air and climate for the benefit of the people of
8 California.

9 I also want to thank the environmental and
10 environmental justice communities here in California, my
11 brothers and sisters in this work that we do together,
12 people that are dedicated to it, not because it's the most
13 lucrative career that they could find, but because it's
14 the right thing to do. And we're looking out for the
15 current and future people of California.

16 We're in this auditorium that's named after Byron
17 Sher, who also was in the first class of recipients of the
18 Haagen-Smit Award. And he was actually the most important
19 legislator on environmental issues until Fran Pavley came
20 on the scene. And when I first met Senator Sher and I
21 introduced myself as the new representative for Sierra
22 Club California, he said, "Well, you'll find your rewards
23 in a future life".

24 But I have to say, to me, it's never felt like
25 any kind of sacrifice to do the job that I do. I love the

1 work that I do and I plan to continue doing it for some
2 time to come. Thank you.

3 (Applause).

4 CHAIR RANDOLPH: Dr. Cliff.

5 --o0o--

6 EXECUTIVE OFFICER CLIFF: The third
7 Haagen-Smit -- 2022 Haagen-Smit Clean Air Awardee today is
8 Dr. Allen Goldstein in the category of Science and
9 Technology. Dr. Goldstein will be introduced by Dr.
10 Quirk.

11 BOARD MEMBER QUIRK: I'm highly honored to
12 introduce Dr. Allen Goldstein, Professor at the University
13 of California at Berkeley. For over 30 years -- for over
14 30 years, first at Harvard and then at Berkeley, Dr.
15 Goldstein has established himself as one of the top
16 atmospheric chemists in the world. His publications have
17 been cited over 49,000 times. He has been recognized by
18 his fellow scientists by being elected a Fellow of the
19 American Association for the Advancement of Science, which
20 covers all the sciences done in the United States, the
21 American Geophysical Union, and the American Association
22 for Aerosol Research.

23 His research, which focuses on volatile organic
24 compounds has informed critical air quality issues, such
25 as ground level ozone and particulate matter. His work

1 has been used to explain outstanding regional air quality
2 questions, such as the anthropogenic impact on fog
3 formation in the Central Valley of California and the
4 formation of particulate matter in the Southeastern United
5 States. His laboratory has developed advanced sampling
6 techniques that have allowed the characterization of the
7 most complex material in the atmosphere, and he has
8 continuously acted as a scientific bridge, allowing
9 theories developed under controlled laboratory conditions
10 to be applied to real-world atmosphere.

11 Many scientists do great research, but few see
12 that research make life better for the health of people
13 around the world. This is why CARB is honored to bestow
14 upon Dr. Allen Goldstein the Haagen-Smit Clean Air Award
15 in the category of Science and Technology.

16 Congratulations, Dr. Goldstein.

17 (Applause).

18 DR. ALLEN GOLDSTEIN: Thank you very much for
19 your kind words. I'm deeply honored to receive the
20 Haagen-Smit Clean Air Award today. It's very humbling to
21 be recognized for my research contributions to clean
22 earth, science, and technology. And CARB is has supported
23 my work extensively over the last three decades and
24 enabled me to contribute impactful research for the people
25 of California. And I simply thank CARB for the

1 recognition of my accomplishments today.

2 Air pollution is a richly diverse and exciting
3 field, at the intersection of earth system science,
4 climate, natural biogeochemical processes, and human
5 influences. While individual researchers certainly make
6 important contributions, the major advances in our field
7 today are mainly achieved through thoughtful and unselfish
8 cooperation and research, and particularly in research
9 designed to inform societal opportunities for improving
10 air quality. This is particularly true when it comes to
11 major field campaigns that involve a large number of
12 research teams from California, the United States, and
13 around the world to bring together an amazing array of
14 people, instrumentation, models, and expertise to advance
15 understanding.

16 I've been privileged to play a role in many
17 national and international large-scale scientific teams
18 conducting collaborative research, including many here in
19 California. And sincerely thank all my wonderful
20 colleagues who have supported and enabled my ability to
21 contribute to those collaborative efforts.

22 I love the process of scientific research and
23 discovering working with a team. My creative juices flow
24 best when inventing measurement technology, enabling a
25 novel view into the complexity of organic chemistry

1 occurring in our environment, applying these new tools to
2 investigate sources and transformations, and interacting
3 with my research group and colleagues to gain knowledge
4 from the data. My biggest scientific thrills have been
5 those precious moments when we've discovered something not
6 previously understood.

7 I'm confident that in the coming decades, our
8 society will continue the much needed massive
9 transportation from fossil fuels towards renewable energy
10 with accompanying reductions in air pollution. As an
11 atmospheric chemist, I look forward to continuing to lead
12 research on how our atmosphere and earth systems respond.
13 For example, the spectacular declines in transportation
14 emissions and increasing adoption of electric vehicles are
15 game changers, and we are currently working hard on
16 research documenting the effects on urban air pollution.

17 Simultaneously over the past decade, the growing
18 frequency and magnitude of wildfires in North America, and
19 particularly in California, have created a new and
20 persistent threat to air quality. Much of my research is
21 currently funded by CARB and NOAA focused on understanding
22 emissions from wildfires, controlled burns of vegetation,
23 and structure fire emissions at the wildland urban
24 interface.

25 I'm passionate about my work and am extremely

1 grateful to all the people who have mentored and inspired
2 me along the way. I specifically want to mention I'm
3 grateful to my undergraduate advisor at UC Santa Cruz, Ken
4 Bruland, who led me towards environmental and analytical
5 chemistry, and my PhD advisor at Harvard, Steve Wofsy, who
6 led me into the field of atmospheric chemistry. The
7 opportunity to make my career at UC Berkeley doing
8 scientific research and teaching has truly been a
9 privilege. And I deeply appreciate all my colleagues
10 there who have made it such a wonderful and thoughtful
11 provoking environment.

12 In particular, I want to thank all my colleagues
13 who have collaborated with me extensively including Dennis
14 Baldocchi, Ron Cohen, Joost deGouw, Delphine Farmer, Mary
15 Firestone, Ian Galbally, Rob Harley, Susanne Hering, Jose
16 Jimenez, Nathan Kreisberg, Bill Nazaroff, John Seinfeld,
17 Jonathan Williams, and many others.

18 A special thanks to Barbara Finlayson-Pitts for
19 nominating me for this award, and to John Burrows, Alex
20 Guenther, Kim Prather, Paul Shepson, and Doug Worsnop who
21 graciously supported my nomination.

22 I also want to thank all the program managers and
23 agencies who have supported and enabled my research,
24 especially CARB. I'm particularly indebted to my
25 long-term lab managers Megan McKay, who now works for

1 CARB, and Robin Weber, and the more than 60 graduate
2 students and post-docs who have been members of my lab at
3 UC Berkeley and engaged with me in advancing science and
4 technology for improving air pollution. Mentoring you in
5 building successful careers and lives to has been
6 extremely gratifying and enriching and is my favorite part
7 of the job.

8 Finally, I want to thank my life -- my wife
9 Lauren Goldstein, who is here in the audience, my children
10 Ari and Noah, my parents, Howard and Sheila, and the rest
11 of my family for all their support and encouragement.
12 Without them, my life and career would be far less
13 meaningful.

14 Thank you.

15 (Applause).

16 --o0o--

17 EXECUTIVE OFFICER CLIFF: The fourth Haagen-Smit
18 Clean Air Award winner today is Dr. Jonathan Samet, the
19 Dean and Professor at the Colorado School of Public
20 Health. Dr. Samet will be introduced by Dr.
21 Pacheco-Werner.

22 BOARD MEMBER PACHECO-WERNER: Thank you. It is
23 my great honor today to introduce Dr. Jonathan Samet,
24 trained as a pulmonary physician and epidemiologist. Dr.
25 Samet is the Dean and Professor at the Colorado School of

1 Public Health. Previously, Dr. Samet has worked at the
2 University of New Mexico, Johns Hopkins University and the
3 University of Southern California. In every role, Dr.
4 Samet has a -- had a widespread and profound impact on
5 environmental health research. He led the National
6 Morbidity, Mortality, and Air Pollution Study, and
7 subsequently produced a groundbreaking national cohort
8 study using the Medicare database to characterize the
9 health effects of particulate matter. He has co-authored
10 over 400 scientific papers, several of which have provided
11 support for the National Ambient Air Quality Standards for
12 ozone and particulate matter. Dr. Samet has played a
13 pivotal role in assuring that these standards are based on
14 science.

15 He is also an expert in tobacco and public health
16 and made important contributions to tobacco control. In
17 addition to his scientific work, Dr. Samet has provided
18 leadership to many critical, national committees, such as
19 the U.S. EPA's Clean Air and Scientific Advisory
20 Committee.

21 CARB is honored to present Dr. Jonathan Samet
22 with a Haagen-Smit Clean Air Award in the category of
23 Environmental Health Research. Dr. Samet is currently in
24 Japan at a meeting of the Board of the Radiation Effects
25 Research Foundation and has sent this pre-recorded

1 acceptance speech.

2 DR. JONATHAN SAMET: California Air Resources
3 Board members and colleagues, I'm honored to receive the
4 2020 Haagen-Smit award in the category of Environmental
5 Health Research. And as a former Californian, I offer my
6 admiration for CARB's pioneering contributions for
7 decades. You have pushed the cutting edge for air
8 pollution control. I started my career with a plan that I
9 would combine medicine, public health, and research,
10 wanting to make a difference with the devastating
11 environmental problems that were so visible in the 1950s
12 and 1960s, as I grew up, black skies, the burning Cuyahoga
13 River, epidemic lung cancer, dying workers, and visible
14 racism and its health consequences.

15 Early on, I learned about the social determinants
16 of health, hands on with the patients I cared for as a
17 resident at the University of Kentucky and then the
18 University of New Mexico, many made ill by what they
19 inhaled into their lungs, coal dust, radon, tobacco smoke,
20 and air pollution. I had the hope and expectation that
21 research findings would make a difference. At the time,
22 naively thinking that there was a linear path from science
23 to action.

24 Looking back, my plan worked, at least for some
25 problems to have a career that would make a difference,

1 one that began in New Mexico and now will end in Colorado.
2 I had the good fortune to have the right mentors, Ben
3 Ferris, who should be -- rightfully be considered the
4 first respiratory epidemiologist in the United States, and
5 Frank Speizer, a mentee of Ben, and a pioneering
6 respiratory epidemiologist as well. Together, Ben and
7 Frank with the original principal investigators for the
8 Harvard *Six Cities Study*.

9 Along the way, there have been many key
10 colleagues in the teams needed to carry out contemporary
11 epidemiological research on the environment. Jack
12 Spengler, Scott Zeger, Francesca Dominici, Michelle Bell,
13 Pat Breyse and more. Some of our findings did make a
14 difference, the National Morbidity, Mortality, and Air
15 Pollution Study, or NMMAPS, for example. Research can
16 make a difference if it is the right research and the
17 processes to move to evidence-based action work. While
18 air pollution researchers will lament their frustrations
19 with policy processes, the paths to action or clearer for
20 ambient air pollution than for many other environmental
21 threats.

22 The framework provided by the Clean Air Act has
23 worked. I've had the opportunity to enhance these
24 processes for ambient air pollution through the six years
25 of the Committee on Research Priorities for Airborne

1 Particulate Matter of the National Academies and then
2 during my four years as Chair of the Clean Air Scientific
3 Advisory Committee, or CASAC. The Committee on Research
4 Priorities put together a strategic research agenda to
5 address critical uncertainties. And while I was CASAC
6 Chair, we collaborated with EPA in moving to the current
7 evidence-based schema for revising the National Ambient
8 Air Quality Standards.

9 While I'm honored to receive the Haagen-Smit
10 award, the most important award for all of us is the
11 cleaner air that we breathe today. Looking to the early
12 smog episodes that drove Haagen-Smit's work, we have made
13 tremendous progress in having cleaner air in many, but not
14 all the world's cities. There is work to be done as the
15 gains have not been shared equally. For more than 10
16 years I've been working in Eastern Africa in cities where
17 particulate pollution remains well above the WHO air
18 quality guidelines. And there is climate change, perhaps
19 the most serious air pollution problem yet and called the
20 greatest health problem of this century.

21 We've exceeded the atmosphere's capacity to deal
22 with what we dump into it. At this point in my career, my
23 most important legacy for continuing to advance air
24 pollution control is the many former trainees who are
25 making significant contributions on air pollution and

1 climate change. They will make a difference and no doubt
2 be among the future winners of this award.

3 Thank you for this great honor.

4 (Applause).

5 --o0o--

6 EXECUTIVE OFFICER CLIFF: The fifth Haagen-Smit
7 Clean Air Award Winner today is Dr. Shankar Prasad in the
8 category of Environmental Justice.

9 Dr. Prasad will be introduced by Dr. Balmes.

10 BOARD MEMBER BALMES: Thank you, Dr. Cliff. So I
11 just want to go back to my first dealings with the Air
12 Resources Board, that's how I met Shankar. He was my
13 project officer for a research project that I had as a
14 junior faculty member at UCSF in the late 80s. And I've
15 continued to work with Dr. Shankar on many different
16 issues as his -- as both of our careers advanced.

17 So it's really a personal honor to be introducing
18 Dr. Shankar Prasad who's worked on environmental justice
19 issues at CARB, the South Coast Air Quality Management
20 District, CalEPA, the Office of Environmental Health
21 Hazard Assessment, as well as at the national level with
22 the U.S. EPA. Dr. Prasad's training initially was as a
23 physician in India. Then he and his wife, Usha, another
24 physician, worked in Guyana and then came to the U.S.,
25 where Shankar decided not to practice as a physician,

1 because basically he'd have to start all over again. We
2 have these rules where even though he was a trained
3 physician from India, he'd have to start as a intern and
4 resident.

5 His wife Usha did this, but he decided to go into
6 inhalation toxicology and U.C. Irvine. And though his
7 science at U.C. Irvine was good, I think he felt he wasn't
8 getting the reward in terms of policy impact that he
9 wanted, so we were fortunate at the Air Resources Board
10 many years ago to hire him.

11 And over his career, he increasingly focused on
12 the environmental justice aspects of air quality. He
13 helped initiate CARB's Environmental Justice Program
14 despite encountering a lot of resistance at the time.
15 Later, at CalEPA, he was instrumental in the development
16 of CalEnviroScreen, which I think most of you in the
17 audience know is an important mapping tool that we use to
18 both understand the impacts of both pollutant exposures,
19 and not just air pollutants, as well as the social
20 determinants of health that Dr. Samet talked about. He
21 really fought for the development of CalEnviroScreen. And
22 when we was at the Office of Environmental Health Hazard
23 Assessment, he actually contributed to revising the
24 program.

25 You know, so this program is the really first of

1 its kind to identify communities in California that are
2 disproportionately impacted by pollution. But he went
3 further to try to see -- to try to address the disparities
4 that are related to -- that are identified by
5 CalEnviroScreen, so he was the prime mover of the effort
6 to get SB 535 passed, which ensures greenhouse gas
7 reduction funds will go to disadvantaged communities.

8 His influence has extended far beyond California,
9 especially with regard to his work in India. There, he
10 helped the Center for Science and Environment convert the
11 New Delhi public transit fleet from diesel to natural gas.

12 So CARB is pleased to honor Dr. Shankar Prasad
13 the Haagen-Smit Clean Air Award in the category of
14 Environmental Justice.

15 (Applause)

16 DR. SHANKAR PRASAD: Thank you, Madam Chair,
17 Board Member Dr. Balmes. So nice of you to say so many
18 good things about me. I don't know. It's been a long
19 journey. And also, it is a privilege and honor to accept
20 this coveted award. He went to this first generation
21 immigrant citizen in this land of opportunities and in
22 this Golden State. This is the second time I'm receiving
23 a recognition from this Board. May 17th of 2005 this
24 Board presented me with a resolution thanking me for the
25 EJ policies and actions that this Board adopted. At that

1 time, I was in CalEPA. And this time, you are recognizing
2 me again. Thank you to everyone on the Board and the
3 people who supported me all the years.

4 My father was also a civil servant for 35 years
5 and often said you can fight a person, but not a system.
6 And in a bureaucratic hierarchy, as the hierarchy raises,
7 they're almost inseparable. But I'm glad in my 40-year
8 career I've been able to influence on a few occasions
9 either the person or the system.

10 I would not be standing here today if it were not
11 to be the (inaudible) of my support, my wife Usha who is
12 here, and our son Dejus. Thank you.

13 Similarly, we are very thankful to my sister
14 Guytry and my brother Elesry for hosting us when we came
15 to this country and supporting us over the years. And we
16 are so glad that they have been able to participate on
17 this occasion. They all have a big share in this award.

18 In addition, I often remember, and I'm grateful
19 to a long list of people over my career to -- I hope
20 you'll bear with me, but they're -- all their names
21 deserve to be mentioned and to be in this Board meeting
22 proceedings, in my opinion: Bob Falon, Dean Mesidol,
23 Carolyn Sabinsky, Alan Lloyd, John Balmes, Mike Nazemi,
24 Carlos Boras, Jane Williams, Diane Takvorian, Barbara Lee,
25 Charles Lee, Linda Adams, Daniel Dean, Margaret Gordon,

1 Henry Clark, Rachel Morello-Frosch, Tim Carmichael, Nidia
2 Batista, Cliff Rekshaffen, Romel Pasqual, Vien Trung,
3 Arsenio Martaka, Martha Guzman, Anamitara Chaudry, Deldi
4 Reyes, Alvaro Alvarado. And a special mention to George
5 Alexeeff. He gave me a life line with a job at the time I
6 was unemployed after working for SB 535 for four years.
7 Many may not be aware of it.

8 I can also never forget the support provided by
9 two of my staff members Steve Huey and Brent Takimoto.
10 Lots of names, yes, but they played a role at different
11 times of my career that's being recognized, and they all
12 deserve a share of -- in this honor.

13 I might have left a few. I'm sorry for that.
14 Many were responsible collectively to get the SB 535
15 passed, but the original concept was mine, and it was
16 strongly supported by Danielle Deane. She was, at the
17 time at the Hewlett Foundation. It was Tim Carmichael and
18 I who first wrote the original language for AB 1405, which
19 eventually evolved into SB 535. It's a tidbit of reality
20 for people who may not know its history.

21 This afternoon I'll be sharing the untold story
22 of SB 535, its origin, the tough ordeal we had to go
23 through, and how it is now law of the land. This is a
24 world famous institution and I am proud to have been a
25 part of it. And often the heads turn, even now they turn,

1 when anyone is at a meeting or in a conference and say I'm
2 from California Air Resources Board. It's true and it --
3 we are -- I am really proud of it. And to be recognized
4 by this institution's highest level of honor is definitely
5 a privilege and it's very humbling.

6 I also want to request the Board to change the
7 culture here from considering environmental justice not as
8 an program, but to recognize it as important as
9 reducing VMT, aspiring for the pure electric
10 transportation. I request the Board and the executive
11 staff to take that type of a leadership role and push for
12 environmental justice as was done during the years of
13 adopting EJ policies and actions by this Board.

14 Thanks to the selection committee. Thanks to the
15 nominator and supporters, and again, thank you, Dr.
16 Balmes, and Chair, and the Board. Thank you.

17 (Applause).

18 --o0o--

19 EXECUTIVE OFFICER CLIFF: The 6th 2022
20 Haagen-Smit Clean Air Award recipient today is Ms. Peggy
21 Shepard in the category of Environmental Justice. Ms.
22 Shepard will be introduced by Board Member Hurt.

23 BOARD MEMBER HURT: Thank you, Chair. And
24 congratulations to all the award winners.

25 In this moment, it's an honor and privilege to

1 introduce Ms. Peggy Shepard, the co-founder and executive
2 director of We ACT, a pioneering organization in the
3 environmental justice, or EJ, movement for over three
4 decades. Ms. Shepard helped create the principles of EJ
5 at the first People of Color EJ Summit in 1991. In 2008,
6 she led the creation of the EG -- EJ Leadership Forum, a
7 coalition of 54 EJ organizations working together to
8 advance climate justice and advocate for the protection
9 and promotion of communities of color, and low-income
10 communities throughout the United States.

11 More recently, Ms. Shepard has provided
12 leadership to important national committee, having been
13 named Co-Chair of the White EJ Advisory Council, and Chair
14 of the National EJ Advisory Council to the U.S. EPA. Ms.
15 Shepard has advocated for many climate-related policies in
16 her home state of New York, including the Climate
17 Leadership and Community Protection Act, which will cut
18 greenhouse gas emissions by 85 percent from 1990 to 2050.

19 It was a honor to speak with you at the reception
20 last night, your intelligence and grace. Thank you for
21 being a role model, where you've just devoted your life to
22 what you call sacrifice zones, areas where children and
23 adults alike suffer from disproportionately high rates of
24 disease due to pollution. CARB is honored to present Ms.
25 Peggy Shepard with a Haagen-Smit Clean Air Award in the

1 category of Environmental Justice.

2 (Applause).

3 PEGGY SHEPARD: Well, Woman Power. You COULD
4 start there.

5 (Laughter).

6 PEGGY SHEPARD: So thank you so much. California
7 Air Resources Board, when I got this letter from you all,
8 you all are seen as the arbiter of air quality in this
9 country and probably around the world. And I couldn't
10 believe that this progressive organization would be
11 reaching out the New York City to acknowledge the work
12 that we've been doing there. So thank you very much. It
13 was just such a wonderful surprise. But, you know, I
14 would say that this is also a recognition of the work that
15 environmental justice organizations like Diane Takvorian's
16 Environmental Health Coalition. I've known Diane for over
17 30 years. Working with groups like that around this
18 country has been such an opportunity and such a privilege
19 to meet and work with people so committed to ensuring that
20 our communities are safe and sustainable.

21 You know, when we first got started 35 years ago
22 this year in West Harlem, the first issues were around air
23 quality and they continue to be. We know that over 70
24 percent of Latino residents in this country live in
25 non-attainment areas as well as over 60 percent of African

1 Americans. So it was no surprise during COVID when the
2 Harvard studies discovered that more black people in New
3 York and other places were dying of COVID at higher levels
4 because they were living in air polluted communities.
5 That's a very important finding and it's one that I hope
6 we're going to be able to put into practice in terms of
7 policies in the way we address public health in our
8 communities.

9 There's so many people to really thank for being
10 in a position to be acknowledged in this way. I think
11 back to Dr. Kenneth Olden, who was the executive Direct of
12 the National Institute of Environmental Health Sciences,
13 who basically said there are issues with environmental
14 justice and research, and that the inn NIEHS was going to
15 address that. And they began to pull in environmental
16 justice organizations. They began to fund those
17 organizations. And I believe that I would not be a strong
18 environmental health advocate today without having had
19 that support and that mentorship from Dr. Olden. And Dr.
20 Olden also made sure that he was funding community
21 outreach and education through the research centers at the
22 NIHS. As a result, I was able to work with Dr. Joseph
23 Graziano and Dr. Regina Santella at the NIHS Center for
24 Environmental Health in Northern Manhattan.

25 I was able to work with Frederica Perera, who was

1 the PI for the Columbia Children's Environmental Health
2 Center, whose work was such a perfect nexus with the
3 concerns of the Harlem community with her backpack air
4 monitoring study with pregnant women looking at the impact
5 of diesel on those women and on the fetus and the
6 developing children. It was that air quality data that
7 gave us the ammunition to hammer the Metropolitan Transit
8 Authority for 18 long years to begin to transform the bus
9 fleets, the largest in the country. Why was that
10 important? Because in uptown neighborhoods in Manhattan,
11 we housed over one-third of the largest diesel bus fleet
12 in the country.

13 And so, yes, it took us a very long time, even
14 with the data. And we all understand that we understand
15 that science, we have the data, and still policy does not
16 always change fast enough to keep up with the chronic
17 problems and concerns that our communities are
18 experiencing.

19 Certainly, as a community-based organization, I
20 could not be effective without an incredible team. You
21 know, a lot of people say, well, do you work with young
22 people? And I think, well, gee, we don't sort of do that
23 anymore, until I realized that over half of my staff are
24 under 30 years of age.

25 (Laughter).

1 PEGGY SHEPARD: And so, yes, I am working with
2 young people, and we have really trained emerging leaders
3 who are now leading so many different agencies. We've got
4 several trained staff out here in California. The Senior
5 Director for Environmental Justice for The White House was
6 our first director of our DC office. We've had one of our
7 staff be head of the Mayor's office in New York City of
8 Sustainability and Environmental Justice. So we have done
9 or part in training the next leaders who will need to come
10 along after us, because some of us here, a lot of our
11 honorees, are older, some are retiring, and so we've got
12 to ensure that we have young people trained to take our
13 places.

14 And I would also say that as a community-based
15 organization, we could not be effective without community
16 residents who are empowered, who we support to able to
17 tell their story to policymakers that really makes the
18 difference.

19 So again, I want to thank CARB and my nominators
20 for this honor, this recognition, of environmental
21 justice, and the work that we're doing to sustain healthy
22 safe communities. Thank you all very much.

23 (Applause).

24 --o0o--

25 EXECUTIVE OFFICER CLIFF: The 7th and final

1 Haagen-Smit Clean Air Awardee today is Dr. Daniel
2 Albritton in the category of policy. Sadly, Dr. Albritton
3 passed away earlier this year. We are honored to have Dr.
4 Albritton's daughter Eliz and his long-time colleague, Dr.
5 Susan Solomon here in Sacramento today to accept the award
6 on his behalf. Dan's posthumous award will be introduced
7 by Dr. Susan Shaheen.

8 BOARD MEMBER SHAHEEN: Thank you, Dr. Cliff and
9 Madam Chair for the opportunity to present this award. I
10 want to extend my warmest congratulations to all of the
11 award winners here today and personally thank you for your
12 tireless dedication and work to support all the efforts on
13 behalf of the environment.

14 I'm so delighted to honor Dr. Daniel Albritton
15 and to recognize Eliz Albritton and Susan Solomon, who
16 will accept the award on his behalf. Dr. Daniel Albritton
17 was the Director of the Chemical Sciences Division of
18 National Oceanic and Atmospheric Administration, NOAA. He
19 researched both stratospheric and atmospheric -- or ground
20 level ozone as part of his work. And he's perhaps best
21 known for that work on ground level ozone.

22 As one of the two founding Co-Chairs of the
23 Scientific Assessment Panel for the United Nations
24 Environment Program, Dr. Albritton helped provide the
25 scientific basis for the United Nations Montreal Protocol

1 on substances that deplete the ozone layer.

2 Later, Dr. Albritton served as coordinating lead,
3 in later assessments called co-chairs, of the Science
4 Working Group I of the 2001 Intergovernmental Panel on
5 Climate Change Assessment Reports. Dr. Albritton is well
6 known as an effective communicator of science and, in
7 fact, NOAA has named its award for science communication
8 after Dr. Albritton.

9 CARB is deeply honored to bestow upon Dr. Daniel
10 Albritton a Haagen-Smit Clean Air Award in the category of
11 Policy. Accepting the award on behalf of Daniel Albritton
12 is his daughter Eliz and his longtime collaborator Susan
13 Solomon.

14 (Applause).

15 ELIZ ALBRITTON: On behalf of my brother, sister,
16 and myself, and our dear family at the Aeronomy Lab, I
17 wanted to say how appreciative we are for you honoring our
18 dad with this award. I'd also like to share what a truly
19 special person he was as a father, the unbelievable
20 patience and kindness he had with raising us gave us such
21 a launching pad to go tackle the world in each of our own
22 ways.

23 The strange thing was that we thought we actually
24 had all of his time helping with our never-ending science
25 and math homework, coming to all of our high school swim

1 meets, and then going to our small rural home place in
2 Alabama. So I want to leave you with an appreciation of
3 how beloved he was as our father and how deeply thankful
4 we are as a family of this organization of honoring his
5 lifetime professional work, which he was so deeply
6 committed.

7 Thank you.

8 (Applause).

9 EXECUTIVE OFFICER CLIFF: That concludes the very
10 distinguished and highly deserving of Haagen-Smit Clean
11 Air Award recipients. I'm really looking forward to
12 hearing more from each winner during the Clean Air
13 Leadership Talks this afternoon. And I would also be
14 remiss if I didn't point out that there's a new logo this
15 year that our very capable Communications staff put
16 together. And I want to thank them for that. I think it
17 very much captures the spirit of what we're trying to
18 achieve as well as coordinates well with the CARB logos
19 that we developed a few years ago. So thank you very
20 much.

21 CHAIR RANDOLPH: Thank you.

22 This is an informational item, but it is a Board
23 item, which means that we want to make sure and provide an
24 opportunity for any members of the public who would like
25 to speak on this item. So I will ask the Board Clerk if

1 we have any public commenters.

2 BOARD CLERK HARRINGTON: Thank you. We currently
3 do not.

4 CHAIR RANDOLPH: Alright. And Board members, do
5 you have any words that you would like to express?

6 Dr. Balmes.

7 BOARD MEMBER BALMES: Well, I want to thank the
8 selection committee for picking four people that I know
9 well this year. In addition to my dear friend Shankar
10 Prasad, I've known John Samet for 30 plus years as a
11 fellow pulmonary physician and epidemiologist who studies
12 air pollution. In fact, he tried to recruit me to Johns
13 Hopkins. I didn't go.

14 (Laughter).

15 BOARD MEMBER BALMES: And, of course, Bill
16 Magavern, I want to say, has taught me a lot about
17 effective communication of scientific information to the
18 point where I ask him to teach in my -- I was -- I had a
19 career development course -- career pathway course at --
20 for environmental science graduate students at Berkeley.
21 And for a couple years, I brought Bill to teach them how
22 to communicate effectively.

23 You know, Allen Goldstein I currently collaborate
24 with, so I have a conflict, but when he -- when it was
25 that he is one of the world's top atmospheric scientists,

1 that's true. And while he's benefited from a lot of CARB
2 funding over the year, we -- years, we benefited from his
3 research. So it's just great to see this class of
4 Haagen-Smit awardees.

5 CHAIR RANDOLPH: Board Member Takvorian.

6 BOARD MEMBER TAKVORIAN: Thank you, Chair. I
7 just wanted to take a minute to express my gratitude to
8 all the recipients for all the amazing work that you've
9 done. And I just wanted to congratulate everyone for
10 those contributions. I did want to note that I think the
11 awards provide this opportunity not only for recognition
12 of the remarkable individuals that are receiving the
13 awards, but they really do recognize the environmental
14 justice and environmental policy history that undergirds
15 the policies that CARB has the privilege -- as Board
16 members that we have the privilege of adopting. So I just
17 wanted to note, Peggy Shepard and West Harlem
18 Environmental Action appropriately noted the national
19 environmental justice work that we -- many of us were
20 really beneficiaries of, and the Executive Order, and
21 working with federal agencies that really allowed
22 environmental justice communities to find each other and
23 connect with each other.

24 You have to know that in communities folks they
25 were -- thought they were struggling alone, that this was

1 the only thing -- only place that this was happening. And
2 so if it wasn't for that national movement, we really
3 wouldn't have found each other. So I really appreciate
4 finding Peggy and many others in the movement. That
5 really allowed the national environmental justice movement
6 to be built I think.

7 And the Shankar who opened the California doors
8 really for the environmental justice work, to advance
9 environmental justice, and become the leading voice that
10 we are, among many of your accomplishments, really 535 and
11 CalEnviroScreen have changed the landscape. We cannot say
12 that California has not advanced because of those things.
13 There are concrete examples across the state that you can
14 take pride in and way too many to list. So huge gratitude
15 to you for that.

16 And I want to note Bill Magavern, who has reached
17 across what I think sometimes was an enormous chasm
18 between the environmental and environmental justice
19 communities and advocates. And, Bill, you demonstrated
20 the respect and collaboration that has enabled these
21 movements to work together effectively. And that cannot
22 be said that often. So huge appreciation to you and
23 gratitude to all of you.

24 Thank you.

25 CHAIR RANDOLPH: Okay.

1 (Applause).

2 CHAIR RANDOLPH: Any other comments?

3 Okay. I just wanted to -- I really appreciate
4 Board Member Takvorian's point that all the work we do
5 builds on all the work you all have done. And it's so
6 meaningful to have you here and to be able to hear your
7 words later this afternoon. As Dr. Balmes alluded to, you
8 know, these nominations are made by the public and then
9 the awards are vetted by an advisory committee. And I
10 just wanted to give a shout-out to former Board Chair Dr.
11 Alan Lloyd, who has worked on the advisory committee for
12 many years and this is his last selection as the Chair of
13 that committee. And his wisdom and thoughtfulness around
14 this process has been very, very, very much appreciated.
15 And I appreciate all the members of the Committee for the
16 work that you all do to bring the awards selections to
17 life. So thank you very much.

18 (Applause).

19 CHAIR RANDOLPH: So we will be doing our open
20 public comment, but I'll remind everyone again that the
21 Haagen-Smit Clean Air Leadership Talks will be beginning
22 at approximately 1:30 here in this room.

23 And it will also be livestreamed. So Clerk, do
24 we have any open public comments?

25 BOARD CLERK HARRINGTON: We have zero.

1 CHAIR RANDOLPH: Okay. So we will now be
2 adjourning into closed session and then we will see all of
3 you at 1:30 for the Clean Air Talks.

4 See you then.

5 (Off record: 11:37 a.m.)

6 (Thereupon the meeting recessed
7 into closed session.)

8 (Thereupon the meeting reconvened
9 open session.)

10 (On record: 12:57).

11 CHAIR RANDOLPH: The meeting will please come to
12 order. The meeting of the Board is now in session. The
13 Board met in closed session to confer with legal counsel
14 and no action was taken by the Board.

15 The June 22nd, 2023 CARB Board meeting is now
16 adjourned. I would like to invite anyone that is
17 interested in hearing the Haagen-Smit Clean Air Leadership
18 Talks to please stay with us in the auditorium as we
19 transition. If you are joining us remotely and would like
20 to watch the Clean Air Talks, you can find the link to the
21 livestream via the public agenda.

22 (Thereupon the Air Resources Board meeting
23 adjourned at 12:57 p.m.)

