

BOARD MEETING  
STATE OF CALIFORNIA  
AIR RESOURCES BOARD

JOE SERNA, JR. BUILDING  
CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY  
BYRON SHER AUDITORIUM, SECOND FLOOR  
1001 I STREET  
SACRAMENTO, CALIFORNIA

THURSDAY, JULY 24, 2008

9:00 A.M.

TIFFANY C. KRAFT, CSR, RPR  
CERTIFIED SHORTHAND REPORTER  
LICENSE NUMBER 12277

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

APPEARANCES

BOARD MEMBERS

Ms. Mary D. Nichols, Chairperson

Dr. John R. Balmes

Ms. Sandra Berg

Ms. Lydia Kennard

Mr. Jerry Hill

Mrs. Barbara Riordan

Mr. Daniel Sperling

Mr. John Telles

STAFF

Mr. James Goldstene, Executive Officer

Mr. Tom Cackette, Chief Deputy Executive Officer

Ms. Ellen Peter, Chief Counsel

Mr. Michael Scheible, Deputy Executive Officer

Ms. Lynn Terry, Deputy Executive Officer

Ms. Kathleen Quetin, Ombudsman

Ms. Susan Fischer, Ph.D., Research Planning and Climate  
Change Outreach Section, Research Division, RD

Ms. Susan Gilbreath, Ph.D., Health and Exposure Assessment  
Branch, Research Division

Mr. Margret Kim, Senior Advisor for International Climate  
Change, Chair's Office

Mr. Iain Morrow, on loan from UK government, RD

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

Mr. Chuck Shulock, Assistant Executive Officer, OCC

Ms. Linda Smith, Ph.D., Chief, Health and Exposure  
Assessment Branch, RD

Ms. Bonnie Soriano, Staff Air Pollution Specialist,  
Technical Analysis Section, Stationary Source Division

Ms. Monica Vejar, Board Clerk

Mr. Sam Wade, Air Pollution Specialist, Program Evaluation  
Branch, Office of Climate Change

ALSO PRESENT

Mr. Joe Angelo, Intertanko

Ms. Diane Bailey, NRDC

Mr. Rasto Brazney, MECA

Mr. Tim Carmichael, Coalition for Clean Air

Mr. Randal Friedman, US Navy

Mr. T.L. Garrett, Pacific Merchant Shipping Association

Mr. Henry Hogo, South Coast AQMD

Mr. John Kaltenstein, Friends of the Earth

Ms. Candice Kim, Coalition for Clean Air

Mr. John McKnight, National Marine Manufacturing  
Association

Ms. Patrick Moran, Aaron Read & Associates, LLC

Mr. Dan Ostrosky, Yamaha

Mr. Don Owen, DTSC

Mr. Christopher Patton, Port of Los Angeles

Mr. Paul Ray, Ilmor Marine Engineering, Inc.

Mr. Mark Riechers, Mercury Marine

Ms. Heather Tomley, Port of Long Beach

Mr. Sean Whelan, Attwood

Ms. Debra Whitman, Environmental Voices

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

## INDEX

	PAGE
Item 08-7-1	
Chairperson Nichols	4
Executive Officer Goldstene	5
Staff Presentation	6
Q&A	12
 Item 08-7-3	
Chairperson Nichols	21
Executive Officer Goldstene	22
Staff Presentation	23
Q&A	35
Motion	36
Vote	36
 Item 08-7-4	
Chairperson Nichols	37
Executive Officer Goldstene	37
Staff Presentation	40
Q&A	63
Ombudsman Quetin	65
Q&A	66
Ms. Tomley	73
Mr. Garrett	76
Mr. Kaltenstein	78
Ms. Kim	82
Ms. Bailey	84
Mr. Patton	86
Mr. Angelo	88
Mr. Friedman	91
Mr. Hogo	98
Motion	101
Ex Partes	105
Vote	107
 Item 08-7-5	
Chairperson Nichols	107
Executive Officer Goldstene	107
Staff Presentation	110
Ombudsman Quetin	124
Mr. Moran	126
Mr. Brezny	127
Mr. McKnight	129
Mr. Ray	132

## INDEX CONTINUED

	PAGE
Mr. Whelan	134
Mr. Riechers	135
Mr. Ostrosky	137
Mr. Carmichael	139
Motion	141
Vote	141
Item 08-7-8	
Executive Officer Goldstene	141
Staff Presentation	143
Q&A	153
Ms. Kim	158
Chairperson Nichols	166
Item 8-7-9	
Chairperson Nichols	167
Executive Officer Goldstene	168
Staff Presentation	169
Q&A	181
Item 8-7-10	
Chairperson Nichols	188
Executive Officer Goldstene	189
Staff Presentation	190
Q&A	201
Public Comment	205
Adjournment	208
Reporter's Certificate	209

1 PROCEEDINGS

2 CHAIRPERSON NICHOLS: Good morning, ladies and  
3 gentlemen. Welcome to the July 24th public meeting of the  
4 air resources Board. The meeting will come to order.

5 We begin the meeting with the Pledge of  
6 Allegiance. I'll ask you all to please rise.

7 (Thereupon the Pledge of Allegiance was  
8 Recited in unison.)

9 CHAIRPERSON NICHOLS: Thank you.  
10 The Clerk will please call the roll.

11 SECRETARY VEJAR: Dr. Balmes?

12 BOARD MEMBER BALMES: Here.

13 SECRETARY VEJAR: Ms. D'Adamo?

14 BOARD MEMBER D'ADAMO: Here.

15 SECRETARY VEJAR: Supervisor Hill?

16 Ms. Kennard?

17 BOARD MEMBER KENNARD: Here.

18 SECRETARY VEJAR: Mayor Loveridge?

19 BOARD MEMBER LOVERIDGE: Here.

20 SECRETARY VEJAR: Ms. Riordan?

21 BOARD MEMBER RIORDAN: Here.

22 SECRETARY VEJAR: Supervisor Roberts?

23 BOARD MEMBER ROBERTS: Here.

24 SECRETARY VEJAR: Professor Sperling?

25 BOARD MEMBER SPERLING: Here.

PETERS SHORTHAND REPORTING (916) 362-2345

1 SECRETARY VEJAR: Dr. Telles?

2 BOARD MEMBER TELLES: Here.

3 SECRETARY VEJAR: Chairman Nichols?

4 CHAIRPERSON NICHOLS: Here.

5 I believe Supervisor Hill is on his way, but is a  
6 little bit delayed this morning.

7 We have on the agenda, if there's anybody who's  
8 planning their day, a time set aside for a standing  
9 meeting, a closed session, to receive reports on the cases  
10 in which we're litigants. We are not having a closed  
11 session today. That has been canceled.

12 We will take a lunch break. And the Board is  
13 going to be hosting a visiting delegation of Europeans who  
14 are here studying climate change who are all active in  
15 this field in Europe. So that should be interesting.

16 We will be imposing a three-minute time limit on  
17 all speakers on all items, unless we have so many speakers  
18 on any item that we have to shorten it. But I hope that  
19 won't happen.

20 And I'm also supposed to advise you that there  
21 are emergency exits at the rear of the room. And that in  
22 the event that an alarm goes off, we have to evacuate the  
23 room, go downstairs and go outside the building until we  
24 get the all-clear signal. I think that's it for  
25 logistical comments.



1           There's one other thing I would like to do at the  
2 outset of the meeting. It's my privilege to open this  
3 meeting in honor of a long time and very important staff  
4 member of the Air Resources Board, Harmon Wong-Wo.  
5 Although we don't have a custom here of passing official  
6 resolutions, I am sending a letter on behalf of the Board.  
7 So I thought I should read it to you all so you know what  
8 I'm saying. The letter is addressed to his widow, Pearl.

9           "Dear Pearl, it's with great sadness that I  
10 learned that Harmon passed away. On behalf of Harman's  
11 many friends and colleagues here at the Air Resources  
12 Board, I want to express my sincere and heartfelt sympathy  
13 to you and your families.

14           "Harman's pioneering work on air pollution  
15 remains a stellar legacy. Harmon had great influence on  
16 establishing pollution control programs that ultimately  
17 became the standard not only for California but for the  
18 nation and world. His wisdom and wise counsel contributed  
19 greatly to establishing and maintaining the world class  
20 reputation of the Board.

21           "We remain to this day appreciative of his  
22 outstanding contributions and public service. Our air is  
23 much cleaner today because of his efforts and leadership.

24           "We all have Harman's stories. His liberal and  
25 effective use of red pencils is simply legendary. His

1 chinese banquets and after hours team building at the  
2 Cloud Motel are remembered fondly. Harmon was revered as  
3 an inspirational and highly respected leader. He also had  
4 an uncanny sense of timing and an ability to say just a  
5 few well placed words to make his point. A simple passing  
6 comment was sufficient to deter one long time staffer from  
7 ever wearing jeans in the office again.

8 "More commonly, he was able to use his sense of  
9 timing and panache to effect policies necessary to improve  
10 air quality at a time that demanded strong leadership.

11 "As a past and present Chairman, I've seen the  
12 Board grow and change over the years. From this  
13 perspective, I can tell you that Harman's efforts provided  
14 a sound foundation for the air quality efforts of today.

15 "I can also tell you Harmon was greatly respected  
16 for his humor, warmth, and compassion for his friends and  
17 families as well as his dedication and commitment to the  
18 Board's mission. He will be missed by all."

19 And I just want to say that having had the  
20 unfortunate task of writing a few letters like in my time,  
21 there are very few that I felt as strongly about as I do  
22 about this one. Harmon was amazing, for all of you who  
23 ever had a chance to work with him. His influence is  
24 everywhere around the Board.

25 So with that, I think it's time to turn to the

1 health update.

2 EXECUTIVE OFFICER GOLDSTENE: Thank you, Chairman  
3 Nichols. Good morning, members.

4 The association between exposure to particulate  
5 matter pollution and adverse health effects is well  
6 established. However, specific populations, such as those  
7 who exercise outdoors, may have greater risk for these  
8 effects than the general public.

9 With all the recent wildfires in California, it's  
10 important to understand that anyone exercising outdoors in  
11 high levels of smoke would receive a substantially greater  
12 exposure to particulate matter than those remaining  
13 indoors.

14 ARB worked with the Office of Emergency Services  
15 and many local air quality districts to monitor the levels  
16 of particulate matter from the fires, issued a number of  
17 health advisories, and has worked with the media to get  
18 information out to the public on the dangers of exercising  
19 and the high levels of smoke that we've experienced  
20 recently.

21 The study presented today highlights the  
22 potential for health effects from exercising near a  
23 different source of air pollution, traffic. Although we  
24 all understand the importance of regular exercise and the  
25 improvement that exercise can bring to our health, this

1 health update illustrates the concerns of health  
2 scientists regarding the potential for increased health  
3 impacts from air pollution exposure during exercise, but  
4 also provides some recommendations for planning exercise  
5 routines.

6 Dr. Susan Gilbreath from our Health and Exposure  
7 Assessment Branch will make the staff presentation.

8 Dr. Gilbreath.

9 (Thereupon an overhead presentation was  
10 presented as follows.)

11 DR. GILBREATH: Thank you, Mr. Goldstene. Good  
12 morning, Chairman Nichols and members of the Board.

13 In this health update, I'm going to discuss a  
14 study that investigated the association between air  
15 pollution and short-term health effects among people who  
16 were exposed while exercising. This presentation will  
17 focus on health effects found in adults, particularly  
18 those with asthma.

19 --o0o--

20 DR. GILBREATH: Children, the elderly, and  
21 immuno-compromised individuals are particularly  
22 susceptible to the effects of air pollution.

23 One vulnerable group that is often overlooked are  
24 those who work or exercise outdoors. During exercise,  
25 people breathe faster. A greater proportion of air is



1 measurements are shown on the next slide.

2 --o0o--

3 DR. GILBREATH: The researchers found that when  
4 participants walked next to busy streets, they had  
5 significantly higher exposures to fine and ultra fine  
6 particles, elemental carbon, and nitrogen dioxide than  
7 when they walked in the park.

8 The lung function results of the study are shown  
9 in this graph.

10 The yellow bar represents the percentage decrease  
11 in lung function after walking near diesel traffic while  
12 the orange bar shows the decrease after walking in the  
13 park. The lung function decrease following exposure to  
14 high diesel traffic was more than three times the decrease  
15 observe after exercising in the park.

16 Traffic-exposed participants also experienced  
17 large increases in markers of inflammation, which were  
18 mostly absent after walking in the park. These changes  
19 were mostly consistently associated with exposures to  
20 ultrafine particles and elemental carbon, which are the  
21 pollutants most associated with diesel vehicles.

22 --o0o--

23 DR. GILBREATH: There are a number of other  
24 studies that have also found adverse health effects linked  
25 to exercise and air pollution exposure.



1 to ultra fine particulate exposures among long distance  
2 bicycle commuters. Results should be released early next  
3 year.

4 In the autumn, we plan to compare particulate  
5 exposure among four different commuting modes: Car,  
6 bicycle, train, and bus.

7 ARB also has a bicycle awareness program which  
8 contains useful information about the air quality benefits  
9 of cycling as well as suggestions on how to overcome  
10 barriers to cycling in our communities.

11 --o0o--

12 DR. GILBREATH: It is well established that  
13 exercise promotes health and fitness. Regular exercise  
14 can help counteract the negative health effects of air  
15 pollution.

16 For example, regular activity has been shown to  
17 increase respiratory clearance which should improve  
18 removal of inhaled particles from the lungs.

19 Immune function and the body's antioxidant  
20 activity strengthens with exercise.

21 Also people who exercise use fewer sick days,  
22 have better cardiac and respiratory health, and live  
23 longer. There is evidence the longevity effect is more  
24 pronounced specifically in athletes who are bicycle  
25 commuters.



1 --o0o--

2 DR. GILBREATH: Individuals who exercise on days  
3 of poor air quality or near traffic are likely to  
4 experience increased exposures to air pollution. But it  
5 is possible to minimize these exposures. They can heed  
6 advisories such as those issued by ARB that provide  
7 information on steps the public can take to reduce their  
8 exposure to air pollution during high pollution episodes  
9 such as the recent wild fires.

10 Local air pollution control districts use the air  
11 quality index to advise both the general public and  
12 sensitive groups on activities they should avoid. Also  
13 bicycle commuters, joggers, and pedestrians can consider  
14 alternate less heavily traveled routes.

15 Communities should ensure that air quality alerts  
16 are reaching their intended audience via their outreach  
17 programs. For example, the South Coast Air Quality  
18 Management District supports a program where special flags  
19 are displayed at local schools indicating the current air  
20 quality.

21 An increased physical separation between motor  
22 vehicles and pedestrians and cyclists would be another  
23 means of minimizing partical exposure to these  
24 individuals. Making our communities more bicycle and  
25 pedestrian friendly will not only help counter obesity and

1 its accompanying health problems, but also help reduce air  
2 pollution and greenhouse gas emissions.

3 This concludes my presentation. We will be happy  
4 to answer any questions you may have.

5 CHAIRPERSON NICHOLS: Thank you.

6 Questions or comments from Board members?

7 Dr. Balmes.

8 BOARD MEMBER BALMES: Well, I just think it's  
9 important to highlight this effective exercise with regard  
10 to air pollution. Health effects given as you point out  
11 exercise increases the effective dose of whatever  
12 pollutant is out there.

13 And I got asked multiple times by media sources  
14 during the recent wildfire episode about whether kids who  
15 were supposed to be scheduled to play soccer games or  
16 baseball tournaments, including my own son's team, should  
17 be allowed to do so with the conditions as they were. And  
18 it's a tough call, because you don't want to stop kids  
19 from exercising, which is a good thing, especially given  
20 the obesity epidemic in our state and our county. So  
21 finding the balance between promoting exercise and  
22 protecting the public from unnecessary excessive exposure  
23 to air pollutants is tricky.

24 And just a month ago, at the last Board meeting,  
25 I got called by my wife who has asthma. And it was a

1 particularly bad day in terms of wild land fires in the  
2 bay area, and she had an exacerbation not related to  
3 exercise. She knew not to do that. But she was stuck  
4 outside for two hours due to involvement of a friend in an  
5 auto accident. And she got an exacerbation of asthma  
6 she's just getting better from now. And she stayed  
7 indoors much as possible in the subsequent days.

8           It's really important that we get the messaging  
9 right. That's the current problem.

10           And then longer term, I highly agree with the  
11 point about we have to design communities so that walking  
12 and biking is encouraged. And that means safety for  
13 bikers and pedestrians, but also keep those routes away  
14 from diesel emissions and other high traffic areas as much  
15 as possible. So it's tricky.

16           But I applaud staff for bringing this issue up  
17 for the rest of the Board to consider.

18           CHAIRPERSON NICHOLS: Thank you for that.

19           Dr. Telles.

20           BOARD MEMBER TELLES: I think I was talking last  
21 night about some of these things or two days ago. And  
22 after I finished talking to you, I realized that one of  
23 the important points of the paper that you talked about  
24 from the exposure of the particulate matter mostly air  
25 pollution in London is the levels of the particulate

1 matter. If you look at the paper, the levels of PM2.5,  
2 the medium levels were only 28 micrograms, which is  
3 supposedly a healthy level.

4           And what I'm pointing out is that the levels that  
5 we use as our federal health standards that currently --  
6 the new one us going to be 35. And if there is a  
7 relationship with PM 2.5, our current standard is maybe  
8 not good enough.

9           And the other thing I wanted to point out too is  
10 that we're not currently measuring for health standard  
11 reasons the ultra fine particles, which is probably even  
12 more important to keep track of those.

13           What also I wanted to point out was that even in  
14 the plan that was approved a few months ago, the San  
15 Joaquin Valley plan, the entire valley met the 24-hour  
16 PM2.5 health standard of 55.

17           But I think there's a lot of regions in the  
18 valley, even though they're meeting the health standard,  
19 that people are still exposed to that level of pollution  
20 that is not being measured. In our area -- I've had this  
21 argument with the local districts. In our area, a lot of  
22 the monitors are away from the freeways. And this primary  
23 PM2.5 which comes off the freeways is not accurately being  
24 measured, at least to my feelings and our local air  
25 pollution control districts.

1           And I would ask this to the staff here, is there  
2 any movement to move monitors closer to primary sources  
3 for PM2.5 primarily to kind of see what's happening to the  
4 populations who live along those freeway corridors?

5           DEPUTY EXECUTIVE OFFICER TERRY: From the  
6 standpoint of State Implementation Plans and air quality  
7 standards, federal law actually defines how the monitors  
8 need to be placed. And there are guidelines for doing  
9 that.

10           Nonetheless, the Board has been doing a lot of  
11 health risk assessments, looking at goods movement  
12 facilities, for example. And when we look at whether it's  
13 ports or rail yards, we include an assessment of the  
14 impacts on the major freeways that are contributing to a  
15 risk in those communities.

16           So we have done a lot of work to document the  
17 levels of pollution near roadways.

18           We also adopted some guidelines for local  
19 governments in terms of siting new homes and schools and  
20 other sensitive types of land uses and recommended buffer  
21 zones essentially away from high exposure freeways.

22           CHAIRPERSON NICHOLS: Maybe I might jump in at  
23 this point, because I just want to hopefully clarify that  
24 a little bit and also add my own thoughts.

25           There are two different kinds of monitoring we

1 do. One is the regional ambient monitoring which is based  
2 on a EPA protocol and is designed to represent an average  
3 of what people breathe everywhere within an air quality  
4 control region.

5           And the other is the localized monitoring that  
6 Lynn Terry was describing here that we do for a lot of  
7 different purposes. And we have amassed a lot of data  
8 about it, but we don't do it in really a systematic or  
9 long-term way in terms of particular roadways.

10           We do specialize over -- the studies that were  
11 just done recently on air quality around rail yards which  
12 are going to I think be very important tools in working on  
13 ways to reduce the risk to the community while around  
14 those facilities.

15           But in some ways, the holy grail would be a, you  
16 know, personalized monitoring that individuals can use for  
17 themselves. And I get a lot of questions from people who  
18 would really like to know what's going on in my backyard.  
19 Is it okay for me to buy a particular house at a  
20 particular location. Or will my kid be safe playing in  
21 this particular park. And we never have the answers to  
22 those questions. And it's always kind of frustrating,  
23 because that really is what most of us would like to know.

24           There's been breakthrough technology in terms of  
25 small scale monitors. You still have to find a way to use

1 the data and evaluate the data. But at least there's been  
2 progress that's been used in some pretty interesting  
3 studies.

4 But I would really like to see us pushing further  
5 in that direction, because I think it would be the most  
6 empowering kind of tool that we could have.

7 And I guess the other thing I would say -- and I  
8 know Board Member D'Adamo had mentioned this several  
9 times. But the more that our work draws us into  
10 communicating with people about land uses following on  
11 that guide book that we did, but now with AB 32, we're  
12 also getting asked to start, you know, setting regional  
13 levels for emissions of CO2 and other greenhouse gases.  
14 We really do need to find a way to balance and hone the  
15 message about what land uses are appropriate and whether  
16 there are other protective measures in terms of design  
17 that will work. Because, you know, we want to bring  
18 levels of pollution down everywhere and for everybody.  
19 But in the mean time, we know some places are going to be  
20 worse than others. And if we could have some helpful  
21 advise in terms of separations, as you were suggesting,  
22 Dr. Balmes, between the bicyclists and trucks and that  
23 sort of thing and really pinpoint that I think it would  
24 make a big difference. For all you local government  
25 representatives on our Board, this ought to be right up

1 your alley.

2 Supervisor Roberts.

3 BOARD MEMBER ROBERTS: I would just caution you,  
4 you probably ought to do a little study to find out what's  
5 being done, because I think there's a lot more being done  
6 than you're aware of in that area, in developing both  
7 pedestrian and bicycle and other types of facilities in  
8 almost every general plan in the state I know of --

9 CHAIRPERSON NICHOLS: I think the facilities are  
10 being developed. I guess my question was, do we know what  
11 really works for air pollution and what doesn't? And  
12 maybe there's more out there we haven't been aware of.

13 Okay. And if there are no additional comments --

14 RESEARCH DIVISION CHIEF CROES: Actually,  
15 Chairman Nichols, I just wanted to respond to some of the  
16 issues you raised.

17 A few years ago, Mike Scheible asked us to look  
18 into low cost monitoring technologies to get exposure in  
19 your backyard. And we just completed a year-long study in  
20 the Wilmington area that we'll report to the Board in  
21 September. So that included monitors located along  
22 freeways and near rail yard facilities and so forth. And  
23 we'll be able to tell you how much different exposures  
24 near the freeway versus what it is for the community in  
25 general. And whether these tools are something that can



1 be used by communities in the future.

2 BOARD MEMBER D'ADAMO: Madam Chairman, just a  
3 comment. I think as we move forward -- and this is really  
4 useful information. And I think it's important to provide  
5 tools to individuals so they can have more information  
6 about what's going on in their communities, more  
7 importantly, in their backyard.

8 But I think it needs to be balanced against some  
9 of the goals that we have with AB 32. Because oftentimes  
10 the response is to close the window, turn on the air  
11 conditioning. Or instead of bicycling or exercising, you  
12 know, jogging in your neighborhood, getting in your car  
13 and drive to a workout center where they have the air  
14 conditioning on full blast and you get on a treadmill  
15 that's also using additional energy.

16 So some way to balance the message so that -- and  
17 I know it makes for more complex equation. But so that  
18 individuals really understand if it is a significant risk.  
19 And is this a situation where they really do need to go  
20 indoors.

21 CHAIRPERSON NICHOLS: Yes.

22 BOARD MEMBER TELLES: One final comment. Not to  
23 put the staff on the spot. But this question is really of  
24 interest to me. And maybe I wasn't too articulate in  
25 bringing it out.

1           But the fact that that London study, the PM2.5 is  
2 28, which is below the standard which is going to be the  
3 new standard, is it safe to extrapolate -- and this is a  
4 major effect on reduced lung function that the new  
5 standard is maybe not protecting some of our population,  
6 especially asthmatics as demonstrated in the news article?

7           I don't want to put you on a spot. But as a  
8 physician --

9           HEALTH AND EXPOSURE ASSESSMENT BRANCH CHIEF

10 SMITH: The averaging time in the paper is a little bit  
11 shorter.

12           BOARD MEMBER TELLES: It's a one-day average  
13 which is comparable to the one-day average used at the  
14 federal level, 35 micrograms.

15           HEALTH AND EXPOSURE ASSESSMENT BRANCH CHIEF

16 SMITH: That would suggest that we would need to go back  
17 and look at our standard and make sure it really is  
18 protective of the state of California.

19           BOARD MEMBER BALMES: If I could just add the US  
20 EPA is in the process of evaluating the PM air quality  
21 standard. The 35 microgram per meter cubed 24-hour  
22 standard is the standard for PM 2.5. And they're  
23 considering whether there should be a stricter one.

24           CHAIRPERSON NICHOLS: And I participated in a  
25 symposium -- I was listening to the symposium where the

1 gist of the discussion among various health researchers  
2 was that there really isn't any such thing as a safe  
3 threshold for fine particles. And that very likely it's  
4 one of those pollutants where just the more there is, the  
5 worse it is. So how you fit that fact into the need to  
6 set an air quality standard is a very difficult problem,  
7 because there are people who will -- I think it's fair to  
8 say there are people who will experience adverse effects  
9 at levels lower than the current standard. I don't think  
10 there's even any dispute about that.

11           The question is how do you define the standard  
12 that's safe that protects most everybody from most  
13 effects.

14           And if there is nothing further, I think we will  
15 close this item. There is no action taken. But we  
16 appreciate the information. And the next item --

17           EXECUTIVE OFFICER GOLDSTENE: We would be happy  
18 to work with Dr. Telles more to get more of your thoughts  
19 on this and see where we can move and see what other  
20 studies are being done in this area.

21           The next item is the consideration of the planned  
22 air pollution research for fiscal year 2008-2009. This is  
23 a very appropriate time to be moving in that direction.

24           The report was developed through a collaborative  
25 public, academic, and state effort and is comprised of

1 projects that support the Board's regulatory and policy  
2 decisions.

3 Mr. Goldstene.

4 EXECUTIVE OFFICER GOLDSTENE: Thank you, Chairman  
5 Nichols.

6 Each year, ARB staff publicly solicit research  
7 ideas and publish an annual research plan that supports  
8 the Board's mission.

9 The research ideas are evaluated by ARB staff as  
10 well as staff from other funding agencies and the Board's  
11 Research Screening Committee. This year's plan supports  
12 ARB's regulatory priorities associated with health effects  
13 and air quality standards, climate change, diesel and  
14 goods movement, state implementation plans support, and  
15 toxic air contaminants.

16 Key research questions effecting the content of  
17 this year's plan include clarifying health impacts of air  
18 pollution, developing technologies and behavioral change  
19 strategies to reduce emissions of greenhouse gases,  
20 improving emission inventory efforts, characterizing and  
21 assessing the behavior of pollutants in the atmosphere,  
22 and reducing emissions of conventional air pollutants and  
23 their precursors.

24 Nineteen new research projects are being  
25 recommended for funding and an additional eleven projects

1 are offered for consideration should resources become  
2 available.

3           If approved by the Board, the projects described  
4 in the plan will be developed into full proposals for your  
5 approval over the next several months.

6           Dr. Susan Fischer of the Research Division will  
7 present the proposed 2008-2009 research plan.

8           Dr. Fischer.

9           (Thereupon an overhead presentation was  
10 presented as follows.)

11           DR. FISCHER: Thank you, Mr. Goldstene. Good  
12 morning, Chairman Nichols and members of the Board.

13           The air pollution research plan for fiscal year  
14 2008-09 comprises 19 projects that address gaps to support  
15 the Board's decision making. If approved today, these  
16 projects will be developed into full proposals and brought  
17 to the Board for approval in the coming months.

18   --o0o--

19           DR. FISCHER: Established by the State  
20 Legislature in 1971, ARB's program of research probes  
21 causes, effects, and solutions to California's air  
22 pollution problems. This research provides a scientific  
23 basis for defining air quality standards that are  
24 protective of public health.

25           The annual plan focuses on ongoing regulatory and

1 policy priorities, including the Diesel Risk Reduction  
2 Plan, and implementation of AB 32 early action items.

3 --o0o--

4 DR. FISCHER: Before presenting our proposed  
5 projects, I'd like to offer a high level overview of our  
6 research planning process.

7 The process begins with a broad solicitation to  
8 researchers and stakeholders. Then ARB conducts three  
9 levels of review to ensure that our research portfolio is  
10 non-duplicative, connects with co-funding and  
11 opportunities for collaboration, and addresses issues  
12 crucial to the Board's decision making and long-term  
13 planning.

14 --o0o--

15 DR. FISCHER: The first level of review involves  
16 technical experts from ARB staff, as well as State,  
17 federal, and private institutions.

18 --o0o--

19 DR. FISCHER: Technical review teams identified  
20 research gaps that are critical to ARB's mission.  
21 Identification of critical gaps early in the planning  
22 process helps ARB target its funds to niche areas that are  
23 of particular importance to California and that ARB is  
24 especially well suited to address. Technical review teams  
25 scored the full set of 241 submissions for responsiveness

1 to these gaps and technical merit.

2 --o0o--

3 DR. FISCHER: The technical review teams include  
4 members from air districts, State agencies, federal  
5 agencies, and research funding organizations such as the  
6 Coordinating Research Counsel and the Health Effects  
7 Institute. Their involvement helps ARB avoid duplicative  
8 research and identify opportunities to leverage funds.

9 --o0o--

10 DR. FISCHER: High scoring proposals from the  
11 technical reviews teams went to the second stage of the  
12 review process. The executive officer selected a subset  
13 of concepts based on policy priorities and available  
14 funding.

15 --o0o--

16 DR. FISCHER: Finally, the Research Screening  
17 Committee approved the full package of concepts, which  
18 includes 19 concepts recommended for funding.

19 --o0o--

20 DR. FISCHER: Approval by the Research Screening  
21 Committee is legislatively required before any projects  
22 can be taken to the Board. The Committee consists of  
23 national experts from a broad range of academic  
24 disciplines.

25 --o0o--

1 DR. FISCHER: In response to requests from the  
2 Board as well as legislative developments, ARB initiated  
3 two efforts last fall to foster interagency coordination  
4 of climate change research and demonstration in  
5 California.

6 ARB invited State agencies with crucial climate  
7 responsibilities to identify R&D gaps that California must  
8 address to meet near and long-term climate goals. This  
9 road mapping effort has led to ongoing discussion of a  
10 statewide strategic plan for climate related research.

11 ARB also initiated a catalogue of climate-related  
12 research and development efforts in the State's public and  
13 private universities, national laboratories, and State  
14 agencies, as well as federally funded efforts in  
15 California. A searchable database of California's climate  
16 change R&D is expected by the end of the summer.

17 In June, a Climate Action Team research subgroup  
18 was formed to expand interagency coordination on climate  
19 change research. This subgroup is headed by Energy  
20 Commissioner Jim Boyd and will offer an overview of the  
21 State's climate change research portfolio as part of the  
22 2008 CAT report to the Governor.

23 --o0o--

24 DR. FISCHER: ARB's initial road mapping efforts  
25 involved State agencies with substantial responsibility



1 under AB 32. The establishment of a CAT research subgroup  
2 has expanded climate research coordination to a broad  
3 portfolio of agencies with climate-related  
4 responsibilities and concerns.

5 --o0o--

6 DR. FISCHER: We have already secured more than  
7 13 million in co-funding and leveraging for the fiscal  
8 year 2008-2009 planned research. This unusually high  
9 co-funding reflects the opportunity to collaborate with  
10 the National Oceanic and Atmospheric Administration for a  
11 set of studies that would otherwise not be possible.

12 ARB has negotiated extremely low overhead rates  
13 for California's universities to ensure that our funds are  
14 used for actual research rather than administration.

15 --o0o--

16 DR. FISCHER: The annual plan supports Board  
17 priorities related to health, diesel, atmospheric science,  
18 SIP support, and climate change. Several projects address  
19 issues related to agriculture and environmental justice.

20 After presenting a breakdown of funding  
21 allocations for each primary research category, I'll  
22 describe the objectives and portfolio of projects  
23 recommended for funding.

24 --o0o--

25 DR. FISCHER: We expect the fiscal year 2008-2009

1 budget to cover slightly more than six and a half million  
2 of research. In addition to 19 projects recommended for  
3 funding, the research plan identifies eleven projects to  
4 support if more funding becomes available.

5 --o0o--

6 DR. FISCHER: Research in the area of health  
7 effects and air quality standards addresses the Children's  
8 Environmental Health Protection Act, SB 25. Our  
9 responsibility to set ambient air quality standards that  
10 are protective of public health and the Board-approved  
11 statement of environmental justice policies and actions.

12 --o0o--

13 DR. FISCHER: Three projects are recommended for  
14 funding in the area of health effects and air quality  
15 standards. Children are particularly vulnerable to some  
16 environmental contaminants, but their exposures in day  
17 care centers are largely unknown. The first study helps  
18 ARB fill this gap in children's exposures to air  
19 pollution.

20 The second study provides support for setting  
21 ambient air quality standards by clarifying the risk of a  
22 vulnerable population to cardiovascular impacts from air  
23 pollution exposure.

24 The third study also supports setting ambient air  
25 quality standards.

1                                   --o0o--

2                   DR. FISCHER: This study responds to preliminary  
3 data suggesting particulate matter may be neurotoxic, in  
4 addition to harming the heart and lungs. The proposed  
5 research involves multi city investigation of neurotoxic  
6 outcomes in mice and will add significantly to previous  
7 work on the mechanisms of neurotoxicity.

8                                   --o0o--

9                   DR. FISCHER: Both projects recommended in the  
10 area of diesel emissions, goods movement, and toxic air  
11 contaminants support ARB's Diesel Risk Reduction Plan and  
12 supporting measurements.

13                                   --o0o--

14                   DR. FISCHER: As tailpipe diesel emissions  
15 standards from particles become more stringent, ARB may  
16 need to use number-based measurement methods to  
17 characterize and control partical emissions.

18                   The first project will investigate Europe's  
19 number-based measurement protocol, addressing measurement  
20 issues identified in previous collaborative research.

21                   A second project will improve ARB's off-road  
22 diesel emissions inventory.

23                                   --o0o--

24                   DR. FISCHER: Off-road diesel emissions now  
25 account for a significant fraction of all diesel PM. But

1 the off-road diesel emissions inventory model has lagged  
2 behind the model for on-road emissions.

3 This study will investigate diesel engine  
4 deterioration. Clarifying the rates and causes of diesel  
5 engine deterioration will help ARB in planning as well as  
6 assessing effectiveness of regulatory efforts.

7 --o0o--

8 DR. FISCHER: In the 1950s, Dr. Arie Haagen-Smit  
9 of CalTech solved the mystery of what chemical mechanisms  
10 and emissions sources are responsible for photochemical  
11 smog in the L.A. basin.

12 Today, with the CalNEX 2010 study, California's  
13 cutting edge field research continues to offer a basis for  
14 effective control of air pollution.

15 ARB will work with the National Oceanic and  
16 Atmospheric Administration to improve the emissions  
17 inventory for greenhouse gases as well as particles and  
18 ozone precursors.

19 The study will also improve our understanding of  
20 chemical processes, transport, and meteorology which will  
21 facilitate better air quality modeling, control  
22 strategies, and planning.

23 With NOAA's costs estimated at 12.7 million,  
24 ARB's two million contribution to this study will leverage  
25 State funds by more than six to one. Additionally, this

1 study will coordinate with efforts funded by the  
2 California Energy Commission to study winter and  
3 springtime impacts of climate change on water resources.

4 --o0o--

5 DR. FISCHER: Projects planned under the CalNEX  
6 efforts include: A study to improve urban air quality  
7 models with more accurate portrayal of nighttime  
8 chemistry;  
9 A study to clarify whether different chemical  
10 processes may account for different response to regulatory  
11 strategies in the South Coast and San Joaquin Valley Air  
12 Basins;

13 Research to characterize organic aerosols which  
14 impact human health, visibility, and climate;

15 Research to characterize emission sources of  
16 sulfur in southern California which will improve the  
17 inventory and help State and local regulators control  
18 sulfates.

19 The balance of CalNEX funding will support field  
20 measurements of trace gases that play a role in ozone  
21 chemistry, aerosol formation, and climate forcing.

22 --o0o--

23 DR. FISCHER: Research to support the State  
24 Implementation Plans falls into three main categories:  
25 Monitoring, ozone, and PM.



1 Joaquin Valley air basins currently non-attainment for  
2 PM2.5, a large contingent of California's population is  
3 exposed to unhealthy concentrations of PM.

4 To aid our PM control efforts, we propose two  
5 research projects.

6 The first project will help us predict, plan for,  
7 and control secondary aerosol formation across a range of  
8 VOC, NOx ratios, which is critical because these ambient  
9 ratios are changing as controls are tightened.

10 The second study will help us understand  
11 emissions measurements.

12 --o0o--

13 DR. FISCHER: Specifically, this study will  
14 clarify relationships between on-road and laboratory  
15 diesel emissions measurements. Results will also help ARB  
16 understand the effect of diesel particulate filters on  
17 properties that determine the climate impacts of particle  
18 emissions.

19 --o0o--

20 DR. FISCHER: Proposed projects in the area of  
21 climate change were chosen to support near-term efforts to  
22 meet AB 32 goals as well as the State's longer term  
23 commitment to reduce greenhouse gas emissions by 80  
24 percent in 2050. The knowledge gaps are an initial list  
25 that will be expanded as the Climate Action Team and

1 outside experts work on a statewide strategic plan.

2 --o0o--

3 DR. FISCHER: The first project will resolve  
4 climate impacts of particles from combustion emissions.  
5 This research will provide a basis for linking particle  
6 controls to climate impacts as well as human health  
7 effects.

8 The second project will investigate behavioral  
9 and demographic determinants of residential energy  
10 consumption. Understanding residential behavior is  
11 crucial to outreach that successfully promotes home energy  
12 and water savings.

13 The third study addresses an early action item,  
14 emissions of N2O from applications of fertilizers to  
15 agricultural soils. Beyond early action support,  
16 understanding N2O emissions associated with land use is  
17 critical to effective, climate-friendly implementation of  
18 California's biofuels effort.

19 The fourth study also supports our early actions.

20 --o0o--

21 DR. FISCHER: A voluntary cool communities  
22 program is an early action measure for reducing greenhouse  
23 gas emissions. Cool community technologies, such as  
24 reflective roofs, shade trees, and cool pavements are  
25 effective, available, and ready for deployment.





1 fundamental problems that we and everybody else are  
2 facing? Have you participated in these discussions and do  
3 you think we're on the right track here?

4 DEPUTY EXECUTIVE OFFICER SCHEIBLE: We're  
5 pursuing that work with funds that aren't covered in the  
6 research but are available by contracts and support that  
7 we got. There's part of a global warming problem or fuels  
8 program.

9 We have quicker turn around times, so they're not  
10 as well suited for the research effort, which usually has  
11 about a three-year time frame from the time we conceive  
12 the projects to the time we get the results.

13 CHAIRPERSON NICHOLS: So the research screening  
14 process we're dealing with here is aimed more at what we  
15 would describe as basic research?

16 DEPUTY EXECUTIVE OFFICER SCHEIBLE: It's applied,  
17 but it's a two year and further out period.

18 CHAIRPERSON NICHOLS: Okay. Thank you.

19 BOARD MEMBER D'ADAMO: Prepared to make a motion.  
20 I move we adopt the 2008-2009 annual research plan.

21 BOARD MEMBER BALMES: I'll second that.

22 CHAIRPERSON NICHOLS: Further discussion?

23 If not, I'll call for the vote.

24 All in favor please say aye.

25 (Ayes)

1 CHAIRPERSON NICHOLS: Opposed?

2 Very good. Thank you.

3 Let's move on.

4 Next item for our consideration is a proposed  
5 consideration for oceangoing vessels that will require the  
6 use of cleaner burning fuels by vessels that come to  
7 California. The proposal is part of our continuing effort  
8 to reduce emissions associated with the movement of goods  
9 through California ports.

10 And Mr. Goldstene.

11 EXECUTIVE OFFICER GOLDSTENE: Thank you, Chairman  
12 Nichols.

13 Air pollution from the movement of goods in  
14 California ports is a significant and growing concern to  
15 California. The emissions from oceangoing vessels are of  
16 particular concern because they have significant impacts  
17 both regionally and in port-side communities.

18 Furthermore, these emissions are expected to grow  
19 significantly with projected increases in trade unless  
20 substantial control measures are implemented.

21 Today, we are proposing for your consideration a  
22 regulation that will require the use of cleaner fuels in  
23 the main propulsion engines, the auxiliary engines, and  
24 the auxiliary boilers of oceangoing vessels while they are  
25 operating within a 24 nautical mile zone of the California

1 coast line and while in port.

2           As you know, the use of cleaner fuels has long  
3 been the bedrock of our control programs for land based  
4 engines and for smaller harbor craft. The proposal before  
5 you today would extend the emission control strategy to  
6 the larger oceangoing vessels that come to California  
7 ports. And beginning in 2009, significantly reduce  
8 emissions of PM, diesel PM, NOx, and SOX.

9           Before I turn it over to staff, I'd like to  
10 provide some important context for this proposal which  
11 relates to the oceangoing vessel auxiliary engine  
12 regulation that was adopted in 2005 and also provide  
13 information on efforts underway at the international level  
14 to address ship emissions.

15           As you know, in 2005, the ARB approved an  
16 oceangoing vessel auxiliary engine regulation that began  
17 implementation in January 2007. That regulation resulted  
18 in ship operators using cleaner burning marine distillate  
19 fuels in the auxiliary engines within a 24 nautical mile  
20 zone off the California coast line and while in port.

21           Unfortunately, after many months of successful  
22 implementation, in May of this year, enforcement of the  
23 regulation was suspended as a result of the successful  
24 legal challenge. The court ruled we would need  
25 authorization from U.S. EPA before we could enforce the

1 regulation.

2           Because of this, the proposal before you today  
3 has been carefully crafted to re-establish auxiliary  
4 engine requirements and address the issues in the lawsuit  
5 to control emissions from the main engines and auxiliary  
6 boilers and to provide consistent in use fuel requirements  
7 for all three engine types on the vessels.

8           The second issue pertains to uniformity. Many in  
9 the shipping community would like to have a uniform  
10 international standard for oceangoing vessels. We agree  
11 that internationally consistent regulations are preferable  
12 provided that the international standards are effective,  
13 timely, and achieve the emission reductions necessary to  
14 protect public health in California.

15           While progress at the international level has  
16 historically been very slow, there is a promising proposal  
17 under consideration at the international maritime  
18 organization that, if approved, could achieve similar  
19 benefits as our proposal in the 2015 time frame.

20           We believe it would not be prudent to forgo  
21 emission reductions prior to 2015. And considering our  
22 unique air quality problems, it's important for California  
23 to take action now.

24           However, consistent with our support of  
25 international controls, we have constructed our proposed



1 harmful to health. The health effects associated with  
2 exposure to particulate matter and ozone include premature  
3 death, reduced lung function in children, and increased  
4 respiratory disease, cardiovascular disease, and cancer.

5 --o0o--

6 STAFF AIR POLLUTION SPECIALIST SORIANO:  
7 Oceangoing vessels or ships contribute to air pollution  
8 here in California. This is no surprise, as California is  
9 an important maritime hub on the Pacific Rim having 16  
10 ports involved in waterborne commerce.

11 --o0o--

12 STAFF AIR POLLUTION SPECIALIST SORIANO: It is  
13 very important that we take steps to reduce emissions from  
14 oceangoing vessels, which I also call OGVs, because they  
15 are a large source of emissions, and these emissions are  
16 expected to grow significantly along with increases in  
17 trade over the next decade.

18 These pie charts give you some perspective on  
19 just how significant the emissions of OGVs are. As you  
20 can see in the dark purple area, in 2006, OGV emissions  
21 accounted for about 18 percent of the overall statewide  
22 diesel PM emissions, about 50 percent of the SOX  
23 emissions, and about 7 percent of the NOx emissions.

24 --o0o--

25 STAFF AIR POLLUTION SPECIALIST SORIANO: OGV

1 emissions are a significant contributor to diesel PM  
2 exposure and cancer risk throughout California. Results  
3 from our modeling show regions of risk, also called  
4 isopleths, due to exposures to diesel PM from ships.

5           We estimate about 80 percent of California's  
6 population, or about 27 million people, are living in  
7 areas with risk levels from OGVs that are at or above ten  
8 in a million. In areas near ports, the risk levels are  
9 even higher, up to 500 potential cancer cases in a million  
10 people.

11                           --o0o--

12           STAFF AIR POLLUTION SPECIALIST SORIANO:

13 Oceangoing vessel emissions also result in significant  
14 non-cancer health risks in California.

15           In 2005, OGV emissions contributed to an  
16 estimated 1,100 premature deaths per year and high  
17 instances of other non-cancer health impacts as listed  
18 here in this slide.

19                           --o0o--

20           STAFF AIR POLLUTION SPECIALIST SORIANO: Over the  
21 past several years, California has undertaken several key  
22 initiatives that outline the steps needed to improve air  
23 quality in the state. Significant reductions in ship  
24 emissions are key to meeting the goals of these  
25 incentives.



1 --o0o--

2 STAFF AIR POLLUTION SPECIALIST SORIANO: Before I  
3 move on to the proposed regulation, I would like to  
4 reiterate information that Mr. Goldstene provided earlier.

5 As he mentioned, the auxiliary engine rule was  
6 approved by the Board and implementation began on January  
7 1st, 2007. It was implemented successfully by the  
8 shipping industry for over 14 months. However, a legal  
9 challenge resulted in suspension of the rule in May 2008.

10 The court ruled that ARB must seek a waiver.  
11 This is because the regulation was determined to be an  
12 emission limit, as opposed to an in-use fuel requirement  
13 which does not require a waiver.

14 As we developed our proposal that you will  
15 consider today, we were very cognizant of this legal  
16 challenge and have strived to bring to you a proposal that  
17 is crafted such that we will not need to get a waiver from  
18 U.S. EPA.

19 --o0o--

20 STAFF AIR POLLUTION SPECIALIST SORIANO: The  
21 other effort currently underway that has influenced our  
22 proposal is the pending consideration of amendments to  
23 IMO's Annex VI, which currently limits fuel sulfur levels  
24 in oceangoing vessels to 4.5 percent.

25 In October of this year, IMO will consider





1 cleaner fuels in OGVs. Using cleaner fuels is an  
2 effective strategy for reducing emissions from ships and  
3 results in large and immediate emissions reductions.

4 --o0o--

5 STAFF AIR POLLUTION SPECIALIST SORIANO: The  
6 proposal we are bringing you today applies to large  
7 oceangoing vessels, both US and foreign flagged. These  
8 vessels include container ships as well as tankers, cruise  
9 ships, and other types of vessels shown here in the slide.

10 --o0o--

11 STAFF AIR POLLUTION SPECIALIST SORIANO: The  
12 proposal requires the use of cleaner fuels in the main  
13 propulsion engines, the auxiliary engines, and auxiliary  
14 boilers, which I have included pictures here of all three.

15 The main propulsion engines are very large. This  
16 is the engine on the left, and it is approximately three  
17 stories high.

18 Most vessels have one main engine, which is used  
19 for propulsion, and these engines range from about 10,000  
20 to 100,000 horsepower.

21 Vessel also typically have multiple auxiliary  
22 engines in the range of 500 to 4,000 horsepower that are  
23 used to provide electrical power on board the vessel for  
24 lighting, refrigeration of cargo, and operation of  
25 equipment.

1 Diesel-electric vessels, such as cruise ships,  
2 are unique in that they use several large engines to  
3 provide electrical power for both propulsion and ship  
4 board power. Diesel electric engines and auxiliary  
5 engines were subject to now suspended auxiliary engine  
6 regulation.

7 Auxiliary boilers produce steam for heating  
8 residual fuel and water. In the case of tankers, the  
9 auxiliary boilers are larger and also used to provide  
10 power to pump liquid cargo.

11 --o0o--

12 STAFF AIR POLLUTION SPECIALIST SORIANO: If we  
13 had to condense the proposed regulation into one slide,  
14 this would be the most important one. The requirements  
15 for OGVs to use cleaner fuels will be implemented in a  
16 two-step phase in.

17 The first phase begins July 1st, 2009, for the  
18 main engines and auxiliary boilers and upon the effective  
19 date of the regulation for auxiliary engines. This phase  
20 will require the use of marine gas oil, which averages  
21 about .3 percent sulfur, or marine diesel oil, which is  
22 capped at .5 percent sulfur. The second phase requires  
23 the use of .1 percent sulfur distillate fuels either MDO  
24 or MGO beginning January 1st, 2012.

25 --o0o--













1 have mentioned previously, using the cleaner fuels will  
2 result in substantial and immediate reductions in diesel  
3 PM, NOx, and SOX emissions and in secondarily formed PM.

4 --o0o--

5 STAFF AIR POLLUTION SPECIALIST SORIANO: The  
6 emission reduction benefits of the proposed regulation are  
7 shown here. As you can see, getting the marine distillate  
8 fuels in the engines in Phase I achieves most of the  
9 reductions quickly, and Phase 2 adds additional reductions  
10 by further lowering the sulfur.

11 In both phases, the overall reductions in diesel  
12 PM and SOX are dramatic. In addition, there is a smaller  
13 but still significant reduction in NOx emissions.

14 With respect to our SIP commitment, with this  
15 rule in place for PM and SOX, we either meet or exceed our  
16 SIP commitment for OGVs and we make progress toward the  
17 NOx emission reduction commitment.

18 The proposal also meets the oceangoing vessel  
19 goals for the Goods Movements Emission Reduction Plan and  
20 brings us closer to meeting the diesel risk reduction goal  
21 of an 85 percent reduction in risk from diesel PM.

22 --o0o--

23 STAFF AIR POLLUTION SPECIALIST SORIANO: These  
24 charts graphically show how the proposal will result in  
25 significant reductions in diesel PM and SOX beginning in

1 2009. You can also see in future years how the reductions  
2 from this proposal continues to provide significant  
3 benefits.

4 --o0o--

5 STAFF AIR POLLUTION SPECIALIST SORIANO: These  
6 emission reductions will result in a dramatic decrease in  
7 the potential cancer risks.

8 This slide shows the modeled statewide potential  
9 cancer risks in 2012 due to OGV diesel PM emissions with  
10 and without the regulation. On your left is without, and  
11 on your right is with the regulation. We estimate that  
12 the proposed regulation will result in an 80 percent  
13 reduction in statewide average cancer risk from OGV  
14 emissions.

15 --o0o--

16 STAFF AIR POLLUTION SPECIALIST SORIANO: The  
17 proposal also results in very large reductions for  
18 non-cancer impacts from both direct and secondary PM.

19 Between 2009 and 2015, the proposal will result  
20 in an estimated 3,600 premature deaths avoided and  
21 significant reductions in other non-cancer health impacts  
22 as well.

23 --o0o--

24 STAFF AIR POLLUTION SPECIALIST SORIANO: We also  
25 evaluated the greenhouse gas impacts from this proposal

1 using a well-to-hull analysis. This analysis estimates  
2 the net CO2 changes that result from requiring OGVs to use  
3 distillate in place of heavy fuel oil in the 24 nautical  
4 mile regulated zone. For this analysis, only the volume  
5 of fuel required to meet the proposal was considered. It  
6 does not include the fuel used outside the regulated zone.

7 The well-to-hull analysis looks at the stages of  
8 the fuel life-cycle from production to consumption. For  
9 this study, evaluating the three primary stages showed:

10 No increase in CO2 emissions during the  
11 pre-refining stage;

12 A four percent increase in CO2 emissions in the  
13 refine stage due to added refining energy needed to  
14 produce the distillate;

15 And a 2 percent decrease in CO2 emissions in the  
16 vessel operation stage, due to the higher energy content  
17 of the distillate.

18 --o0o--

19 STAFF AIR POLLUTION SPECIALIST SORIANO: The net  
20 result is a 1 to 2 percent increase in CO2 emissions from  
21 each gallon of fuel switched. For context, this increase  
22 is very small, about 4/100ths of a percent for a typical  
23 voyage.

24 This analysis does not include any actions that  
25 could mitigate this small increase such as speed

1 reduction, vessel hull cleaning, engine efficiency  
2 improvement, improved propeller design, or controls and  
3 increased efficiency at refineries.

4 Overall, we believe that this proposal provides  
5 substantial health and environmental benefits that  
6 outweigh the possible small increases in CO2 emissions  
7 that could be mitigated.

8 --o0o--

9 STAFF AIR POLLUTION SPECIALIST SORIANO: Now for  
10 the cost impacts. The total annual cost results from the  
11 higher cost of the distillate compared to the heavy fuel  
12 oil.

13 For the industry overall, we estimate the added  
14 costs add about 140 to \$360 million annually. For the  
15 typical cargo ship visit, we expect that the added cost is  
16 about \$30,000 out of about 2 million dollars in total fuel  
17 costs for a transpacific voyage, or about a 1 to 2 percent  
18 increase in fuel costs.

19 We do not expect these costs to have an adverse  
20 impact on typical companies that operate marine vessels or  
21 on California's economy.

22 To provide some perspective, we estimate that the  
23 proposed regulation would result in added costs of about  
24 \$6.00 extra per shipping container for a typical  
25 transpacific voyage. We estimate that this increase would



1 stems from the requirements in the suspended auxiliary  
2 engine rule where Phase 2 began in 2010.

3 Overall, we believe our proposal maximizes the  
4 emission reductions that can be achieved from the fuel  
5 sulfur rule, taking into consideration fuel availability  
6 and the technical and operational challenges of switching  
7 from a heavy fuel to a marine distillate.

8 Having a 2010 Phase 2 schedule for auxiliary  
9 engines is not feasible for several reasons. The current  
10 proposal establishes a uniform fuel requirement. It is  
11 important to have the same requirements for the marine  
12 distillate used in the auxiliary engines, main engines,  
13 and auxiliary boilers. It assures the fuel will be  
14 available at key Pacific Rim fueling ports, and it gives  
15 operators the opportunities to address operational and  
16 technical challenges.

17 With respect to emission reductions, our proposal  
18 achieves three to four times more reductions than the  
19 auxiliary engine rule would have in the same time frame.

20 --o0o--

21 STAFF AIR POLLUTION SPECIALIST SORIANO: Some  
22 members of the shipping industry would prefer that ARB  
23 defer to international action by the international  
24 maritime organization. As I mentioned earlier, there has  
25 been a promising amendment proposed for MARPOL Annex VI



1 that would provide for emission control areas that have  
2 sulfur fuel limits of one percent in 2010 and .1 percent  
3 in 2015.

4 While ARB supports international and national  
5 action, we disagree with waiting for IMO action and it is  
6 important that we act now.

7 As I will show you on the next slide, the  
8 proposal before you today achieves significantly more  
9 emissions reductions in the 2009 and 2015 time frame.

10 Furthermore, establishing a west coast emission  
11 control area is not guaranteed and is dependent on many  
12 factors and will take a number of years to establish.

13 Never the less, we are optimistic that ultimately  
14 there will be international regulations that will meet our  
15 air quality needs. We are already working with U.S. EPA  
16 to develop the supporting documentation for an emission  
17 control area.

18 And we have included a provision to allow the  
19 Board to sunset the rule in the event national or  
20 international controls achieve equivalent benefits.

21 --o0o--

22 STAFF AIR POLLUTION SPECIALIST SORIANO: This  
23 slide shows the diesel PM emission projections for  
24 oceangoing vessels. The top line is OGVs with no new  
25 requirements. The middle line, with the stars, are the

1 benefits from an emission control area. And the bottom  
2 line represents the emission reductions from our proposal.

3 As you can see, the proposal before you today  
4 achieves significantly greater reductions between 2009 and  
5 2015.

6 --o0o--

7 STAFF AIR POLLUTION SPECIALIST SORIANO: The last  
8 comment is the US Navy has raised concerns that the  
9 proposed regulation and some possible future vessel speed  
10 reduction regulations may cause some shippers to avoid  
11 using the existing shipping lanes along the Santa Barbara  
12 channel that are in the regulated zone.

13 If the ships move outside the 24 nautical mile  
14 zone, they potentially could travel through critical  
15 regions of the Point Mugu test range. The Navy is  
16 concerned that the ships may interrupt active military  
17 exercises in designated areas. They also claim there  
18 could be a potential increase in greenhouse gas emissions  
19 and adverse air quality impacts in southern California if  
20 this were to happen.

21 We have discussed this issue extensively with the  
22 US Navy representatives and are recommending to the Board  
23 an approach to work cooperatively with the Navy and other  
24 stakeholders to resolve their concerns. We also believe  
25 it is appropriate for us to do a supplemental

1 environmental analysis of the impacts they have identified  
2 and make that available for public review and comment in a  
3 15-day package.

4 --o0o--

5 STAFF AIR POLLUTION SPECIALIST SORIANO: Next,  
6 the proposed 15-day changes. Since we published the ISOR  
7 in early June, there are two modification to the proposal  
8 that we would like to propose.

9 --o0o--

10 STAFF AIR POLLUTION SPECIALIST SORIANO: Both  
11 changes address the essential modification provision which  
12 allows an exemption for ships that require modifications  
13 to comply. These changes include revisions to the  
14 definition of essential modifications to better define the  
15 types of modifications that would be considered essential.

16 We are also removing the sunset date for the  
17 essential modifications exemption. Since the exemption  
18 was added to support the proposal as an in-use  
19 requirement, a sunset date may have impacted legal issues.

20 --o0o--

21 STAFF AIR POLLUTION SPECIALIST SORIANO: I would  
22 now like to discuss future activities and provide a  
23 summary and recommendation.

24 --o0o--

25 STAFF AIR POLLUTION SPECIALIST SORIANO: If you



1 plans. It is feasible and cost effective, designed to act  
2 as a bridge to possible international regulations, and  
3 addresses legal issues.

4 --o0o--

5 STAFF AIR POLLUTION SPECIALIST SORIANO: With  
6 that said, we recommend the Board adopt the proposed  
7 regulation with the recommended 15-day changes.

8 This concludes my presentation. At this time, we  
9 would be happy to answer any questions.

10 CHAIRPERSON NICHOLS: Thank you.

11 Do Board members have questions before we hear  
12 from the representatives?

13 Yes, Mr. Loveridge.

14 BOARD MEMBER LOVERIDGE: Slides seven and eight  
15 are quite telling and powerful, both the contribution and  
16 impact.

17 Two questions. One, on slide eleven, you  
18 mentioned this was in effect. This is a portion of what  
19 you're proposing now was in effect before? I'm just  
20 trying to understand what the difference is from what was  
21 here before and what is here now.

22 STAFF AIR POLLUTION SPECIALIST SORIANO: The  
23 auxiliary engine rule, which is the suspended rule, just  
24 included the auxiliary engine portion. So we're including  
25 three different equipment types: The main engine,

1 auxiliary engines, and auxiliary boilers. The previous  
2 regulation just addressed the auxiliary engines.

3 BOARD MEMBER LOVERIDGE: The other is, as I  
4 understand the presentation, after this, we send this off  
5 to EPA; is that -- no? What happens next?

6 TECHNICAL ANALYSIS SECTION MANAGER TARICCO: Are  
7 you asking if we would be requesting a waiver for this  
8 regulation?

9 BOARD MEMBER LOVERIDGE: I was trying to follow  
10 what was in the presentation.

11 TECHNICAL ANALYSIS SECTION MANAGER TARICCO:  
12 We've structured this regulation so we will not need to  
13 request a waiver from U.S. EPA. We aren't planning on  
14 doing that with this regulation.

15 We do intend to work with EPA and we're already  
16 working with them on developing the supporting  
17 documentation for an emission control application in the  
18 event the recent proposal at IMO is approved in October.

19 BOARD MEMBER LOVERIDGE: The only reason I raise  
20 that, I think there is a timing issue with EPA but in  
21 terms of in change of regime that will be occurring. But  
22 this is not the direct request, I understand.

23 CHAIRPERSON NICHOLS: Mr. Roberts.

24 BOARD MEMBER ROBERTS: Just a quick question. We  
25 used to measure emissions in removing them in dollars per

1 ton and now we're doing it in the cost of dollars per  
2 tennis shoes. Is that our new standard now?

3 CHAIRPERSON NICHOLS: Sometimes we do slices of  
4 pizza or cups of coffee. It's probably useful just to put  
5 these things in perspective.

6 EXECUTIVE OFFICER GOLDSTENE: Madam Chair, it  
7 might be good to hear from the Ombudsman.

8 CHAIRPERSON NICHOLS: Sure. Ombudsman.

9 OMBUDSMAN QUETIN: Chairman Nichols and members  
10 of the Board, this proposed regulation has been developed  
11 with input from the individual shipping lines, the marine  
12 engine manufacturers, Pacific Merchant Shipping  
13 Association, California Port Authorities, fuel suppliers  
14 and producers, the US Coast Guard, US EPA, the US Maritime  
15 Administration, the California Department of Fish and  
16 Game's Office of Spill Prevention and Response, the  
17 California State Lands Commission, the San Francisco  
18 Harbor Safety Committee, and local air quality management  
19 districts.

20 Staff began their efforts to develop this rule in  
21 early 2007. Between March 20th of 2007 and May 13th of  
22 2008, there were five public workshops. One workshop was  
23 held in Long Beach and the other four in Sacramento with  
24 an average of 40 attendees per meeting. Staff also held a  
25 maritime working group meeting on July 24th, 2007, in

1 Sacramento.

2           Along with the previous workshops, numerous  
3 meetings and phone conversations were held with the  
4 regulated community, governmental agencies, and  
5 environmental groups.

6           The staff report was released for public comment  
7 on June 6th, 2008, noticed via the ARB website and the  
8 over 1700 people on the list serve. One-hundred hard  
9 copies were also sent out the our mailing list.

10           Thank you.

11           CHAIRPERSON NICHOLS: Thank you for that  
12 description. It was a very extensive process that went  
13 into the making of the rule.

14           Yes, Ms. D'Adamo.

15           BOARD MEMBER D'ADAMO: Thank you.

16           My view of this regulation and the previous ones  
17 that we've adopted on shore power, the auxiliary engine  
18 rules, this is really an opportunity for building blocks  
19 to go further and drive international action.

20           The question that I have is related to the  
21 emission control area and what such an area would look  
22 like in terms of range and what other emission control  
23 areas would be targeted, assuming that the IMO takes  
24 action? In other words, how extensive would an IMO action  
25 be internationally?



1           TECHNICAL ANALYSIS SECTION MANAGER TARICCO: I  
2 think that question is best directed to EPA. But since  
3 they're not here today, we'll attempt to answer that.

4           There are different regions that they're looking  
5 out all the way out to 200 nautical miles. There are  
6 modeling exercises underway right now to determine what  
7 makes the best sense. They are looking at areas  
8 throughout North America and also working with Canada. So  
9 potentially we can have a very large ECA along the west  
10 coast.

11           DEPUTY EXECUTIVE OFFICER SCHEIBLE: Our  
12 preference is for a large area.

13           One, it provides environmental protection to all  
14 of those residents, regardless whether they live in  
15 Canada, the US, or Mexico.

16           And secondly, it takes away the competitiveness  
17 aspect of environmental regulations. If the ships have to  
18 use the cleaner fuel regardless of the port they call on  
19 in North America, then it's all an equal footing.

20           BOARD MEMBER D'ADAMO: So that seems to be the  
21 key then, the broad --

22           DEPUTY EXECUTIVE OFFICER SCHEIBLE: Right. And  
23 that is EPA's interest also and to include the gulf coast  
24 and east coast. And the types of impacts we're showing  
25 here are going to show up in other areas once they do the

1 analysis.

2 BOARD MEMBER D'ADAMO: Are there further steps  
3 that we can take with regard to my reference of building  
4 blocks that -- shore power, auxiliary engine, and now this  
5 rule? Is there something else on the horizon in terms of  
6 action that we can take to further drive things  
7 internationally?

8 DEPUTY EXECUTIVE OFFICER SCHEIBLE: Well, we've  
9 also said the remaining element of control is to start to  
10 address the engines and retrofitting the existing engines  
11 to get 25 to 50 percent emission reduction and then  
12 establishing an engine standard for new ships that is much  
13 cleaner.

14 These are elements of the IMO process, and we  
15 will be working with U.S. EPA to support that. And I  
16 think the establishment of the plan that we did a couple  
17 of years ago and then the regulatory actions taken by the  
18 Board are largely pushing the stringency of those actions.

19 And then our clear policy statement that we will  
20 regulate to protect the health of Californians, but with  
21 an international standard in place that provides the  
22 benefits we're more than happy to say, fine, we don't need  
23 our own set of regulations.

24 So I think all of that is helping push the agenda  
25 forward. And we're just very hopeful that IMO will act in

1 November and then we'll have a known set of standards to  
2 work with.

3 CHAIRPERSON NICHOLS: Mr. Hill.

4 BOARD MEMBER HILL: Thank you, Madam Chair.

5 In the year-and-a-half that I've been sitting on  
6 this Board, this is probably the most significant rule in  
7 terms of the impact it has had -- that currently has on  
8 diesel PM, SOX, and NOx. It's phenomenal when you look at  
9 something that you would not think would have that type of  
10 impact.

11 But in terms of the weather conditions or  
12 metrological conditions on the west coast, does that  
13 effect the impacts that we're seeing to the residents and  
14 to the citizens of California? Does that effect us at all  
15 in terms of the wind blowing from the west? And does that  
16 effect also the distance, the 24 miles, as what happens at  
17 25 to 30? Does the wind dissipate that in a greater --

18 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE: This  
19 is Dan Donohoue.

20 The first response is, yes, the general on-shore  
21 flow conditions off to the pacific coast here does have an  
22 impact on California. Maybe a little bit stronger than  
23 other areas like on the Atlantic seaboard where they don't  
24 have quite the same level of on-shore flow that we do  
25 here. So that does tend to both blow the emissions onto

1 shore and transport them over longer distance.

2           As we talked about in the presentation, we  
3 believe that in setting a zone out to 24 nautical miles  
4 will capture the bulk of the emissions. We're estimating  
5 for PM and sulfate we would be picking up about 80 percent  
6 of the emissions that are having on-shore impacts.

7           Outside of that zone, we're not as sure as far as  
8 the level of impacts those are having. There are smaller  
9 percentage, but they still may be significant.

10           We are continuing to do additional modeling  
11 analysis, looking at the breakdown of zero to 24, 24 to  
12 50, and 50 out in support and working with the U.S. EPA to  
13 see if in fact is it from a public health standpoint, from  
14 a cost standpoint reasonable to move out further than  
15 that.

16           But at this point in time, the 24-mile limit will  
17 capture the bulk of the emissions and is an excellent  
18 starting point.

19           BOARD MEMBER HILL: Thank you.

20           CHAIRPERSON NICHOLS: Yes, Dr. Balmes.

21           BOARD MEMBER BALMES: I have a technical question  
22 about slides 9 and 30. These are the health impact  
23 estimates. And for the premature deaths per year, did  
24 staff use the concentration response function that we  
25 talked -- was presented in June? That's not -- okay. I

1 see the heads shaking.

2 DEPUTY EXECUTIVE OFFICER SCHEIBLE: This reflects  
3 the methodology that's been in use for the last several  
4 years. And this number would grow by 40 percent or so if  
5 we adopted the revised methodology. That's still being  
6 reviewed, so we don't feel it was appropriate to apply.

7 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE: The  
8 numbers would grow by 70 percent.

9 BOARD MEMBER TELLES: I have one question on the  
10 exemptions. Would the previous plan when you just had the  
11 auxiliary motors, were there many cases of exemptions?

12 STAFF AIR POLLUTION SPECIALIST MILKEY: Paul  
13 Milkey, Air Resources Board.

14 We had one safety exemption. And that was for a  
15 field that was picked up, a distillate field that was  
16 found not to be compliant with the marine specifications.  
17 And we had about five to six cases where a noncompliance  
18 fee was paid. And this would be for things like not being  
19 able to get the correct fuel.

20 BOARD MEMBER TELLES: Is there any concern that a  
21 large shipping may send in each time a ship doesn't meet  
22 the -- that needs to be modified and send in another one  
23 and then send in another one. In other words, never  
24 modify their fleet?

25 DEPUTY EXECUTIVE OFFICER SCHEIBLE: That would

1 probably not be economic, because the majority of the  
2 ships that are container ships or cruise ships are in  
3 routine service in California. So they come here quite  
4 often actually.

5 TECHNICAL ANALYSIS SECTION MANAGER TARICCO: If I  
6 could just add. We don't think a large portion of the  
7 fleets need modifications based on analysis that we did to  
8 use the fuel. There will be some. Some that might need  
9 because of the frequency they come here or where they get  
10 the fuel, they may have to put in new tanks.

11 But for the vast majority of vessels, we do not  
12 believe they need to make modifications. So we are  
13 anticipating there will not be broad based use of that  
14 exemption that we provided in the reg.

15 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUÉ: Just  
16 two things. You know, we're talking about five or six  
17 vessels out of -- vessel calls out of 11,000 vessel calls  
18 a year that occurred. Actually a bit more than that. It  
19 was a 14-month period rather than 12-month period.

20 And the other thing is, all of those have to go  
21 through Paul Milkey, and that's really a pain.

22 CHAIRPERSON NICHOLS: All right. We have ten  
23 witnesses who have signed up to testify. We are imposing  
24 a three-minute limit. If you did file written comments,  
25 we would very much appreciate it if you would not repeat

1 them, but you can certainly summarize them.

2 We'll start with Heather Tomley, followed by T.L.  
3 Garrett from the Pacific Merchant Shipping Association.

4 MS. TOMLEY: Thank you very much. And good  
5 morning. I'm Heather Tomley with the Port of Long Beach.

6 And we want to express our very strong support  
7 for the proposed regulation. This regulation, which will  
8 require all vessels calling at California ports to use  
9 cleaner burning low-sulfur distillate fuels when close to  
10 shore, is the single most significant action currently  
11 available to reduce emissions from vessels operating along  
12 our coast.

13 This regulation is critical for the port  
14 operators to reduce their fair share of emissions and to  
15 reduce potential health impacts to our local communities.  
16 Without this regulation, it could take 20 years or more  
17 for the ports to be able to phase in similar requirements  
18 on all vessels operating through our terminal leases.

19 The port of Long Beach has been working very  
20 aggressively to implement strategies that will reduce  
21 emissions from port operations.

22 With the adoption of our Clean Air Action Plan,  
23 or CAAP, in late 2006, which was developed jointly with  
24 port of Los Angeles in cooperation with our agency  
25 partners including ARB staff, like Cynthia Marvin and Mike

1 Schieble, the ports have made significant strides in  
2 establishing programs that will produce major air quality  
3 benefits into the future. The ports have moved forward  
4 with this these programs on an accelerated time line to  
5 address the immediate needs of our local communities in  
6 Southern California.

7           However, we have always stated that regulatory  
8 efforts at the state level are absolutely critical to help  
9 achieve the goals. And ultimately the local port  
10 requirement should be overtaken by statewide, national, or  
11 international regulations. Such as the case with this  
12 regulation which will supercede the port's requirement in  
13 2012 when the .1 percent sulfur requirement is phased in.

14           In order to support adoption and implementation  
15 of the vessel fuel regulation, the ports of L.A. and Long  
16 Beach have developed a nearly \$20 million vessel main  
17 engine fuel incentive fuel program which is running for  
18 the next year. This program encourages vessel operators  
19 to use low sulfur distillate MGO and MDO fuels when close  
20 to port. And the program officially launched at the  
21 beginning of this month and is currently underway.

22           As was recently stated by our Board President,  
23 this incentive program will give us significant  
24 improvements in air quality and provide a much needed  
25 bridge to the important state regulations on low sulfur



1 fuels. The goal of the program is to achieve early  
2 emission reductions from vessels prior to the statewide  
3 regulation requirement, but it's also developed to allow  
4 vessel operators to gain experience with using the cleaner  
5 burning fuels in their engines and hopefully overcome some  
6 of the technical concerns, and therefore ease the  
7 transition into the regulatory requirements.

8           Over the past year, the ports have been focusing  
9 on developing long-term air quality emission forecasts in  
10 order to better understand the potential state of our  
11 local air quality with implementation of the cap and  
12 existing regulations.

13           The preliminary results of this analysis have  
14 proven just how critical the proposed vessel fuel  
15 regulation will be for reducing air quality and public  
16 health impacts. This regulation has the potential to  
17 increase total health benefits by an additional one-half  
18 or greater above what can be achieved over the next 15  
19 years through implementing all other existing regulations  
20 and implementing all cap measures to reduce emissions from  
21 port operations through our terminal leases. This is why  
22 we believe this regulation is critical and we encourage  
23 you to adopt it today.

24           CHAIRPERSON NICHOLS: Thank you, Ms. Tomley.

25           T.L. Garrett, followed by John Kaltenstein from

1 Friends of the Earth.

2 MR. GARRETT: Good morning, Madam Chairman and  
3 Board members. My name is T.L. Garrett. I represent the  
4 Pacific Merchant Shipping Association. We represent over  
5 60 companies, ocean carriers and terminal operators, that  
6 move approximately 90 percent of the containerized cargo  
7 in the west coast. We have submitted written comments, so  
8 I'll try to be brief here.

9 We continue to have some issues on technical  
10 feasibility, on the availability of the fuels, and on the  
11 jurisdictional issues. But we do not question the  
12 dedication and the professionalism of the staff in  
13 preparing this regulation before you today.

14 I did submit an opposed card, but it should be  
15 viewed as oppose unless amended. PMSA has been a strong  
16 supporter of an international approach to these questions.  
17 We're all in agreement that the transition to distillate  
18 fuels is the way to go and is absolutely necessary to meet  
19 the environmental and public health goals we all desire.

20 We are very heartened by the recent activities of  
21 the IMO in April and the upcoming vote in October that  
22 will put the provisions in that will eventually sunset  
23 this regulation should it go forward, and we fully support  
24 those.

25 We are very heartened by the fact President Bush

1 signed on Monday of this week the implementing legislation  
2 and ratification package for the IMO package so the US is  
3 now a full participant in the international treaty.

4           Our recommendation is simply a contingency plan.  
5 Put in language into the existing regulation that if IMO  
6 were to fail to act in October, if the U.S. EPA were to  
7 fail to immaterial an environmental control area in a  
8 expeditious manner, and if the industry along with the  
9 partnership of CARB, EPA, local air districts and port  
10 authority should fail to come up with a strategy that  
11 plugs the differential between 2009 and 2015, go forward  
12 with your regulation.

13           If we can meet those criteria though, set this  
14 regulation aside, and let's do this in a proactive and  
15 cooperative way.

16           We think there are strategies out there. One  
17 that we just mentioned was the port incentive program that  
18 is in place. We think it could be expanded statewide.  
19 The extension of the ECA further off-shore or early  
20 implementation of an ECA or other strategies that could be  
21 looked at.

22           There's also the potential for new technologies  
23 coming on line. This is a fuel only requirement. New  
24 technologies are not allowed. They are not basically not  
25 allowed.

1           So we think there are a number of advantages to  
2 our proposed modifications to the language.

3           The first is it maintains the pressure on the IMO  
4 and on the EPA to act and act expeditiously.

5           It avoids competitive disadvantage for the State  
6 of California in the goods movement system of California.

7           It provides for early action and early emission  
8 benefits to the citizens of California.

9           And it provides motivation for ocean carriers to  
10 continue to investigate and develop innovative  
11 technologies that will further reduce emissions from  
12 vessels.

13           Finally, it avoids any disputes about the  
14 jurisdictional issues that remain.

15           In conclusion, on behalf of our members, we  
16 respectfully request that you consider these contingencies  
17 in the existing regulation. And thank you very much for  
18 your time.

19           CHAIRPERSON NICHOLS: Thanks, Mr. Garrett. We  
20 may have some questions for you at the end if you'll still  
21 be here. Thank you.

22           All right. Let's hear from John Kaltenstein and  
23 then Tim Carmichael.

24           MR. KALTENSTEIN: Good morning, Madam Chair,  
25 Board members, and staff. Thank you for the opportunity

1 to comment. My name is John Kaltenstein. I'm here  
2 representing Friends of the Earth and joined nine other  
3 environmental community groups throughout California in  
4 submitting comments in strong support of this regulation.

5           While the rule is not perfect, it's absolutely  
6 critical to protect public health impacts to oceangoing  
7 vessels. And those impacts are severe. Staff projects  
8 over 400 OGV-related death by 2015 along with thousands of  
9 respiratory illnesses and lost days of work.

10           Further, regulatory initiatives including the SIP  
11 count on emissions reductions from OGVs to reduce health  
12 risk and attain federal and state air quality goals.

13           OGV's proportion of statewide and port-wide  
14 emissions continues to grow. As international ship trade  
15 increases and land side pollution further decrease,  
16 specifically from trucks.

17           The main and auxiliary fuel rules have been a  
18 signature element of CARB's plan to reduce ship emissions.  
19 Rules such as the one for shore power often were  
20 graphically depicted in the context of a fully implemented  
21 auxiliary rule. The auxiliary engine rule has already  
22 once been pushed back from its original time line.  
23 Pushing back and foregoing the main and auxiliary rules  
24 entirely will severely jeopardize vessel emission  
25 reductions objectives.

1           Voluntary efforts such as those proposed by PMSA  
2 are commendable. But in this case, they are no substitute  
3 for mandatory requirements and certain reduction cuts.

4           Moreover, the South Coast incentive plan which  
5 has recently begun is intended as an interim measure  
6 before the CARB rules go into effect. They are not meant  
7 to be a long-term measure. Ports shouldn't have to  
8 subsidize the use of cleaner fuels for long periods before  
9 strong international standards and be applied in 2050.

10           Most of the technical and fuel availability  
11 issues are not of concern for the Phase I period and 2009.  
12 And enough lead time is given with 2012 time frame along  
13 with additional testing that these concerns will be  
14 properly addressed.

15           I disagree with shippers positions that all  
16 uncertainty has to be eliminated before this regulation is  
17 adopted. If that were the case, it would be many years  
18 before that unreasonably high threshold were achieved.

19           Moreover, it should be said that while passage of  
20 MARPOL Annex VI and even legislation recently is a  
21 positive step in the right direction, heavy lifting  
22 remains with respect to technical submissions and the  
23 parameters of the north American coastal and emission  
24 control area.

25           In addition, the glacial IMO process and actual

1 implementation lag times await. By way of example, the  
2 north sea ECO approved in July 2005 only went into full  
3 implementation nearly two-and-a-half years later.  
4 Therefore, for the reasons mentioned, we strongly support  
5 CARB's regulatory proposal instead of relying solely on  
6 voluntary measures to reduce OGV emissions.

7 I thank you for your time.

8 CHAIRPERSON NICHOLS: Thank you.

9 Tim Carmichael and than Candice Kim.

10 MR. CARMICHAEL: Good morning, Chair Nichols and  
11 members of the Board. Tim Carmichael with the Coalition  
12 for Clean Air.

13 Two quick comments, because I have a couple of  
14 colleagues behind me that are going to elaborate.

15 As Supervisor Hill touched on, I don't think you  
16 can overstate the value of this regulation. The emission  
17 reduction benefits in PM are striking, and I hope every  
18 Board member is appreciating that. Think about the  
19 fractions of pounds that we try to get through other  
20 regulations. This is really profound. And appreciate  
21 Supervisor Hill and the stuff bringing attention to that.  
22 I neglected to say we strongly support this measure.

23 The other point I'd like to make is in honor of  
24 high school summer reading, a lot of people are reading  
25 Samuel Beckett right now. And if he was writing today, I

1 believe that he would change the name of his main  
2 character to IMO. And I think Chair Nichols can  
3 appreciate this as much as anyone in the room from her  
4 time at EPA. The IMO has been talking about acting on  
5 issues like this for not one but at least two decades.  
6 And though there's promise in the action taken this spring  
7 and the prospect of action this fall, we as California and  
8 we as a country cannot bank on solid action from them  
9 based on their track record. So I encourage you not to  
10 wait for IMO, because they may never come.

11 Thank you.

12 CHAIRPERSON NICHOLS: Thank you.

13 Candice Kim and then Diane Bailey.

14 MS. KIM: Good morning, members of the Board,  
15 Madam Chair, and staff. My name is Candice Kim, and I'm  
16 here on behalf of the Coalition for Clean Air. I work in  
17 the ports program working primarily down near ports of  
18 L.A. and Long Beach.

19 I'm here to express our strong support of the  
20 ocean-going vessel fuel regulation. We'd like to commend  
21 the ARB for continuing to pursue critically needed  
22 emission reductions from this huge source of harmful air  
23 pollution.

24 California is the nation's loading dock with over  
25 40 percent of the country's goods entering through the



1 ports of L.A. and Long Beach alone. With the volume of  
2 trade expected to triple in the next 15 years, it's  
3 critical we act now to address this harmful source of air  
4 pollution.

5           Oceangoing vessels have been largely unregulated  
6 to day, and we believe staff have done an excellent job of  
7 crafting a fair and cost effective regulation. Shippers  
8 can and should use cleaner fuels as they approach our  
9 coastline. The hundreds of lives lost to the source of  
10 pollution are too high of a cost to bear, especially when  
11 you take into consideration staff's estimate that the cost  
12 to shippers is less than one percent of the total cost of  
13 the typical transpacific trip.

14           The Coalition for Clean Air strongly supports  
15 this regulation. We oppose the shipper's recommendation  
16 for a voluntary approach to addressing the staggering  
17 impacts of this huge source of harmful pollution. As you  
18 prepare to make your decision today, I ask you to consider  
19 those whose lives are changed forever by the impacts to  
20 their health such as cancer, asthma, heart disease, which  
21 are all linked to exposure to diesel exhaust that can and  
22 should be regulated.

23           I ask you to consider those people who have to  
24 live daily with impacts which they did not volunteer for.  
25 A voluntary approach to regulating reduction of pollution

1 is adequate and appropriate. And we ask you to adopt the  
2 plan that's before you today. Thank you.

3 CHAIRPERSON NICHOLS: Thank you.

4 We'll next hear from Diane Bailey followed by  
5 Christopher Patton.

6 MS. BAILEY: Good morning, Chairman Nichols and  
7 Board and staff. My name is Diane Bailey. I'm with the  
8 Natural Resources Defense Council, and I'm here today in  
9 very strong support of this critical rule for public  
10 health in California. And I want to commend staff for  
11 their hard work on this important rule.

12 This rule is really critical to meeting a number  
13 of important CARB goals, including the Diesel Risk  
14 Reduction Plan, the Goods Movement Emission Reduction  
15 Plan, and also the SIP targets in order to meet attainment  
16 with federal air quality standards.

17 As you know, diesel-powered freight transport in  
18 California is responsible for 3700 premature deaths every  
19 year and many thousands of hospital admissions,  
20 respiratory illnesses like asthma, missed work days,  
21 missed school days, and that's each year. And our ports  
22 and the traffic coming through our ports is only growing.

23 There are substantial air quality and public  
24 health improvements offered by this rule, as staff have  
25 noted. This includes just to repeat a few important

1 facts:

2           An 80 percent reduction in cancer risk throughout  
3 the state from this source;

4           Cumulatively, 3600 premature deaths avoided and  
5 countless other health impacts.

6           And that amounts to a savings to the whole state  
7 of six billion dollars. That's billion with a "b".

8           We agree with staff that it's critical to act  
9 right away to curb pollution and clean up marine fuels,  
10 and particularly from international vessels. And I just  
11 want to note that the impacts of these vessels are really  
12 born on communities least prepared to deal with these  
13 impacts, communities that have the least access to health  
14 care and that are already disproportionately impacted by  
15 air pollution.

16           Further, we agree with staff on the importance of  
17 making this rule mandatory as opposed to voluntary. In  
18 fact, staff in a recent letter to the port of Oakland on  
19 the port of Oakland's air quality plan have noted that  
20 voluntary measures are simply inadequate to deal with  
21 sources like this, given the critical public health stakes  
22 that we're talking about.

23           Finally, I want to note we're on very strong  
24 legal ground with this regulation. This is  
25 technologically feasible. It's cost effective and

1 critical to protecting the health of Californians  
2 statewide.

3 I thank you very much for your support, and I  
4 urge you to adopt the mandatory measure today. Thank you.

5 CHAIRPERSON NICHOLS: Thank you.

6 Christopher Patton followed by Jo Angelo from  
7 Intertanko.

8 MR. PATTON: Good morning, members of the Board.  
9 My name is Christopher Patton. I'm an environmental  
10 affairs officer with the port of Los Angeles.

11 And Ms. Tomley from the port of Long Beach and I  
12 coordinated our comments. So really what I want to do is  
13 come on the back side and underscore three or four key  
14 things that she mentioned.

15 The proposed regulation in front of you is indeed  
16 the single most significant action currently available to  
17 reduce emissions from oceangoing vessels operating near  
18 the coast of California and in our ports. Due to the  
19 nature of the action, it would produce immediate  
20 improvements in air quality and immediate reduction in  
21 health effects on the communities in the state of  
22 California.

23 Very importantly though, it sustains the benefits  
24 that the ports of Los Angeles and Long Beach have already  
25 put in place with our incentive program for main engine

1 fuel switch, and it accelerates the benefits that we can  
2 achieve under our lease-based Clean Air Action Plan.

3           But quite importantly, it goes beyond our Clean  
4 Air Action Plan by dropping down or ratcheting down the  
5 sulfur content to .1 percent in 2012 and also including  
6 boilers.

7           Just a little bit of promotion of our incentive  
8 program. I want to tell you it's been in effect since  
9 July 1st of this year. And at the moment, we have 14  
10 shipping lines signed up and rolling almost 140 vessels,  
11 representing almost 300 calls per quarter. What this  
12 amounts to is a 20, 25 percent reduction in the impact  
13 from those vessel calls, on the communities surrounding  
14 the port and the workers within the port.

15           I think it's also important to note the port of  
16 Los Angeles is fully prepared to support a broader  
17 regulatory framework, be it national or international,  
18 when that can be put into place. But we need this  
19 proposed regulation now.

20           Lastly, I want to underscore that the ports of  
21 L.A. and Long Beach have over the last year spent an  
22 extensive amount of time developing emission forecasts and  
23 doing risk modeling for out years, forecasted out years,  
24 2023. And we need to tell you when we take and look at  
25 the risk reduction benefits from the Clean Air Action Plan

1 and adopted regulations on the books today, and then we  
2 look at the benefit of this proposed regulation in front  
3 of you, as Ms. Tomley indicates, it adds about another  
4 half again the benefit in terms of risk reduction to  
5 communities surrounding the San Pedro Bay complex.

6 In short, port of Los Angeles urges you to move  
7 forward with this proposed regulation. Thank you.

8 CHAIRPERSON NICHOLS: Thank you very much, Mr.  
9 Patton. I want to commend the combined ports of Los  
10 Angeles and Long Beach for stepping out before there was a  
11 regulatory requirement and using some of your own funding  
12 to try to address this important concern.

13 Mr. Angelo followed by Randal Friedman.

14 MR. ANGELO: Good morning. My name is Joe  
15 Angelo. I'm the deputy managing director for Intertanko,  
16 which is the International Association of tanker owners.  
17 We have approximately 300 members with over 3,000 ships  
18 calling around the world, many of which come to the US and  
19 California.

20 As your staff knows, both Intertanko and CARB are  
21 trying to achieve the same objectives. That is to have  
22 all ships use distillate fuels. They're trying to do it  
23 for California. We're being a little more ambitious.  
24 We're trying to do it worldwide. Two years ago, it was  
25 Intertanko that proposed all shipping switch from residual

1 fuel to distillate fuel and IMO.

2 Now in April of this year, as staff has pointed  
3 out, IMO has approved amendments to the Annex VI. And let  
4 me give you the details of those. Those amendments will  
5 be up for formal adoption at the next meeting of the  
6 Marine Environmental Protection Committee the first week  
7 in October.

8 With that as background, I would like to make  
9 three comments. My first comment which you don't want to  
10 hear, but I need to go officially on the record, is that  
11 we would strongly recommend that you adopt the dates that  
12 are in the IMO position. That is we support the 0.1  
13 percent sulfur content. We suggest, however, you go to  
14 2015.

15 Having said that, I fully understand why you  
16 would not do that and respect that. But I need to go on  
17 the record for my comment.

18 More importantly, it brings me to my second  
19 comment. That is the timing of the whole issue. These  
20 amendments will be formally adopted in October. We're  
21 very confident about that, and we hope nothing is done to  
22 change that. And your staff has indicated they want that  
23 to occur.

24 We are concerned though that if this Board was to  
25 take action formally adopting these amendments now, it

1 could send the wrong signal to IMO and jeopardize those  
2 negotiations and could result in IMO not going forward.

3           Having been involved in IMO negotiations for the  
4 past 30 years -- and truth be told, I used to work for the  
5 Coast Guard. And I was the head of the US delegation that  
6 negotiated Annex VI back in 1997. Very pleased to see how  
7 the US is going to ratify the treaty.

8           On a positive note now, I see resolution 08-35.  
9 And in particular on page 9, the second paragraph states  
10 that the Board is initiating steps toward the adoption of  
11 these rules. And the last paragraph it reads, "And that  
12 final action to adopt the proposed regulation will be  
13 taken by the executive officer."

14           I would strongly encourage you to adopt the  
15 resolution with this working in it. This type of wording  
16 would in my opinion not jeopardize the work that's going  
17 on at IMO.

18           And finally my third comment which you're not  
19 going to like. We believe do you not have the authority  
20 to go out beyond three miles and go to 24 miles. And  
21 rather than tie up this regulation in litigation out to 24  
22 miles and not get it enforced, we would suggest you hold  
23 the rule to three miles and work through the EPA and the  
24 ECA to extend it further out. Thank you very much.

25           CHAIRPERSON NICHOLS: Thank you for those



1 comments. And we may not like them, but we do need to  
2 hear them. And we will reflect on them. All right.

3 Mr. Friedman, why do you think we're going to be  
4 sending ships into your ships lines?

5 MR. FRIEDMAN: There's an issue paper we're  
6 handing out that we shared with staff that will discuss  
7 that.

8 Anyway, Madam Chair, Board members, Randal  
9 Friedman on behalf of the Navy Region Southwest.

10 While we don't have an issue with the proposed  
11 regulation itself, we are concerned with the potential  
12 impacts of the regulation on our sea test range. The  
13 proposal only applies to shipping within the Santa Barbara  
14 channel and adds a substantial cost to that transit.

15 We are concerned that ship operators may choose  
16 to avoid this regulation by transiting to the other side  
17 of the Channel Islands through our sea range which would  
18 have massive impacts on the major assets of Ventura County  
19 and its billion, with a "b," economic contribution to the  
20 state of California as well as our national offense and  
21 defense of our allies.

22 We are concerned the staff report did not  
23 consider other pending issues related to shipping in the  
24 Santa Barbara Channel, including speed reduction and  
25 marine mammal issues. And there is a recent Court of

1 Appeals on the east coast that raises the bar on whether  
2 or not speed limits on ships can be done in the name of  
3 endangered species protection, which is directly relevant  
4 to issues in the Santa Barbara Channel, yet they weren't  
5 considered in the staff report.

6           We believe the potential for the shipping  
7 industry to abandon the Santa Barbara Channel and go  
8 through the sea range is real. And probably the best  
9 evidence of that is we have been approached by one of the  
10 major shipping companies posing that very question. We  
11 prepared an issue paper we passed out. Would encourage  
12 you to consider that.

13           One thing that isn't covered in this issue paper  
14 is greenhouse gas concerns. What are our greenhouse gas  
15 concerns? It's very simple. Going through the sea range  
16 adds at least another 20 nautical miles to each leg of the  
17 transit in and out of L.A./Long Beach. That's a direct  
18 contribution to greenhouse gas.

19           I find it ironic that in your staff presentation  
20 that the mitigation they discussed potentially for the .4  
21 percent increase in greenhouse gas is speed reduction  
22 alternative -- is a speed reduction alternative. Yet,  
23 that same staff report doesn't consider speed reduction as  
24 a potential cumulative impact in whether or not shippers  
25 will stay in the Santa Barbara Channel or move to a

1 different channel shipping route outside the Channel  
2 Islands.

3           We have worked with your staff on this matter and  
4 degree with their proposal in the draft regulation to  
5 conducted the supplemental environmental analysis during  
6 the 15-day review period.

7           Further, we support the resolution's call to work  
8 this issue with the California Ocean Protection Council  
9 and the establishment through that council of a  
10 stakeholder group to look at the overall issues of  
11 shipping in the Santa Barbara Channel, including our sea  
12 range, marine mammal issues, and air quality. And we  
13 believe this type of approach, getting all of the parties  
14 around the table in the next six months, shows great  
15 promise to finally achieving an overall solution to this  
16 issue.

17           In sum, this regulation really rests on one huge  
18 assumption, and that is the shipping industry will stay in  
19 the Santa Barbara Channel. We contest that, but we're  
20 supportive of the staff's approach to do a supplemental  
21 environmental analysis and look forward to working with  
22 your staff and the other stakeholders in that regard.

23           I'm available for any questions

24           CHAIRPERSON NICHOLS: Thank you Mr. Friedman. I  
25 see one right here.

1           BOARD MEMBER RIORDAN: I do have one question.  
2 Is this identified the sea range for all shipping so they  
3 know pretty clearly where that is that you --

4           MR. FRIEDMAN: Yes, it's on charts and we do  
5 notice the mariners.

6           The problem is we have no enforcement over it.  
7 It's international waters. We can do a notice to mariner,  
8 but it's still every individual ship captain has the  
9 ability to decide the route of their ship and whether or  
10 not to -- and if a ship comes through our range, we have  
11 to shut the range down. You can't do missile tests with a  
12 container ship going through the sea range.

13          BOARD MEMBER RIORDAN: That might be exciting.

14          BOARD MEMBER HILL: You answered the question  
15 that there's no enforcement of the range area, so the  
16 demarcation lines of that -- they're clear. Shippers know  
17 what those boundaries are. But there's no notices that go  
18 out during the time that you're testing stating you're not  
19 supposed to go into the area?

20          MR. FRIEDMAN: Yes, there's notices that go out.  
21 It's never been an issue, because there's no reason for  
22 the shipping industry to use that, because the shortest  
23 route is through the Santa Barbara Channel.

24          However, our concern is if you start adding  
25 regulation after regulation to the Santa Barbara Channel,

1 now it's fuel regulation. Later, it's speed reduction.  
2 Then the economics switch, and it becomes more  
3 advantageous for the shipping industry to go the extra 20  
4 miles because then they can continue to burn the residual  
5 fuel and they can go full speed.

6 BOARD MEMBER HILL: What I don't understand is --  
7 I used to fly. And there are notices to air men on  
8 certain days when there are areas of the sky you're not  
9 supposed to fly in over certain areas of the ground. It's  
10 obvious it's clearly notified and noticed and you don't do  
11 that.

12 So if you're having a test area that is active in  
13 some form, then you place that notice out and the shipping  
14 industry -- the ships identify and know that and they  
15 would stay out of it, I would suspect. I don't think they  
16 would do it more than once.

17 I mean, I guess I have a difficult time  
18 understanding that if there's a rule, if there's a notice  
19 that goes out and it's clearly defined that someone would  
20 ignore that and travel into an area that they're -- I  
21 mean, these are professional companies that operate these  
22 ships and the shipping lines. I guess that's the  
23 difficulty I have.

24 Have you had violations of that in the past?

25 MR. FRIEDMAN: We have more problems with

1 pleasure craft and fishing vessels. Again, it's not an  
2 issue with container traffic, because there's no economic  
3 reason for them to venture from the Santa Barbara Channel.

4           We do have an agreement with the tankers from  
5 Alaska that come out several times a week. It was after  
6 the Exxon Valdez there was an agreement worked out where  
7 they can stay further out to protect the coast. But they  
8 work around our schedules for that.

9           BOARD MEMBER HILL: So there is an assumption  
10 that if this rule were to pass today that then those  
11 shippers would decide to save money and violate the  
12 parameters and the demarcation lines of your weapons  
13 testing area.

14           MR. FRIEDMAN: It's not a violation, because it's  
15 international waters. They could choose to ignore a  
16 warning. But we have no legal right to deny access to  
17 that sea range. It's international waters. We can advise  
18 them of our intended activities, but we do not have a  
19 legal ability to stop a ship from crossing that range.  
20 And so there really isn't a violation at that point. It's  
21 an economic decision.

22           And again our concern would be that it wouldn't  
23 necessarily be a single vessel, but it would be  
24 essentially almost a lobbying campaign to say we need to  
25 do this. We need to -- there would be pressure on us to

1 start allowing ships through. And that type of  
2 encroachment would be very damaging.

3 We believe as discussed in the paper that that  
4 would have significant adverse air quality impacts in the  
5 South Coast given the meteorologic conditions as well as  
6 the lack of regulation thos vessels would have.

7 CHAIRPERSON NICHOLS: I think it's important to  
8 note you're not opposing the regulation. But you want to  
9 talk about implementation.

10 MR. FRIEDMAN: Exactly. We want to work with you  
11 to figure out ways to make that regulation neutral to the  
12 decision about which route to take.

13 CHAIRPERSON NICHOLS: Ms. D'Adamo.

14 BOARD MEMBER D'ADAMO: Well, I would just say not  
15 knowing anything about this until today, I agree with the  
16 comments that Supervisor Hill made. It just doesn't make  
17 much sense to avoid a warning.

18 But in the event that things play out as you  
19 think they may, we all have a problem. In other words, we  
20 have shippers that are ignoring our rule and they're  
21 trying to get around it.

22 In that case, you lose, we lose, the public  
23 loses. And as I read the staff recommendation, staff is  
24 going to be continuing to work with you on this. And I  
25 would just ask of staff in the event that this ends up

1 being a real problem, I would imagine you would bring it  
2 back to us.

3 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE:

4 That's exactly right. We would.

5 CHAIRPERSON NICHOLS: Okay. Thank you. I would  
6 just note that it was alluded to earlier. But during my  
7 time at EPA, at the Air Office there, we did work on rules  
8 that might have moved ships around the islands and into  
9 the Navy's area of concern. And I had a visit from the  
10 assistant secretary of the Navy within moments of that  
11 happening. Navy has been extremely vigilant about  
12 protecting the ability to do testing in that area. I know  
13 it's been a long standing concern, and we respect that  
14 need and we want to work with you.

15 MR. FRIEDMAN: Thank you. We look forward to  
16 working with you as well.

17 CHAIRPERSON NICHOLS: Thank you.

18 Our last witness as far as I know is Henry Hogo  
19 from the South Coast.

20 MR. HOGO: Good morning, Chairman Nichols and  
21 members of the Board. I'm Henry Hogo, Assistant Deputy  
22 Executive Officer of the Mobile Source Division in the  
23 South Coast Air Quality Management District.

24 I'm here to urge the Board to adopt the  
25 regulation as proposed by staff today. And first I want



1 to thank staff for all their hard efforts in crafting a  
2 regulation that actually will meet the commitments of our  
3 2007 State Implementation Plan.

4           And the adoption of this regulation will reduce  
5 sulfur emissions from oceangoing vessels from 47 tons per  
6 day down to two tons per day. And as you can see from the  
7 impacts that's shown from the staff report, these  
8 emissions actually impact all the way into the Inland  
9 Empire of our region. So it's a really critical component  
10 of the State Implementation Plan and attainment of our  
11 fine particulate standards by 2014.

12           Our analysis indicate that we need to have this  
13 rule in place and implemented as soon as possible. And to  
14 the extent that cleaner fuels can be used, they should be  
15 used as early as possible. And with the date of 2012 for  
16 the Phase 2 of .1 percent, that's only two short years  
17 from the attainment year of 2014. So any delay or  
18 weakening of this regulation would seriously jeopardize  
19 attainment in the South Coast region.

20           So in conclusion, I want to urge the Board to  
21 adopt the regulations proposed today and will continue to  
22 work with staff and with our ports to bring the cleaner  
23 fuels as early as possible. Thank you.

24           CHAIRPERSON NICHOLS: Thank you, Mr. Hogo.

25           I don't see any hands waving or cards, so I

1 believe that concludes the public testimony. And we can  
2 now move to the Board discussion on this item.

3 I have really only one concern I want to raise.  
4 And otherwise, I would be happy to entertain a motion and  
5 move on with this.

6 But I am concerned about the process by which the  
7 regulation could be suspended if in fact the IMO acts. I  
8 want to put the greatest possible pressure on the IMO and  
9 others to move.

10 And I agree with the previous comments that as  
11 important as this regulation is for us and for health of  
12 the people in California, its benefits worldwide to people  
13 who are exposed around the ports around the world could be  
14 enormous.

15 And I'm concerned that a process by which the  
16 industry or we would notice that something had happened  
17 and then begin to evaluate and then eventually bring  
18 something back to the Board to suspend the regulation  
19 could be a very lengthy process. I have no qualms about  
20 moving ahead to adopt the regulation in order to speed  
21 things up on the front end.

22 But I'm also wondering if there would be any  
23 advantage to having the Board specify now that we would  
24 delegate this decision to the Executive Officer. So it  
25 wouldn't have to go through the full rulemaking process if

1 the finding were made that the equivalent reductions were  
2 going to be there. I think that might add a little more  
3 signal to the industry that we're really serious about not  
4 wanting to be in the business of enforcing the regulation  
5 if it isn't needed.

6 Just looking -- I see some heads nodding. Is  
7 there a reason or a legal or other reason you can think of  
8 why we couldn't do that?

9 BOARD MEMBER KENNARD: I'm very comfortable that  
10 if staff and legal believe that's the case, as opposed to  
11 us not acting in anticipation of IMO acting. So I think  
12 that's a really good compromise.

13 EXECUTIVE OFFICER GOLDSTENE: We don't see any  
14 issues at this point.

15 I don't know if Ellen has any concerns.

16 CHAIRPERSON NICHOLS: That's fine. With that  
17 amendment, which I will ask someone else to draft for  
18 me --

19 BOARD MEMBER D'ADAMO: Move adoption of  
20 Resolution 08-35 with the proposed changes recommended by  
21 the Chair.

22 BOARD MEMBER LOVERIDGE: Second.

23 CHAIRPERSON NICHOLS: It's been seconded.

24 BOARD MEMBER RIORDAN: We have ex partes.

25 CHAIRPERSON NICHOLS: Before we vote, right you

1 are. Thank you.

2 Let's start down with Supervisor Roberts and then  
3 any ex partes communication.

4 BOARD MEMBER ROBERTS: I do. I have a question.

5 You know, based on your comments, the slide 38,  
6 you know, if I understand your comments and the comments  
7 they made, is the gap between those two -- is it  
8 anticipated that there might be a way that would be fully  
9 filled in so that the resulting profile would be the same  
10 as the regulation?

11 CHAIRPERSON NICHOLS: Good question.

12 BOARD MEMBER ROBERTS: I wanted to ask Mr.  
13 Garrett that or the staff and the staff could respond  
14 maybe. If that was the picture he was painting --

15 TECHNICAL ANALYSIS SECTION MANAGER TARICCO:  
16 Sorry. Are you asking us if we think a voluntary --

17 BOARD MEMBER ROBERTS: Let him answer first and  
18 then I'll let you respond to his answer. If my question  
19 is clear.

20 MR. GARRETT: Your question is very clear, sir.  
21 We believe there is a very good potential that gap could  
22 be filled. We think there are models out there like the  
23 port incentive model that could be expanded through  
24 California.

25 We think that the ECA process will go far beyond

1 the 24 nautical miles as currently proposed. And we think  
2 there are other technologies that are coming on line that  
3 could help to fill that gap.

4           Having said that, we don't have the specifics at  
5 this time, and I fully acknowledge that. That's why we're  
6 putting these in as a contingency, saying if we fail to  
7 make these conditions, there's no delay to the regulation.  
8 You would simply go forward and implement it as it is  
9 currently drafted. But if we can find a way to fulfill  
10 these requirements working with the marine technical  
11 working group, then you would hold the implementation of  
12 this regulation in advance.

13           But I personally believe the gap can be filled.

14           BOARD MEMBER ROBERTS: And Madam Chair, your  
15 comments are if this could occur --

16           CHAIRPERSON NICHOLS: Yes. I'm flipping the  
17 burden if you will. I think we need to start the  
18 regulation and get moving on it. But if, in fact, the  
19 industry is able to come back to us as they --

20           BOARD MEMBER ROBERTS: I'm fully in support of  
21 that. Because I think we'd like to have them do what  
22 they're suggesting they do, because I think the  
23 applications would even be more positive. But I guess we  
24 need some certainty in the process. And I think you're  
25 allowing for that --

1           MR. GARRETT:  And we acknowledge that need.  And  
2 that's why we're suggesting the marine technical working  
3 group take the lead on developing these measures.

4           BOARD MEMBER BALMES:  Could we hear the staff  
5 response?

6           BOARD MEMBER ROBERTS:  I was asking for that  
7 next.

8           CHAIRPERSON NICHOLS:  Sure.

9           DEPUTY EXECUTIVE OFFICER SCHEIBLE:  We'd like to  
10 see the gap filled.  One is the measures, and two is their  
11 legal enforceability and three is their accountability for  
12 SIP credit.  We'd have to solve all those problems.

13           And looking at what the IMO has proposed, if they  
14 adopted by 2015, we should be there.  And if we can get  
15 there earlier, we would like to do that.  But there will  
16 be a lot of work in trying to figure out how to do that in  
17 a way that meets all the other criteria.

18           BOARD MEMBER ROBERTS:  It's possible, but they  
19 need to show you; right?

20           DEPUTY EXECUTIVE OFFICER SCHEIBLE:  That's  
21 correct.

22           BOARD MEMBER ROBERTS:  You know, there's no  
23 dispute over the benefits of all of this.  I mean, that's  
24 the interesting -- nobody is questioning the numbers or  
25 the enormity of the benefits that will result from these

1 things. So I think your suggestion is an excellent one.

2 CHAIRPERSON NICHOLS: Do you want to go ahead  
3 with your ex partes?

4 BOARD MEMBER ROBERTS: I had only one  
5 conversation with Mr. Garrett and Chuck Cole on -- they  
6 called on July 21st. And then conversation was in keeping  
7 with the presentation here today.

8 BOARD MEMBER LOVERIDGE: No ex parte. This is  
9 timely, important, and significant. I'm prepared to vote.

10 BOARD MEMBER TELLES: I just have one question.  
11 With the lives saved, the 3600, is that per year or per  
12 time frame of five years?

13 TECHNICAL ANALYSIS SECTION MANAGER TARICCO: That  
14 was over the 2009 through 2014. That was cumulative of  
15 premature deaths.

16 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE: For  
17 5.5 years.

18 BOARD MEMBER TELLES: Okay.

19 CHAIRPERSON NICHOLS: No ex partes?

20 BOARD MEMBER TELLES: No.

21 BOARD MEMBER RIORDAN: I have one, Madam  
22 Chairman. On July 8th, I met in Ontario with Mike Jacob  
23 and T.L. Garrett with the Pacific Merchants Shipping  
24 Association. And our conversation mirrored what Mr.  
25 Garrett presented today in his testimony.

1           And I would say that your amendment is clearly I  
2 think not exactly what they wanted, but it goes to the  
3 point. And I'm very supportive of that. Thank you.

4           CHAIRPERSON NICHOLS: Thank you.

5           And I also met with Mr. Garrett and Mike Jacob  
6 and Chuck Cole. I did that in person on July 14th with  
7 staff present. And it was really that meeting that caused  
8 me to think about this amendment, because they made a very  
9 good case about some potential actions that they might be  
10 able to take.

11           And also, frankly, I think we are very persuasive  
12 about some of the things the industry has been doing to  
13 date on a voluntary basis. So I believe we need the  
14 regulation for all the reasons that others have stated.  
15 But I'd like to try to encourage the kind of cooperation  
16 that we have been seeing.

17           BOARD MEMBER KENNARD: I have no ex partes.

18           BOARD MEMBER HILL: On July 21st in Redwood City  
19 I met with Mike Jacob of Pacific Merchant Shipping  
20 Association. And T.L. Garrett and Chuck Cole joined via  
21 conference call. And the conversation was consistent with  
22 the testimony today.

23           I do appreciate also your amendments to the  
24 regulation. I think it's something that will get us  
25 halfway to solve that problem. Thank you.



1 BOARD MEMBER D'ADAMO: No ex partes.

2 BOARD MEMBER BALMES: None.

3 CHAIRPERSON NICHOLS: In that case, we have a  
4 motion and a second. All in favor please say aye.

5 (Ayes)

6 CHAIRPERSON NICHOLS: Any opposed?

7 Good. Thank you very much.

8 We have another major regulatory action on the  
9 agenda item. But I think it would be good to give  
10 ourselves a ten-minute break.

11 (Thereupon a recess was taken.)

12 CHAIRPERSON NICHOLS: Let's get started with the  
13 staff presentation. Those who aren't at the table are in  
14 the back room where there is audio from this room.

15 So let's begin then with Item 08-7-5, public  
16 hearing to consider proposed amendments to the current  
17 spark-ignition marine engines and boat regulations.

18 Mr. Goldstene.

19 EXECUTIVE OFFICER GOLDSTENE: Thank you, Chairman  
20 Nichols.

21 Today staff is proposing to amend California's  
22 existing spark-ignition marine regulations to provide an  
23 alternative path to compliance for small volume  
24 manufacturers of high performance engines with maximum  
25 power greater than 373 kilowatts, which approximately is

1 about 500 horsepower.

2           The existing regulations require all high  
3 performance engines to comply with the five grams per  
4 kilowatt hour tailpipe standard for combined hydrocarbons  
5 and oxides of nitrogen beginning in 2009. Compliance will  
6 require use of an automotive type catalytic converter.  
7 Unfortunately, these engines routinely operate at near  
8 full power and these conditions have prevented small  
9 volume engine manufacturers from finding a converter that  
10 would be effective and durable.

11           As a result, staff is proposing to relax the  
12 exhaust standard for small volume manufacturers of high  
13 performance engines to 16 grams per kilowatt hour, an  
14 emission level that can be met without a catalyst.

15           To partially offset the higher tailpipe  
16 emissions, small volume engine manufacturers would be  
17 required to incorporate canister-based evaporative control  
18 systems on all boats in which high performance engines are  
19 installed beginning in 2009.

20           Staff proposes that large volume manufacturers of  
21 high performance engines that also produce standard  
22 performance engines continue to be required to comply with  
23 the five grams per kilowatt hour tailpipe standard  
24 beginning in 2009.

25           Although compliance with the five gram standard

1 for higher performance engines remains out of reach, the  
2 larger manufacturers can average the higher emissions of  
3 the performance boats engines by slightly lowering  
4 emissions of some of the standard engines below the five  
5 gram level.

6           Like the small manufacturers, they would also be  
7 required to equip high performance engines with  
8 evaporative controls. These requirements will result in  
9 no lose of emission reductions of hydrocarbons and NOx  
10 compared to the existing regulation.

11           The proposal would also adapt carbon monoxide  
12 standards and not-to-exceed tailpipe requirements  
13 currently being considered for adoption by the  
14 United States Environmental Protection Agency. These  
15 requirements will help protect boaters from carbon  
16 monoxide poisoning and help ensure that engines continue  
17 to run clean throughout their useful lives.

18           In addition, staff is proposing to establish a  
19 voluntary standard with appropriate labeling that is  
20 50 percent more stringent than the cleanest required  
21 standard currently available.

22           I'll now turn the presentation over to Jeff Lowry  
23 of the Off-Road Control Section who will provide you with  
24 the detailed description of the staff's proposal.

25           Mr. Lowry.

1 (Thereupon an overhead presentation was  
2 presented as follows.)

3 STAFF AIR POLLUTION SPECIALIST LOWRY: Thank you,  
4 Mr. Goldstene.

5 Good morning, Madam Chair and members of the  
6 Board.

7 Today's presentation will summarize the staff's  
8 proposal to amend California's existing regulations for  
9 new spark-ignition marine engines and boats. Although my  
10 presentation will concentrate heavily on the requirements  
11 for high performance sterndrive and in-board engines, as  
12 timing is most critical for these applications, there are  
13 components of the proposal that apply to outboard engines  
14 and personal watercraft as well. The rulemaking is  
15 specific to gasoline-fueled vessels, however, and does not  
16 apply to diesel-fueled commercial marine applications.

17 --o0o--

18 STAFF AIR POLLUTION SPECIALIST LOWRY: This slide  
19 illustrates an historical perspective of the various  
20 components of the spark-ignition marine regulations that  
21 have been adopted and modified by the Board over the  
22 years.

23 Most noteworthy regarding staff's proposal is the  
24 2009 commencement date for high performance engines to  
25 begin complying with the catalyst-based standard. Little

1 time remains before these engines go into production for  
2 the 2009 model year.

3 --o0o--

4 STAFF AIR POLLUTION SPECIALIST LOWRY: The  
5 primary objective of staff's proposal is to provide relief  
6 to the small volume manufacturers of high performance  
7 engines in California by relaxing the existing exhaust  
8 standard for combined hydrocarbons and oxides of nitrogen  
9 from five grams per kilowatt hour to 16 grams per kilowatt  
10 hours on most engines.

11 Without relief, the small volume manufacturers  
12 will be unable to comply with the existing catalyst-based  
13 requirements scheduled to begin in 2009, because durable  
14 catalysts for these high performance engines have not been  
15 successfully developed. However, as I'll explain later,  
16 the proposal will include new requirements to ensure that  
17 the relief will not be adversely affected from the  
18 existing regulation.

19 Staff is also proposing to adopt carbon monoxide  
20 standard for outboard engines, personal watercraft,  
21 sterndrive engines, and inboard engines to reduce the risk  
22 of poisoning and death from direct exposure. While these  
23 standards are numerically identical to those proposed by  
24 the United States Environmental Protection Agency for  
25 adoption nationally, the proposed California standards do

1 not allow averaging outboard and personal watercraft  
2 emission levels in order to ensure that no individual boat  
3 poses a risk of carbon monoxide poisoning to its users.  
4 Neither California, nor US EPA currently regulates carbon  
5 monoxide emissions for gasoline-fueled marine engines.

6 Finally, staff is proposing to streamline the  
7 regulations by harmonizing requirements with U.S. EPA's  
8 proposed requirements whenever possible.

9 With this brief introduction, I'll now focus on  
10 the specific elements of the proposal. First up, high  
11 performance engines.

12 --o0o--

13 STAFF AIR POLLUTION SPECIALIST LOWRY: Boats with  
14 sterndrive or inboard engines are primarily used for  
15 recreational activities. And the engines that propel them  
16 are most commonly derived from V-8 or V-6 gasoline truck  
17 engines.

18 High performance engines are defined as  
19 sterndrive or inboard engines with a maximum power rating  
20 greater than 373 kilowatts. Whereas, standard performance  
21 engines are designed to operate for at least ten years,  
22 high performance engines typically require rebuilding or a  
23 major overhaul every one to three years.

24 The boat shown in this slide measures 41 feet in  
25 length and is powered by two 700 horsepower high

1 performance engines.

2 --o0o--

3 STAFF AIR POLLUTION SPECIALIST LOWRY: Staff  
4 estimates that approximately 150 to 250 high performance  
5 engines are sold in California each year and that small  
6 volume manufacturers comprise about 30 percent of the high  
7 performance market. Furthermore, it should be recognized  
8 that approximately 40 percent of these manufacturers are  
9 small California businesses.

10 While relatively few in number, high performance  
11 engines represent a significant source of emissions due to  
12 their large power capacities and high load operating  
13 characteristics.

14 The uncontrolled emissions inventory for these  
15 engines would be 4.22 tons per day of hydrocarbon and NOx  
16 in 2020. The combined hydrocarbon and oxides of nitrogen  
17 emissions from high performance engines are expected to be  
18 reduced by two tons per day in 2020 under the existing  
19 regulation, which would require these engines to comply  
20 with the catalyst-based five gram per kilowatt hour  
21 hydrocarbon plus NOx exhaust standard.

22 While this may seem like a small and  
23 insignificant amount of reduction, staff generally looks  
24 for measures that reduce emissions by as little as one ton  
25 per day to achieve attainment with ambient air quality

1 standards and California's goals for air quality.

2 --o0o--

3 STAFF AIR POLLUTION SPECIALIST LOWRY: As noted,  
4 the use of catalytic converters on these engines was the  
5 expected means of reducing emissions. However, catalytic  
6 converters for high performance engines not have developed  
7 as had been expected in part due to the extremely low  
8 production volumes involved, but also in part due to the  
9 challenges resulting from the extreme operating  
10 characteristics of these engines.

11 By design, high performance engines operate at  
12 wide open or full throttle for extended periods. Catalyst  
13 technology as its exists today has been shown to be  
14 incompatible with this type of sustained operation.  
15 Because catalysts are not available for these engines,  
16 staff is proposing to relax the hydrocarbon plus NOx  
17 exhaust standards for small volume manufacturers from five  
18 grams per kilowatt hour to 16 grams per kilowatt hour on  
19 most engines, a level that would no longer require the use  
20 of catalytic converters.

21 Large volume manufacturers with a preponderance  
22 of standard performance engines for which catalysts are  
23 readily available would still be subject to the existing  
24 five grams per kilowatt hour standard, but could meet it  
25 through averaging higher emitting high performance engines







1 than 200 boats annually makes this a cost effective and  
2 emission neutral means of providing relief to small volume  
3 manufacturers that only produce high performance engines.

4           The carbon canister shown here is an actual  
5 prototype suitable for use in marine applications.

6                               --o0o--

7           STAFF AIR POLLUTION SPECIALIST LOWRY: Shown here  
8 is how staff's proposal would achieve an emissions neutral  
9 solution. By not relaxing the five grams per kilowatt per  
10 hour exhaust standard for large volume manufacturers, the  
11 existing requirement would continue to reduce emissions by  
12 an incremental benefit of 1.42 tons per day.

13           The proposed relaxed exhaust standard for small  
14 volume manufacturers only still provides two-tenths of a  
15 ton per day reduction over uncontrolled levels.

16           Lastly, imposing evaporative controls or both  
17 small and large volume manufacturers high performance  
18 engines balances the remaining ledger by providing another  
19 .41 tons per day for a completely emissions neutral  
20 solution in 2020.

21                               --o0o--

22           STAFF AIR POLLUTION SPECIALIST LOWRY: Staff's  
23 proposal also provides an alternative means for complying  
24 for large volume manufacturers that do not want to  
25 average. In lieu of certifying high performance engines





1 carbon monoxide standard protects boaters from the risks  
2 of direct exposure. Some engines may be certified to  
3 emission levels higher than others which potentially puts  
4 boaters using those engines at greater risk.

5 --o0o--

6 STAFF AIR POLLUTION SPECIALIST LOWRY: The final  
7 element of staff's proposal concerns jet boats. Jet boats  
8 such as the 23 foot model pictured here are medium-sized  
9 vessels typically equipped with one or more personal  
10 watercraft engines which have a combined power ranging  
11 from 220 to 380 horsepower.

12 --o0o--

13 STAFF AIR POLLUTION SPECIALIST LOWRY: Although  
14 the means of propulsion for jet boats is different from  
15 that of more traditional sterndrive propeller-driven  
16 engines, the activities for which both jet boats and  
17 vessels with sterndrive engines are similar.

18 Jet boats typically have transoms like sterndrive  
19 vessels and pose the same risks from carbon monoxide  
20 poisoning.

21 Currently, only two manufacturers are known to  
22 certify jet boats in California. And the numbers of  
23 engines sold are relatively few compared to sterndrive and  
24 inboard sales. Unlike sterndrive engines, however, jet  
25 boats engines are currently certified to the less

1 stringent exhaust standard for personal watercraft such as  
2 for jet skis.

3 U.S. EPA is in the process of finalizing a  
4 rulemaking re-defining sterndrive and inboard engines to  
5 include jet boat engines and to accordingly require jet  
6 boats to comply with more stringent catalyst-based  
7 standards.

8 --o0o--

9 STAFF AIR POLLUTION SPECIALIST LOWRY: Staff  
10 proposes to align with the proposed U.S. EPA definition  
11 for inboard sterndrive engines.

12 Under the revised definition, jet boats would be  
13 treated the same as sterndrive inboard boats in that their  
14 engines would need to comply with the catalyst-based five  
15 gram per kilowatt hour standard for combined hydrocarbons  
16 and oxides of nitrogen, instead of the current 16 gram per  
17 kilowatt hour standard. They would also be subject to the  
18 catalyst based 75 gram per kilowatt hour carbon monoxide  
19 standard.

20 Staff is proposing that the more stringent  
21 exhaust standard for jet boats go into effect with the  
22 2012 models in order to provide time to develop and  
23 certify these engines.

24 Staff is also proposing to allow replacement  
25 engines to meet the personal watercraft standard prior to

1 2012. This lead time is consistent with U.S. EPA's  
2 proposed action and should help provide a smooth  
3 transition for industry.

4 --o0o--

5 STAFF AIR POLLUTION SPECIALIST LOWRY: To  
6 incentivize the introduction of even cleaner engines in  
7 California, staff proposes the issuance of a new five star  
8 emissions rating to engine families that certify engines  
9 to emission levels even cleaner than the most stringent  
10 four star certification standard required by the  
11 regulations.

12 Compliance with the new five star level would  
13 entail meeting the levels shown here throughout the  
14 engine's useful life. These levels represent a reduction  
15 of 50 percent from current standards based on catalytic  
16 converters.

17 --o0o--

18 STAFF AIR POLLUTION SPECIALIST LOWRY: Staff is  
19 also proposing additional modifications to address  
20 comments from stakeholders, to align with U.S. EPA, and to  
21 improve the regulations overall. These remaining  
22 components of the proposal are explained in greater detail  
23 in our staff report.

24 --o0o--

25 STAFF AIR POLLUTION SPECIALIST LOWRY: Recent  
PETERS SHORTHAND REPORTING (916) 362-2345



1 discussions with the marine industry have raised the need  
2 to clarify or modify several of staff's proposed  
3 amendments, so several aspects of today's presentation  
4 differ with the initial 45 day proposal. These proposed  
5 changes were incorporated in the applicable sections of  
6 the presentation, and the regulatory text is available  
7 outside.

8           If the Board approves staff's proposal, a  
9 detailed description of all changes and the rationale  
10 inspiring them will be made available for a 15-day comment  
11 period.

12                               --o0o--

13           STAFF AIR POLLUTION SPECIALIST LOWRY: In  
14 summary, the lack of the effective catalyst for high  
15 performance marine engines necessitates a relaxation of  
16 the five gram tailpipe standard for small volume  
17 manufacturers of high performance engines scheduled to go  
18 into effect in January.

19           To recoup the lost emission benefits, large  
20 volume manufacturers would still be required to comply  
21 with the existing tailpipe standard, most likely by  
22 averaging higher emissions of high performance engines  
23 with standard engines that emit at lower levels.

24           In addition, both large and small volume  
25 manufacturers will be required to equip their high

1 performance boats with evaporative controls. These new  
2 requirements will provide the two tons per day emission  
3 reduction that would otherwise be lost from relaxing the  
4 tailpipe standard for high performance engines.

5 Staff's proposal also reduces the risk of carbon  
6 monoxide poisoning by limiting the amount of carbon  
7 monoxide that can be emitted from outboard engines,  
8 personal watercraft, sterndrive, and inboard engines.

9 This concludes staff's presentation. Staff is  
10 ready to answer any questions the Board might have.

11 CHAIRPERSON NICHOLS: This is a complicated  
12 series of changes you're proposing to make here.

13 Are there questions you before we hear from the  
14 public? If not, let's hear from the public testimony.

15 EXECUTIVE OFFICER GOLDSTENE: Madam Chair, I  
16 think the Ombudsman has a quick report.

17 CHAIRPERSON NICHOLS: I'm sorry. I keep  
18 forgetting because we haven't always done this.

19 OMBUDSMAN QUETIN: Chairman Nichols and members  
20 of the Board, this proposed regulation has been developed  
21 for input from National Marine Manufacturers Association,  
22 the Manufactures of Emission Control Association, Southern  
23 California Marine Association, Delphi Powertrain systems,  
24 Attwood Marine, the California Department of Boating and  
25 Waterways, and U.S. EPA.

1           Staff began their efforts to develop this rule on  
2 November 15th, 2005. Between January 16th, 2007, and  
3 April 22nd, 2008, they met individually and collectively  
4 with representatives from the majority of the  
5 spark-ignition marine engine manufacturers in California.

6           On March 14th, 2007, December 17th and 18, 2007,  
7 and again on July 9th, 2008, staff met with the Marine  
8 Manufacturers Association and again several individual  
9 marine engine and boat manufacturers.

10           Staff also held a public/video workshop on March  
11 18th, 2008, and a certification outreach meeting on April  
12 22nd, 2008.

13           The staff report was released along with the  
14 proposed regulatory amendments on June 6th, 2008. The  
15 public notice was physically mailed to stakeholders which  
16 occurred on May 28th, 2008. The staff report was made  
17 available as a web document only, and the required number  
18 of hard copies were made available to both El Monte and  
19 Sacramento offices. It was also sent to the 2,900 people  
20 on the mobile source and recreational marine list serves.  
21 Thank you.

22           CHAIRPERSON NICHOLS: Thank you.

23           I see from the list we don't have any witnesses  
24 from the environmental community. Did they participate in  
25 the rulemaking at all? I didn't hear you say it.

1            OMBUDSMAN QUETIN: Staff would have to respond to  
2 that. This is the information I received from them.

3            CHAIRPERSON NICHOLS: I see.

4            EMISSION RESEARCH AND REGULATORY DEVELOPMENT

5 BRANCH CHIEF CARTER: Madam Chair, no, there was no direct  
6 correspondence --

7            CHAIRPERSON NICHOLS: I assumes that means they  
8 are satisfied. But interesting. Okay.

9            Then we'll go to our public testimony. Beginning  
10 with Patrick Moran followed by Rasto Brezny.

11           MR. MORAN: Thank you, Madam Chair and members.  
12 My name is Patrick Moran with Aaron Read and Associates  
13 representing Southern California Marine Association.  
14 We're the largest regional marine trade association in the  
15 country with over 600 member companies.

16           First, we've submitted a written statement for  
17 your reflection, so I'll try to summarize and be brief.  
18 First, SCMA wanted to thank the staff for all the hard  
19 work they put in on this issue and trying to resolve the  
20 differences and concerns we had with the proposed  
21 regulations.

22           SCMA has been actively involved in the process of  
23 helping to create new standards of exhaust emissions for  
24 recreational marine engines. And to summarize our  
25 concerns, the consistent standard for all concept that was

1 discussed at the March 18th, 2008, meeting in El Monte now  
2 appears to have been abandoned for a more complicated  
3 multi-level approach segregating companies into different  
4 categories based on the number of engines produced and the  
5 horsepower mix of their product lines.

6           That's not the direction or the impression we had  
7 that we'd be going in, but that's where we are today. And  
8 those are our concerns with the proposed regulations. And  
9 we would just ask the Board members carefully consider and  
10 evaluate the impact of the new emissions standards and  
11 what they might have on the already very fragile economy  
12 in California. Thank you for your time.

13           CHAIRPERSON NICHOLS: Thank you. Appreciate your  
14 involvement in this.

15           Rasto Brezny and John McKnight.

16           MR. BREZNY: Thank you, Chairman Nichols and  
17 members of the Board. Thank you for giving me this  
18 opportunity to speak today in support of this proposal.

19           My name is Dr. Rasto Brezny. I'm the Deputy  
20 Director for the Manufacturers of Emission Controls  
21 Association. We're the nonprofit association made up of  
22 the world's leading manufactures of emission control  
23 technologies for motor vehicles. Our members have over 35  
24 years of experience in developing and manufacturing  
25 emission control technology, both evaporative and catalyst

1 control technologies, for on-road and off-road vehicles of  
2 all shapes and sizes, including supplying three-way  
3 catalysts for some of the spark-ignited marine engines  
4 that are sold in California.

5           We agree with staff's assessment that the high  
6 performance category of engines poses specific challenges  
7 for the application of catalysts for emission control,  
8 primarily because of the way these engines are operated  
9 today.

10           We also agree with the approach of using  
11 evaporative controls as a means to make up some of the  
12 lose in exhaust controls.

13           Evaporative controls have been used on  
14 automobiles for over 30 years and they've been applied to  
15 a wide variety of on-road and off-road spark-ignite  
16 vehicles as well as.

17           I guess we've submitted written testimony, so I'd  
18 like to focus my oral comments on some additional measures  
19 that could be taken looking beyond today's proposed  
20 amendments. We believe that a number of important  
21 opportunities still remain in order to apply proven  
22 automotive emission control technologies to marine engines  
23 in order to achieve further reductions in the future.

24           The Passive purge evaporative control  
25 technologies that would be used on these vessels as

1 outlined in the proposal are a good first step to capture  
2 on the order of 50 to 60 percent of evaporative emissions  
3 that are coming from these types of engines. However, we  
4 would suggest that in the future, future amendments look  
5 at the possibility of applying active purge control  
6 technologies that are on the order of 90 percent effective  
7 in capturing evaporative emissions and have been  
8 successfully used on automobiles for over 25 years.

9           Furthermore, we encourage staff to continue to  
10 explore the possibility of applying evaporative as well as  
11 exhaust controls to the outboard and personal watercraft  
12 engines as well. These technologies have been  
13 successfully applied on both two stroke and four stroke  
14 engines in both on-road and off-road applications.

15           And finally, wish to thank ARB staff for its hard  
16 work in putting forth this proposal. And our industry is  
17 committed to work with all stakeholders in order to ensure  
18 that the technologies are available to achieve the  
19 emissions that are outlined in the proposal. Thank you

20           CHAIRPERSON NICHOLS: Thank you very much.

21           John McKnight and then Paul Ray.

22           MR. MC KNIGHT: Thank you. And that clock is  
23 right, good afternoon. My name is John McKnight, Director  
24 of Environmental Safety Compliance for National Marine  
25 Manufacturers Association.

1           First, to begin with, I really would like to  
2 thank the CARB staff for working with marine engine  
3 manufacturers to identify the amendments that are really  
4 necessary to improve the existing California rule and  
5 bring it into align with many of the changes that have  
6 happened and will be happening on a federal level.

7           NMA urges the Board to consider and approve the  
8 staff recommended amendments to the spark-ignition marine  
9 engine and boat regulations with the following exception  
10 or revisions I'd like to talk about.

11           But before I start talking about that, the Board  
12 is going to hear the testimony of Mark Riechers from  
13 Mercury Marine, Sean Whelan from Attwood Corporation, from  
14 Dan Ostrosky from Yamaha, and Paul Ray from Ilmor. We've  
15 all burnt a lot of jet fuel to get over here today. We  
16 appreciate the opportunity and appeal to the Board to  
17 consider these amendments which us and the staff have  
18 worked really hard on.

19           The staff has recommended that the Board approve  
20 a limit for carbon monoxide emissions from outboard and  
21 personal watercraft engine, rather than allow averaging  
22 these emissions as the EPA plans to finalize. I want to  
23 talk a little bit about that. Because we do support the  
24 plan to reduce CO emissions. There's no doubt about that  
25 it. When it comes to sterndrive inboards where we have



1 seen accidents and fatalities, we certainly approve that.  
2 When it comes to outboards and personal watercraft, we  
3 definitely support the 2010 implementation date. But we  
4 think for these engines, we need to see it harmonizes with  
5 the EPA plan which allows for the averaging of CO  
6 emissions.

7           And I'll tell you the reason why. And it is that  
8 the California -- only reason they need to regulate CO  
9 emissions is because they need to protect human health and  
10 safety. And there's been enormous amount of study in this  
11 area on the effects of CO poisoning from boats and NIOSH  
12 and the EPA and the US Coast Guard and industry have all  
13 worked together to review the accident fatality data from  
14 CO poisoning and recreational boats. And NIOSH has  
15 conducted numerous studies looking at emissions that come  
16 from different vessels and the way to resolve it with our  
17 existing fleet and with new marine engines.

18           Pretty much what we see is that the Coast Guard  
19 statistics when you look at them for fatalities and  
20 accidents, they do not support the need to have a limit  
21 for CO when it comes to outboards and PWCs. What the EPA  
22 is allowing is a numerical value with an average.

23           And when we talked to staff, what you're going to  
24 hear is we want to err on the side of safety. But from  
25 our perspective, we'd like to harmonize with the EPA

1 standard. There's been an enormous amount of study on  
2 this. And for us to have to meet a California-only  
3 regulation that we don't see has any real health and  
4 safety benefit to it is just going to incur an economic  
5 cost and economic burden on the citizens of California.

6 Be real quick with the second issue. And this is  
7 one we fully support. This has to do with the request  
8 that the Executive Officer have the discretion to make  
9 technical changes to the regulation. It just says this in  
10 my testimony. With the latest EPA rule, there will be  
11 virtually no difference between the ARB marine regulations  
12 and the EPA marine regulations. The EPA regulation has  
13 not been finalized yet. We're hoping it would be  
14 finalized by now. It looks like it might go into August.  
15 When that does get finalized, there may be some minor  
16 changes that need to be made to harmonize. All that will  
17 do is really allow to rule to be a lot less burdensome to  
18 the manufacturers.

19 So again NMA appreciates the opportunity to  
20 testify on this and appreciate the work that staff has  
21 done. And thank you.

22 CHAIRPERSON NICHOLS: I'm tempted to average your  
23 time with Mr. Ray, but I'm not going to do that.

24 MR. RAY: Good morning. My name is Paul Ray.  
25 And I promise I'll be brief to make up for John.

1 I'm the President of Ilmor Engineering and also  
2 the general manager of Ilmor Marine Engines. And Ilmor  
3 Engineering is fairly new to the marine business. We've  
4 been a leader in auto racing engine manufacturing over the  
5 years, the past 25 years, but only in the marine industry  
6 since 2002. Our product line consists purely of high  
7 performance engines.

8 Our reason for testifying today is to be fully in  
9 support of ARB staff's recommendations. Essentially the  
10 recommendations would allow a small businesses like ours,  
11 particularly one like ours that's brand-new to this  
12 market, to grow with some flexibility.

13 The challenge for us is actually growing to a  
14 reasonable size before we are burdened with severe  
15 emissions restrictions which are incredibly expensive to  
16 implement.

17 We didn't exist back -- as a marine company, we  
18 didn't exist back when the rules were first written in  
19 2001. And although we're late comers to this program,  
20 we've been fast learners and have spent a great deal of  
21 time with staff to understand and work the rules into our  
22 systems so we can implement them efficiently. And we are  
23 an engineering company at heart and we're fully committed  
24 to providing durable emissions efficient engines into the  
25 California market or in fact nationwide.

1           Since entering this rulemaking process, we've  
2 attended many meetings with staff, and we've had a lot of  
3 opportunity -- myself personally, a lot of opportunity to  
4 discuss the regulatory rules and regulations that work for  
5 small business. And their willingness to work with us to  
6 allow our business to grow while still meeting our burden  
7 of responsibility when it comes to emissions we think has  
8 been very good.

9           Again I just want to thank everyone, particularly  
10 the staff here, for allowing us to work so closely with  
11 them and appreciate the time.

12           CHAIRPERSON NICHOLS: Thank you.

13           All right. Sean Whelan and then Mark Riechers.

14           MR. WHELAN: Good afternoon, Chairman Nichols and  
15 Air Resources Board and staff. My name is Sean Whelan.  
16 I'm representing Attwood Marine.

17           We are fully in support of the staff's proposal  
18 here and would like to say Attwood is a major marine parts  
19 and accessory supplier to the industry and have been for  
20 over 100 years.

21           Attwood and our manufacturing partner have  
22 developed, tested, and validated carbon canisters for the  
23 marine industry. We're fully committed to being ready for  
24 this low volume early introduction of canisters, including  
25 working with the builders through any technical

1 installation issues.

2           We look at this as an opportunity to further  
3 develop the guidelines and procedures such that the final  
4 roll out of the U.S. EPA carbon canister systems can be  
5 accomplished with greater reliability and emissions  
6 control performance.

7           Thank you for your time and opportunity to  
8 present our comments.

9           CHAIRPERSON NICHOLS: Thank you for your time and  
10 appreciate your support.

11           Mark Riechers and then Dan Ostrosky.

12           MR. RIECHERS: Hello. My name is Mark Riechers.  
13 I'm the Regulatory Development Manager for Mercury Marine.  
14 And I've been working with staff here for the last couple  
15 of years on these changes. And while you have a written  
16 copy of my comments, I'm going to skip a big part of this  
17 because it's already been explained and I don't we need to  
18 go over it again.

19           The one place that we got somewhat surprised on  
20 this was when the proposed rule changes came out, we were  
21 expecting to see a rule that applied the same to all the  
22 high performance engine manufacturers. And in fact,  
23 suddenly there was this completely different large volume  
24 dual category manufacturer of which there is one, us. And  
25 we are being required to meet a much more stringent

1 standard.

2           And in fact, what it really comes down to is that  
3 we are being asked to make up the lost emissions benefits  
4 for our competitors. And we find that to be just  
5 basically unfair.

6           However, we also do understand staff's  
7 requirements that they needed to make this whole change  
8 emissions neutral. And we've had subsequent meetings and  
9 discussions with staff, and they have put into the 15-day  
10 notice some additional offsets that we can use to reduce  
11 the effect of us having to average in.

12           And while I still fundamentally disagree with  
13 being treated different than everyone else, it's something  
14 we can work with. And therefore, as long as the Board  
15 approves both the original plan changes and the items in  
16 the 15-day notice, we will support the rule change.

17           As I said, I don't like it. But in the interest  
18 of preserving this segment of the market -- it's a very  
19 small segment. It's less than 200 engines a year in  
20 California. And we've run the numbers. We can make it  
21 work.

22           One thing that I would like to say is that this  
23 rule has -- the emission reductions that you are getting  
24 right now are considerably greater than this rule actually  
25 creates. And the reason for that is that boat sales in

1 California at the retail level are down 40 percent.  
2 Builders and dealers are struggling to stay in business.  
3 And in fact, the largest west coast dealership chain,  
4 which is Olympic Boat Centers, with 19 locations filed  
5 Chapter 11 bankruptcy last week. Sea Ray and Brunswick  
6 boat companies have laid off 1700 employees. Brunswick is  
7 in the process of going from 29 boat plants to 16 boat  
8 plants. So it's a really tough time for us, and we  
9 appreciate getting through this issue. And we look for  
10 you to support the changes in the rule plus what's in the  
11 15-day notice.

12 CHAIRPERSON NICHOLS: Thanks, Mr. Riechers.

13 I think you know, but I'll say it anyway. We  
14 never like to reduce emissions by reducing the economy.  
15 We are hopeful that these rules will work with an up  
16 economy and you'll sell lots of boats.

17 I've also been reading about people not using  
18 boats that they already own because of the high price of  
19 fuel at the moment. So it is a tough time and hope we can  
20 all get through it.

21 Mr. Ostrosky followed by Tim Carmichael.

22 MR. OSTROSKY: I know you haven't heard this, but  
23 good afternoon, Madam Chairman and Board and staff. Thank  
24 you for giving me the opportunity to speak today.

25 First off, I have -- maybe it's a little out of

1 step. But in reading some of the amendments, we found  
2 possibly an oversight or an error. And I don't know how  
3 to proceed it until it's clarified.

4           On the table for CO start date, it has one start  
5 date and in the text it has another date. And we prefer  
6 to have obviously the date that's in the table. If we say  
7 we approve this or except it, what gets print or changed?

8           STAFF AIR POLLUTION SPECIALIST LOWRY: The date  
9 we're proposing is 2010.

10           MR. OSTROSKY: So there's two different dates.  
11 So it's probably just a typo. So I can go over with you  
12 and show you where it's at later.

13           Anyways, I work for Yamaha Motor Corporation. I  
14 work in Government Relations Division and Certification  
15 Department and also represent about 68 dealers and 2,000  
16 employees at those dealerships that will be effected by  
17 the reclassification of jet boats as SDI in these  
18 amendments.

19           Going forward with that, Yamaha accepts and  
20 approves the amendments and hope the Board does the same.

21           But on a more personal note, this is my first go  
22 round doing this. And I want to thank the El Monte staff  
23 for my incessant phone calls and putting up with me. I  
24 greatly appreciate it. They were very professional and  
25 did return phone calls. I greatly appreciate it.



1           And we hope the Board accepts and approves the  
2 amendments presented here today. Thank you.

3           CHAIRPERSON NICHOLS: Thank you.

4           Tim Carmichael.

5           MR. CARMICHAEL: Tim Carmichael, Coalition for  
6 Clean Air.

7           First to the Chairman's comment about the lack of  
8 environmental participation, it's not a lack of interest.

9 There's a lot of other things going on in the air world.

10           I want to touch on a couple things. We support  
11 the evap portion. We support the CO portion. They make a  
12 lot of sense.

13           The one thing that caught my eye in the staff  
14 presentation and struck me as unusual -- and maybe I  
15 misunderstood or it wasn't fully explained -- is the Air  
16 Board and several other examples I can think of has  
17 delayed implementation and relax the implementation of the  
18 standard on the front end. And that is understandable for  
19 all the reasons that have been sited today.

20           But in the table they showed about the longer  
21 term implementation, it says 2011 and beyond. And that is  
22 unusual I think for it appears to be no sunset to this  
23 relaxed version of the regulation. I grant that we're  
24 talking about a relatively small number of engines and  
25 we're talking about small or medium size businesses. But

1 I would encourage, you know, at a minimum there be some  
2 technical review not too far after 2010 to review whether  
3 that open ended relaxation is really warranted.

4           This also gives me an opportunity to raise the  
5 bigger picture for pleasure craft. A number of  
6 environmental clean air applicants met with your staff in  
7 June and flagged this issue among a short list of sources  
8 that are really surprisingly big contributors to pollution  
9 in the state of California and expected to still be big  
10 sources in 2020.

11           And if we are looking at strategies to eliminate  
12 the black box and the SIP and close the gap between where  
13 we are and clean air, this is a category that we need  
14 to -- let me clarify. The broader category, pleasure  
15 craft, is the category that we need to keep working on.  
16 And we raised with staff, and the conversation is going to  
17 continue, about the potential need for use limitations and  
18 restrictions depending on the emissions coming from some  
19 of the older craft and where we are with pollution levels  
20 in the future.

21           That's it. Thank you very much for your  
22 attention.

23           CHAIRPERSON NICHOLS: Thank you. I wasn't really  
24 being critical. I thought it was just interesting that I  
25 think the staff worked really hard to do something that

1 ends up making a rule more flexible than it was to begin  
2 with, and yet at the same time getting more emissions  
3 reductions out of it. I think it was a heroic effort, and  
4 I really appreciate the cooperation of the industry in  
5 getting us to that result.

6 Are there any questions that Board members have  
7 about this item?

8 If not, could I have a motion? Do we have any ex  
9 partes?

10 Do you have any closing comments, Mr. Goldstene?

11 EXECUTIVE OFFICER GOLDSTENE: No. Hope the Board  
12 approves the rule.

13 CHAIRPERSON NICHOLS: Okay.

14 BOARD MEMBER LOVERIDGE: So moved.

15 BOARD MEMBER RIORDAN: I'll second the motion.

16 All

17 CHAIRPERSON NICHOLS: All in favor please say

18 Aye.

19 (Ayes)

20 CHAIRPERSON NICHOLS: Thank you. We will adjourn  
21 for our lunch break and we'll try to return at 1:45 is  
22 realistic. Thanks.

23 (Thereupon a recess was taken.)

24 BOARD MEMBER RIORDAN: The Chair has asked us to  
25 start. We have the next item which is the update on the

1 Board AB 32 implementation, the Western Climate  
2 Initiative.

3 And Mr. Goldstene, I'm going to turn it over to  
4 you and staff.

5 EXECUTIVE OFFICER GOLDSTENE: Thank you, Board  
6 Member Riordan.

7 Assembly Bill 32 requires California to review  
8 existing and proposed international greenhouse gas  
9 reporting program and to make reasonable efforts to  
10 promote consistency.

11 AB 32 also requires ARB to consider all relevant  
12 information pertaining to emission reduction programs in  
13 other nations, including the European Union. As such, we  
14 will provide you with periodic updates concerning  
15 developments on the international front.

16 Iain Morrow will begin with an overview of the  
17 European Union's cap and trade program. Iain is on loan  
18 to ARB for five months as part of an exchange program  
19 between California and the United Kingdom. He is a civil  
20 servant with the Department for Business Enterprise and  
21 Regulatory Reform and was lead on the European Union's cap  
22 and trade program within his department.

23 Iain was also project manager for the  
24 implementation of the UK's 2003 Energy White Paper which  
25 set out the UK's commitment to a 60 percent reduction in

1 emissions by 2050. Prior to that, he managed the Office  
2 of the UK Government's Chief Science Advisor.

3 Iain will be followed by Margret Kim, a Senior  
4 Advisor for International Climate Change in the Chair's  
5 Office. She'd provide an overview and update on ICAP,  
6 International Carbon Action Partnership. The partnership  
7 is made up of the national and subnational governments  
8 that are actively pursuing the development of mandatory  
9 cap and trade programs. She is lead staff in California  
10 in assisting the Governor's office in chairing the  
11 Steering Committee.

12 With that, I'll turn it over to Mr. Morrow.

13 (Thereupon an overhead presentation was  
14 presented as follows.)

15 MR. MORROW: Thank you, Mr. Goldstene. Good  
16 morning, members of the Board.

17 First, I'd like to thank you and the two guys in  
18 the picture for the opportunity to be here in California.

19 And I'd like to carry on by talking to the  
20 European Union's experience with cap and trade for  
21 reducing greenhouse gas emissions. I hope you find this  
22 talk useful, and I'd be happy to answer questions after  
23 Margret's talk.

24 --o0o--

25 MR. MORROW: First a little bit of scale and

1 context. The European Union, which is the countries in  
2 blue and green on this map, is a collection of 27  
3 sovereign countries with a population of a little under  
4 half a billion people. And total greenhouse gas emissions  
5 are approximately five billion tons. And the union -- I  
6 think the main message from this slide is that the Union  
7 is very buried. There are 27 countries, 20 official  
8 languages, three alphabets, 12,000 emitters, and many  
9 different stages of economic development. For example,  
10 the republic of Ireland in the top left has a GDP per head  
11 about the same as the US, whereas Romania and Bulgaria  
12 have a GDP somewhere below Mexico.

13 --oOo--

14 MR. MORROW: So why did Europe choose cap and  
15 trade as part of the solution to the problem of greenhouse  
16 gas emissions? Well, Europe as a result of the Kioto  
17 treaty has a goal of 2008 to '12 to reduce emissions from  
18 eight to 12 percent from 1990 levels.

19 Europe wanted to achieve that target and wanted  
20 to achieve it as cost effectively, cheaply, as possible.  
21 Wanted to drive innovation. And it wanted to access all  
22 the available options for reducing emissions. This is a  
23 difficult problem. CO2 is emitted across the entire  
24 economy. How could Europe be sure it was going to  
25 accessing all the available options? Industry wasn't

1 telling, perhaps because it didn't want to, and perhaps it  
2 never really looked, so it wasn't aware of all the  
3 available options.

4 Europe decided the best way to do this would be  
5 to make the polluter pay, to make emitters in Europe pay  
6 for each ton of greenhouse gas is emitted.

7 In the late 90s, Europe tried to agree on a  
8 Europe wide tax for this, and it failed. The reason that  
9 it failed were political. Nation states guard their tax  
10 raising powers very carefully, and countries were  
11 unwilling to surrender those powers to a super national  
12 body. And this is not a collection of states which are  
13 covered by a federal government. This is a group of  
14 states who are themselves sovereign.

15 --o0o--

16 MR. MORROW: So Europe settled on cap and trade.  
17 And this was chosen because it puts a price on emissions  
18 and it has the added benefit that it guarantees a specific  
19 level of emission reductions.

20 This was very attractive to environmental groups  
21 and was also sellable to industry who preferred it to a  
22 tax in the cap and trade. And this was also -- I should  
23 say, this was agreed in 2001-02 when the political  
24 climate, the climate for climate politics, if you like,  
25 was very different. And so there was quite a need to take

1 the dispute into account.

2           And it is I would say not an alternative to  
3 regulation. Europe is always very clear it was a type of  
4 regulation, which still regulates emitters and requires  
5 them to have a license to produce carbon dioxide and have  
6 a permit for each ton they produce.

7                               --o0o--

8           MR. MORROW: A little more context and comparing  
9 Europe to California. This graph shows where the  
10 emissions come from: California in blue, Europe in red by  
11 sector. And to make those figures comparable, they're  
12 shown per person, per year.

13           What's clear is that in most areas, the emissions  
14 are roughly comparable. But in transport, European  
15 emissions are much lower. Now that may give you some idea  
16 of why Europe made specific decisions, which I'll come  
17 onto in the next slide.

18                               --o0o--

19           MR. MORROW: The European emission trading system  
20 covers about 40 percent of Europe's total greenhouse gas  
21 emissions. It covers the electricity sector and heavy  
22 industry.

23           What it does not cover is non-CO2 gases and  
24 methane and so on. And it does not cover the  
25 transportation and heating fuel sectors either, although



1 it will shortly cover international aviation.

2 --o0o--

3 MR. MORROW: So what about those other 60  
4 percent? Europe put forward in January a suite of  
5 proposals of which cap and trade was one. And those  
6 proposals included a renewable portfolio standard,  
7 measures to increase energy efficiency, and a proposal on  
8 carbon capture and storage.

9 Europe already has car efficiency standards in  
10 place and is proposing new tougher ones to start in 2012.

11 It has measures in place on other emissions such  
12 as high global warming potential gases.

13 So what's clear here is that Europe is seeing cap  
14 and trade as one of the suite of measures which it's using  
15 to tackle the problem and certainly not the only tool.

16 --o0o--

17 MR. MORROW: Now, having given you a bit of  
18 context, let's get into the details of the program.

19 Europe decided that because this was such a large  
20 program that it would do a pilot phase, soft launch if  
21 you'd like. And that pilot phase, while it included all  
22 sectors and countries, was designed to start slowly. They  
23 were relatively soft targets. There were lower penalties  
24 for failure to comply with the program. It did give  
25 Europe time to put the systems in place. This phase ran



1 MR. MORROW: So here's where it gets real.

2 Here's where Europe has to achieve its Kyoto targets.

3 What happened was those targets, the targets for  
4 each country, the cap for each country, was set last year.  
5 And those targets are now in place. Those are set much  
6 more strictly, because we had better data. They were set  
7 in relation to an overall national targets, rather than  
8 being set on a path to those targets which has always been  
9 arguable. And the previous projections of high economic  
10 growth and high emissions grown is strongly questioned.

11 And what this did, as I'll show in the next  
12 slide, is it made a difference.

13 --o0o--

14 MR. MORROW: Three lines in this graph which I'd  
15 like to explain separately. This graph shows how much  
16 European emitters are paying per metric ton of carbon  
17 dioxide to date.

18 The blue line shows the price for the pilot  
19 phase. And as you can see, that falls to zero and stops.  
20 The pilot phase is over. All the permits for that phase  
21 are now void and worthless. And there's no carry over  
22 into the second period.

23 The pink line is second phase, the 2008 to '12  
24 phase. And what that shows is that European emitters are  
25 today paying about \$40, 25 euros, per ton for each ton of





1 There's been some tightening up of the additionality and  
2 the review of projects process. And I think the  
3 expectation is that there will be significant changes at  
4 the end of next year in Copenhagen.

5 --o0o--

6 MR. MORROW: This is a lead in for Margret's  
7 talk. This map here, which you'll notice is a quite  
8 distorted projection, shows which countries are  
9 considering cap and trade around the world. Those  
10 countries are shown with their areas proportional to their  
11 2000 greenhouse gas emissions.

12 So, for example, Africa is very small. Japan is  
13 much larger than a standard projection. And if you add up  
14 the countries in black, the emissions, you find it's about  
15 50 percent of the globe.

16 Margret with talk more about bodies like the  
17 International Carbon Action partnership which is designed  
18 to help this cap and trade process along.

19 --o0o--

20 MR. MORROW: So in summary, cap and trade  
21 certainly from a European perspective is very much  
22 designed to sit along side other forms of regulation. It  
23 is not an alternative or substitute for them.

24 Secondly, European polluters are now paying \$40 a  
25 ton to emit, which is delivering real reductions.

1           Thirdly, windfall profits are not inevitable.  
2 There is no fundamental reason in the cap and trade  
3 program windfall profits have to be made.

4           And fourthly, good emissions data is very  
5 important. Make sure you know what the base line is  
6 before setting targets.

7           Thank you very much, members of the Board. And I  
8 hope that was useful.

9           CHAIRPERSON NICHOLS: Okay. Thank you.

10          Questions? Yes.

11          BOARD MEMBER SPERLING: We had a little  
12 presentation on this at lunchtime also. And you know, the  
13 question that keeps occurring to me about ETS is that it's  
14 a success in terms of functioning as a market. But is  
15 there any judgment about its effective -- and there is a  
16 cap, of course, and so there has to be a reduction. But  
17 is it effective at all in terms of changing behavior or  
18 inspiring innovation? Especially, I know there's some  
19 fuel switching going on in an operational sense. But what  
20 about some real -- having a real effect in terms of the  
21 kind of investments that are made and CCS and things like  
22 that?

23          MR. MORROW: Well, CCS is --

24          BOARD MEMBER SPERLING: That's just an example.

25          EXECUTIVE OFFICER GOLDSTENE: You should explain

1 what CCS is.

2 MR. MORROW: Carbon capture and storage. This is  
3 essentially taking carbon dioxide from power stations or  
4 industry and storing it under the sea into oil wells.

5 Has it changed behavior? Well, I think this goes  
6 to one of the changes that Europe made in the program,  
7 which is setting targets further ahead. And Europe set  
8 targets out to 2012 because that's where it had a mandate  
9 to set targets to as part of the Kyoto protocol. It  
10 couldn't set targets beyond that because there was no  
11 guarantee there would be international action beyond that  
12 date.

13 And what industry has repeatedly said to us is we  
14 won't change our behavior. We can't make long-term  
15 investments based on five-year targets. We can't change  
16 our investment fundamental. What Europe is now doing is  
17 setting targets into the indefinite future. They're not  
18 due to review until 2050. And when you talk to people in  
19 industry, they say, yes, we are looking to change our  
20 behavior. In the short term, it will be fuel switching.  
21 But in the long term, they will have to change.

22 CCS, I think the feeling is that it's too  
23 expensive at the moment. Even the most optimistic figures  
24 suggest it's well north of \$50 a ton, which wouldn't be  
25 incentivized at the current price.



1           But Europe is funding some demonstration  
2 projects -- at least one demonstration project, and we are  
3 hopeful that in the long term the carbon price will  
4 provide a significant incentive for CCS.

5           And I think Europe's difficulty with those long  
6 term targets was how far it could go without international  
7 action.

8           CHAIRPERSON NICHOLS: Mr. Loveridge.

9           BOARD MEMBER LOVERIDGE: Just a personal  
10 question. What's your title and who do you report to?

11          MR. MORROW: Within the ARB or --

12          BOARD MEMBER LOVERIDGE: Yes. Within your role  
13 in this whole effort.

14          MR. MORROW: My role in the when I was in London  
15 was senior policy advisor on the EU emission trading  
16 system.

17          CHAIRPERSON NICHOLS: It covers a lot of things.

18          MR. MORROW: Yes.

19          Here, I'm in the Research Division within the Air  
20 Resources Board as part of the economic study section.  
21 And I report to Fereidun Feizollahi, although I've been  
22 working with other parts of the ARB, including the Office  
23 of Climate Change?

24          BOARD MEMBER LOVERIDGE: So you're a resident  
25 scholar?

1 MR. MORROW: I wouldn't go that far.

2 CHAIRPERSON NICHOLS: We're very lucky to have  
3 you. Yes, Dee Dee.

4 BOARD MEMBER D'ADAMO: I'm a little confused  
5 about what caused the price for the purchase of emissions  
6 to go up. And trying to figure out if it has something to  
7 do with this new phase, but the new phase just kicked in  
8 in 2008 and it looks like the price went up prior to that.

9 MR. MORROW: There's a lot of things driving the  
10 price. The main thing driving -- if you're referring to  
11 the pink line here. So you're talking about where the  
12 pink line goes up towards the right-hand side.

13 That probably reflects -- partly reflects the  
14 increasing cost of natural gas probably, because the price  
15 of carbon -- carbon is treated like any other commodity in  
16 European markets these days. And it's strongly linked to  
17 the price of gas and to German electricity prices.  
18 They've gone up and the carbon has too.

19 It probably also reflects an increasing certainty  
20 in Europe that there will be hard targets for the future.  
21 And the tougher the market believes the targets will be in  
22 the future, the higher the price is today, all things  
23 being equal.

24 BOARD MEMBER D'ADAMO: And then on the CDM, I  
25 guess we call these offsets, are they being used right

1 now? And if so, what percentage of reductions are  
2 attributed to CDMs as opposed to actual emission  
3 reductions?

4 MR. MORROW: Well, CDMs are actual emission  
5 reductions.

6 BOARD MEMBER D'ADAMO: By the industry. By the  
7 industry that's being regulated.

8 MR. MORROW: Under current European proposals,  
9 you'll be able to use offsets for up to about five percent  
10 of total reductions -- five percent of your total  
11 obligation, which translates to about a quarter of the  
12 necessary reductions to 2020.

13 BOARD MEMBER D'ADAMO: Okay. And then how do  
14 conservation efforts fit into the scheme in terms of  
15 actions taken by individuals obviously that are not  
16 regulated? Is there something structural about the  
17 program that encourages conservation by individual  
18 consumers?

19 MR. MORROW: Well, one of the things that has  
20 occurred is that the price of electricity in Europe has  
21 gone up to include the price of emissions in same way as  
22 it includes the price of natural gas. And that provides a  
23 significant incentive.

24 But Europe also has -- Europe as a European level  
25 or European countries has energy efficiency programs as

1 well.

2           So I think the main effect of the cap and trade  
3 program would be an increased electricity price, which  
4 would give people an additional incentive to reduce  
5 emissions. But it's not seen as a substitute for other  
6 efficiency programs.

7           BOARD MEMBER D'ADAMO: Thank you.

8           CHAIRPERSON NICHOLS: Okay. This segues nicely  
9 into the next item on the agenda I think.

10           Thank you for the presentation. We're all  
11 getting a crash course. So we'll move on then to --

12           EXECUTIVE OFFICER GOLDSTENE: We'll have Margret  
13 talk about ICAT first.

14           MS. KIM: Very briefly.

15           CHAIRPERSON NICHOLS: Yes, Margret, please fill  
16 us in on ICAT. I was out of the room for a few minutes.  
17 I thought that already happened.

18           MS. KIM: Good afternoon, Chairman Nichols and  
19 Board members.

20           First, I would like to say that our Governor has  
21 truly maximized his star power to not only help put  
22 California on the map as a global leader in the fight  
23 against climate change, but he has also influenced and  
24 inspired so many other states and countries around the  
25 world to join the fight.





1 MS. KIM: Now when we talk about carbon market,  
2 we are really talking about two separate markets:  
3 Compliance and voluntary.

4 The compliance market is comprised of  
5 allowance-based transactions through the emission trading  
6 systems and project-based compliance offsets such as CDM.  
7 All carbon credits purchased in the voluntary market are  
8 project based transactions, except for what's known as  
9 CCX, which is allowance based.

10 There are currently about 13 standards around the  
11 world. And what I mean by standards are accounting  
12 standards, monitoring, verification, and certification  
13 standards.

14 --o0o--

15 MS. KIM: Now I would like to introduce ICAP,  
16 which stands for International Carbon Action Partnership.  
17 It is made up of national and subnational governments  
18 which are pursuing a mandatory cap and trade system.

19 --o0o--

20 MS. KIM: California signed on to ICAP last  
21 October in Portugal and became a founding member.

22 I know Chairman Nichols was present.

23 --o0o--

24 MS. KIM: The primary goal of ICAP is to  
25 establish a credible global carbon market through a





1 between now and 2050.

2 --o0o--

3 MS. KIM: It's important to note the members of  
4 ICAP, however, realize that cap and trade is not the only  
5 strategy but one of many strategies to reduce greenhouse  
6 gas emissions.

7 --o0o--

8 MS. KIM: Currently, we have eleven Steering  
9 Committee members: Five from North America, five from  
10 Europe, and one Oceania. And California is Chairing  
11 currently the Steering Committee.

12 --o0o--

13 MS. KIM: So how does ICAP benefit ARB?

14 AB 32 may be the first state law forcing us to  
15 think globally as we design our local actions. It  
16 specifically requires ARB to review and consider programs  
17 of other nations. For example, it requires us to review  
18 international greenhouse gas reporting programs. ICAP has  
19 already set up such network of government experts on  
20 monitoring, reporting, and verifying greenhouse gas  
21 emissions. Staff from our ARB PTSD is part of the ICAP  
22 Subcommittee, and will benefit from learning what other  
23 reporting standards are being considered and implemented  
24 throughout the world.

25 --o0o--

1 MS. KIM: In some respects, while California may  
2 be leading in the US, it is still behind Europe. As such,  
3 it is critical to learn from their experiences, both good  
4 and bad, as we design ours.

5 For example, in November, ICAP will be holding a  
6 conference on auctions. This will enable us to learn the  
7 technical aspects of designing auctions from RGGI and the  
8 EU and what policy consideration has been given in using  
9 auction revenues.

10 ICAP will also hold a closed session on  
11 allocation which will deal with industry competitiveness.  
12 Through ICAP, we will also learn the implications of a  
13 linked carbon market. For example, for ETS to serve as an  
14 effective instrument for low carbon investment, it will  
15 need to establish a credible market. And of course, the  
16 government has a key role in ensuring this credibility.

17 To the extent that California is not living in  
18 isolation and stop trading all together and continue to  
19 import and consume products from developing countries, we  
20 are directly or indirectly linked to carbon emissions from  
21 our supply chain.

22 ICAP will provide a forum for exchange of ideas  
23 on how to deal with leakage, border tax adjustments for  
24 imports, and at the same time explore ways to help build  
25 capacity in developing countries.

1           And finally, to the extent that emission trading  
2 system is being considered beyond California's borders,  
3 compliance and enforcement is key. And we need to  
4 collaborate with other government agencies to promote  
5 consistency and stringent market oversight.

6                               --o0o--

7           MS. KIM: These are some of the initial work  
8 streams that have been identified by ICAP members.  
9 Monitoring, reporting, and verification is highlighted,  
10 because this is the first work stream we have agreed to  
11 tackle.

12                              --o0o--

13           MS. KIM: The cap and trade system's  
14 environmental integrity depends on the effectiveness of  
15 monitoring, reporting, and verification. And so ICAP  
16 decided to tackle this issue by holding a public  
17 conference in Brussels. The objective of the conference  
18 was to learn about different experiences from U.S. EPA  
19 acid rain program, to EU ETS, as well as what others are  
20 considering, like RGGI, Australia, and WCI.

21           To summarize the key outcomes from the  
22 conference, the members acknowledge that emission trading  
23 system can serve as an effective instrument, but only if  
24 it is credible and stringent. In other words, we need to  
25 have a strong compliance mechanism to provide certainty to

1 market participants.

2 --o0o--

3 MS. KIM: In closing, we have not just set up a  
4 subcommittee on monitoring, reporting, verification, we're  
5 also in the course of retaining all outside experts to  
6 review existing reporting protocols to identify best  
7 practices and to make recommendations. We hope to release  
8 this final report together at the forum in Poland.

9 The next topic is to tackle is an auctions and  
10 allocations as mentioned. The conference by the way is  
11 not going to be in New York but in Washington, D.C. this  
12 November a couple of weeks after the elections and will be  
13 held by the state of New York.

14 That's it.

15 CHAIRPERSON NICHOLS: Thank you, Margret. That's  
16 a really succinct summary of very busy and complicated  
17 interlocking set of activities that are going on.

18 It's kind of hard to overstate the sheer  
19 intellectual weight that's going into these activities  
20 going on around the world. As you probably already  
21 reported at lunch today, we met with a small group of  
22 European officials, all of whom looked incredibly young to  
23 me, although they have the title senior associated with  
24 their names. Al though they are people who are assistants  
25 to legislators or ministers in their countries and have

1 major responsibilities and who are working full time  
2 thinking through how to make some of these programs work.

3           And it really is engaging some of the very best  
4 minds in the public and private sectors. And a lot of  
5 what's going on is just exchange of information right now  
6 and building up the base of understanding of what we mean  
7 when we use some of these terms and how we can link our  
8 activities together.

9           You know, it's such a clique to say that global  
10 warming is a global problem. But the fact is it really  
11 is. And the fact that we've got so much globalization  
12 going on in terms of developing the solutions, where even  
13 in California we get to have all of these international  
14 experts come to work with us is a testament to I think the  
15 size and complexity of the problem if nothing else.

16           So it's just good to have these opportunities to  
17 touch base with some of the people who were actually doing  
18 the work and update ourselves on what they're coming up  
19 with. But no action is required of us immediately.

20           Thank you very much.

21           Now we will move to the next item which is more  
22 directly related to what we're developing in California  
23 under AB 32, and that's the Western Climate Initiative.

24           We touched it on briefly when we received the  
25 draft scoping plan. And right on schedule, the Western

1 Climate Initiative came out with their recommendations for  
2 a western regional market and how to begin to design that.

3           In addition to our staff who are here, we also  
4 have Michael Gibbs from Cal/EPA who has been the  
5 California lead representative to the Western Climate  
6 Initiative with his cohort, Chuck Shulock, the head of our  
7 Office of Climate Change. And I was with Michael  
8 yesterday when he did a bunch of briefings on this topic.  
9 So I think he can probably do this from memory at this  
10 point.

11           Welcome, Michael. Thank you for your leadership  
12 on this issue.

13           And I think at this point it would be a good idea  
14 to just mention that Western Climate Initiative has been  
15 in the news in addition to their announcements about the  
16 cap and trade system they're designing, because it's just  
17 been joined by Ontario, the largest province in Canada,  
18 which in turn makes the Western Climate Initiative now an  
19 entity that's covering about 75 percent of the Canadian  
20 economy, in addition to 20 percent of the US economy.  
21 We've now become the largest regional body working on  
22 these issues.

23           So I'll just ask Mr. Goldstene to introduce the  
24 item.

25           EXECUTIVE OFFICER GOLDSTENE: Thank you, Chairman

1 Nichols.

2           This item is part of an ongoing series of updates  
3 to the Board on the major issues impacting the Scoping  
4 Plan. We want to keep the Board fully briefed as we think  
5 through all of the elements of the plan.

6           Today, staff will update you on efforts to design  
7 a regional cap and trade system. By working as a region,  
8 western states and Canadian provinces will facilitate  
9 emission reduction opportunities, help meet the climate  
10 protection goals in a cost effective manner, and minimize  
11 leakage.

12           As one of the primary measures suggested by the  
13 draft Scoping Plan, a regional cap and trade mechanism  
14 will increase certainty that we'll hit the emission  
15 targets set by AB 32.

16           Mr. Sam Wade from the Office of Climate Change  
17 will provide the update. And the others behind me as well  
18 will be available for questions and may add. Mr. Wade.

19           (Thereupon an overhead presentation was  
20 presented as follows.)

21           AIR POLLUTION SPECIALIST WADE: Thank you, Mr.  
22 Goldstene. Good afternoon, Chairman Nichols and members  
23 of the Board.

24           Today's briefing is one in a series of status  
25 reports on the AB 32 Scoping Plan that we presented to

1 keep you abreast of staff's efforts.

2 My presentation will focus on the draft plan's  
3 recommendations to establish a California cap and trade  
4 program that links to a regional emissions trading market  
5 for greenhouse gases.

6 --o0o--

7 AIR POLLUTION SPECIALIST WADE: I'd like to begin  
8 by discussing the current status of the Scoping Plan  
9 process.

10 Over the last eight months, ARB has worked with  
11 other agencies and a wide range of stakeholders. The  
12 suggestions and recommendations that we've received were  
13 vetted and evaluated by ARB staff. And on June 26, we  
14 released the draft plan for public review. In addition,  
15 we released the appendices for the draft plan earlier this  
16 week.

17 The release of this draft inaugurates a process  
18 of evaluation, analysis and refinement of the measures and  
19 regulations with full public involvement at every step.  
20 We are soliciting these comments on both the technical  
21 aspects of the draft plan and on the policy recommendation  
22 and requesting these comments on the draft plan be  
23 submitted by August 1st and that comments on the  
24 appendices be submitted by the 11th.

25 Furthermore, a supplement to the draft plan will



1 be released this summer. It will contain analyses of the  
2 economic and public health impacts of the draft plan, and  
3 its release will initiate another round of public comment,  
4 including an additional workshop.

5 All comments received on both the draft plan and  
6 this supplement will be considered and incorporated into  
7 the proposed Scoping Plan that we plan to release publicly  
8 on October 3rd and will bring to the Board for potential  
9 approval in November.

10 --o0o--

11 AIR POLLUTION SPECIALIST WADE: Staff's  
12 preliminary recommendation as outlined in the draft plan  
13 is to pursue a mixed approach that incorporates  
14 market-based compliance mechanisms, regulations, voluntary  
15 reductions, and fees.

16 The key market-based aspect of this  
17 recommendation is to develop a broad based California cap  
18 and trade program. This program will meet all of the AB  
19 32 requirements of market-based compliance mechanisms.

20 Furthermore, the California system would be  
21 linked with the efforts of our partners in the WCI, or  
22 Western Climate Initiative, to create a robust regional  
23 cap and trade system.

24 --o0o--

25 AIR POLLUTION SPECIALIST WADE: The Western  
PETERS SHORTHAND REPORTING (916) 362-2345

1 Climate Initiative is a voluntary alliance of seven US  
2 states and four Canadian provinces that have agreed to  
3 collaborate in identifying, evaluating, and implementing  
4 ways to reduce greenhouse gas emissions.

5           The initiative began in 2007 when several western  
6 governors agreed to work jointly to promote clean and  
7 renewable energy in the region, increase energy  
8 efficiency, advocate for regional and national climate  
9 policies, and identify ways to adapt to climate change  
10 impacts.

11           At the outset of WCI, the partner jurisdictions  
12 agreed to three key deliverables. The first was to join  
13 the Climate Registry, which is a multi jurisdictional  
14 greenhouse gas emission reporting system.

15           The second was to agree to a regional greenhouse  
16 gas reduction goal consistent with the individual state  
17 and providential goals.

18           The original partners have accomplished both of  
19 these two deliverables, although the regional goal is  
20 currently being revised to include the new partners, as  
21 Chairman Nichols mentioned.

22           The remaining task for this collaboration is to  
23 consider the optimum design and implementation of a  
24 regional multi-sector cap and trade system to achieve  
25 reductions.







1           AIR POLLUTION SPECIALIST WADE: The WCI draft  
2 document recommends setting an overall emissions cap that  
3 achieves the 2020 regional emissions goal from capped and  
4 uncapped sources.

5           The cap and trade program cap would be set prior  
6 to the start of the program implementation, prior to 2012,  
7 and be set for all years out to 2020. Announcing this cap  
8 for all of the years of the program provides greater  
9 certainty to the capped sources of what will be required  
10 for this nine-year planning horizon.

11           Once this regional cap is set, each individual  
12 partner's jurisdiction will receive a specific share of  
13 this cap or allowance budget. The partners would mutually  
14 work out the exact distribution of this allowance budget  
15 through a process that we're referring to as  
16 apportionment.

17           Once the total regional cap is broken into  
18 smaller amounts for each jurisdiction, California will  
19 have a fairly wide discretion as to how to allocate its  
20 budget of allowances within the state. An allowance has  
21 value because it can be sold. And the existence of this  
22 value is independent of whether allowances are auctioned  
23 or given away for free.

24           So the process of allocation may be thought of as  
25 distributing the allowance value within the California



1 remain coordinated. This will avoid one partner getting  
2 too far out in front of the others and creating  
3 instability or uncertainty in the approach.

4 Further, some individual program design elements  
5 must be harmonized among the partner jurisdictions. An  
6 example of an area which requires harmonization is the  
7 reporting of emissions from all jurisdictions, as Margret  
8 and Iain's presentations both touched on.

9 California is ahead of most of the WCI partners  
10 due to the fact we have established mandatory reporting  
11 requirements as of December of 2007. However, our  
12 requirements may need to be revised to allow for the  
13 inclusion of data from commercial, residential, and  
14 transportation fuel use.

15 Additionally, WCI partners are working to build  
16 consensus around the broad framework of an offset credit  
17 program similar to the CDM. Offsets are emission  
18 reductions projects that occur outside of the capped  
19 sources. Other greenhouse gas cap and trade programs,  
20 such as the EU ETS, do allow their use, usually in limited  
21 quantities to reduce the overall cost of the program.

22 An offset credit accepted in lieu of an allowance  
23 in one partner's jurisdiction will impact the price paid  
24 for allowances in all other partners' jurisdictions.  
25 Therefore, partners must work together on the offset







1 lower cost greenhouse gas reductions and incentivize  
2 significant reductions across most of the western  
3 United States and throughout Canada.

4 We remain on track with the AB 32 time line and  
5 remain engaged in the regional process.

6 That concludes my presentation. Thank you very  
7 much for your attention.

8 Mr. Goldstene.

9 EXECUTIVE OFFICER GOLDSTENE: Thank you very  
10 much, Mr. Wade.

11 Chairman Nichols.

12 CHAIRPERSON NICHOLS: Thank you very much.

13 BOARD MEMBER RIORDAN: I have a question. And  
14 you may or may not know the answer.

15 I look at the map, and it's very clear to me it  
16 would be so helpful to get Nevada, Idaho, and Wyoming into  
17 the process. You can make a case for all those that are  
18 listed as observers. But I think those three stand out.

19 What are we doing to try to encourage them to  
20 participate with us?

21 CHAIRPERSON NICHOLS: I think that's a Michael  
22 Gibbs question.

23 MR. GIBBS: Good afternoon and thank you for  
24 having me today. I'm happy to be here to talk about the  
25 Western Climate Initiative that we've been working so hard

1 on this past year.

2           This is an important question of how we expand  
3 the membership within the Western Climate Initiative. And  
4 that is something that the partners have been working on  
5 diligently. We have had new members join, most recently  
6 Ontario. Prior to that, Montana. With the addition of  
7 Montana, we're hopeful other resource based states in the  
8 west, such as Idaho and Colorado, would also be joining.  
9 We're fortunate that we have them as observers to the  
10 process so they're familiar with what we're doing.

11           And I think that one of the factors that will  
12 help us bring them in is as we move forward to our final  
13 program design, enabling them to take that with more  
14 certainty about what our products are into their own  
15 political process to try to bring them into the fold I  
16 think will be helpful.

17           So we are continuing to talk with them, and we do  
18 meet with them at meetings when they come as observers.

19           CHAIRPERSON NICHOLS: I could probably just add  
20 the Western Governors Association really is the venue for  
21 this whole process. And they are all members of WGA. And  
22 so differences in their political climates at any given  
23 moment may make it easier or harder for them to join. But  
24 I think as time goes on, the reasons to want to join grow.

25           BOARD MEMBER RIORDAN: And hopefully they will

1 see some benefits. And we obviously would see tremendous  
2 benefits to get those three states involved for a whole  
3 variety of reasons.

4 BOARD MEMBER LOVERIDGE: Just piggyback onto that  
5 question. Is there any emergence of an Eastern Climate  
6 Initiative? Are there any other governors, other sectors?

7 CHAIRPERSON NICHOLS: There's several.

8 MR. GIBBS: Just a couple to note. There's the  
9 Regional Greenhouse Gas Initiative in the northeast which  
10 covers the New England states primarily. And there is a  
11 forming group that has started work in the midwest. The  
12 Midwest Climate Accord, which covers the upper midwestern  
13 states. And they're really just getting started. They  
14 are developing their program and their process. And they  
15 have the opportunity as the Western Climate Initiative did  
16 to build on others work. The Midwestern Climate Accord  
17 group is building on the Western Climate Initiative work,  
18 and there's good communication and cross-fertilization  
19 there as they start their process.

20 CHAIRPERSON NICHOLS: Just breaking news that the  
21 governors of Florida and Virginia have announced they're  
22 trying to organize a southeast Governor's Climate  
23 Initiative as well, which is really -- that's probably the  
24 most amazing of all.

25 BOARD MEMBER SPERLING: I have a question. But

1 one comment and that is, gee, there's only one thing  
2 missing: A national program.

3           So the question I have is with all this  
4 discussion -- I mean, I think this is fabulous that all of  
5 this discussion, interaction. And one of the really  
6 important benefits of this is going to be standardizing  
7 rules and protocol and all that sort of thing, which is  
8 going to be absolutely essential.

9           But underlying this is this idea of  
10 collaboration, cooperation, and so on. And then there is  
11 this concept of offsets. And it's a vague concept. But  
12 politically what I see in Europe and here is that no one  
13 wants to allow too much flexibility in terms of buying  
14 your way out. That means buying your way out from other  
15 geographical or political entities. With Europe it's with  
16 the CDMs and Asia.

17           So the question I have -- and this is -- I'm  
18 really curious the thinking with the WCI is when you set  
19 up these partnerships and this trading -- proposed cap and  
20 trade, what is kind of the underlying philosophical,  
21 political thinking about how much we really would be  
22 willing to allow Californians to buy credits or allowances  
23 from other states in other countries as a way of meeting  
24 our target?

25           You know, in our Scoping Plan, I think we limit

1 it at ten percent. But if everyone really did ten  
2 percent, it kind of limits how much interaction there  
3 really would be.

4           So I guess part of the question is how strong  
5 philosophical commitment and political commitment is there  
6 to this and whether -- you know, how that's going to  
7 translate into like this ten percent rule, for instance,  
8 we're talking about.

9           OFFICE OF CLIMATE CHANGE CHIEF SHULOCK: I'll  
10 start with a response to that, and Michael may want to  
11 speak more.

12           Chuck Shulock from the Office of Climate Change.

13           Michael may want to add more. But just to be  
14 clear, it would not just be offsets that would be moving  
15 across the boundaries, but allowances. So an allowance  
16 issued in a partner state would be acceptable for  
17 achieving compliance within California.

18           BOARD MEMBER SPERLING: So we -- like in our  
19 Scoping Plan, I don't think we address that; right? But  
20 what you're saying is that you could buy those allowances  
21 from Ontario.

22           OFFICE OF CLIMATE CHANGE CHIEF SHULOCK: Correct.  
23 And I don't think we went into a lot of detail on this in  
24 the Scoping Plan document.

25           But the idea is that California would adopt a

1 California program. But as part of that, we would  
2 recognize currency, if you will, from other states that  
3 met these pre-conditions that have a rigorous program,  
4 enforceability, et cetera, et cetera. So if a facility in  
5 California found it cheaper to buy an allowance that was  
6 issued by Ontario, they could use that for compliance.

7           Then above and beyond that, there's a limited  
8 ability to use offsets, be they from within WCI or  
9 potentially broader, that's one of the issues that's under  
10 discussion in WCI is should there be geographic limits and  
11 how might that play out.

12           But anyway, the offsets are in addition to the  
13 basic trading of the allowances. So it's actually quite a  
14 bit of flexibility that's provided if you look at the  
15 whole system.

16           BOARD MEMBER SPERLING: So we're not talking at  
17 least here in California about limiting the purchases of  
18 allowances other states or provinces; is that right?

19           OFFICE OF CLIMATE CHANGE CHIEF SHULOCK: That is  
20 correct.

21           CHAIRPERSON NICHOLS: If they are linked.

22           OFFICE OF CLIMATE CHANGE CHIEF SHULOCK: Linked,  
23 yes. Provided that they are of acceptable quality, which  
24 is what the linking issue is all about and what the  
25 partners are mutually determining. But then it would be



1 fungible -- I don't want to use -- that currency would be  
2 accepted for compliance within the California program.

3 CHAIRPERSON NICHOLS: It's like starting a new  
4 country.

5 BOARD MEMBER BALMES: Can I ask a question?

6 CHAIRPERSON NICHOLS: Yes.

7 BOARD MEMBER BALMES: So Mr. Morrow made a point  
8 that in the EU experience getting good emissions data was  
9 key. And I think in the last presentation it was also  
10 mentioned that -- maybe it was the ICAP there was an  
11 effort to have a work stream on this.

12 Given how many jurisdictions are involved with  
13 the Western Climate Initiative, how close are we to being  
14 able to have good emissions data for all these  
15 jurisdictions?

16 MR. GIBBS: Sure. Thank you.

17 The WCI partners recognize that exact fact. And  
18 a good reporting -- mandatory reporting program really is  
19 a backbone of any regulatory program, including cap and  
20 trade in this case.

21 So one of the first orders of business among the  
22 partners is to establish the essential elements that must  
23 be common across all the partners in their reporting  
24 programs.

25 Now as we've already heard, California is a

1 little bit ahead and we already have a rule in place or  
2 being put in place. We may need to adjust that to ensure  
3 that we have the appropriate coverage and other elements  
4 that all the partners agree are essential. And then at  
5 the same time, the other partners will be adopting the  
6 same rules and adopting those reporting requirements.

7           So as a consequence, we want to use that data as  
8 a basis for setting limits, acknowledging compliance and  
9 the like, so we have that data necessary. So I think one  
10 of the opportunities we've had to learn from the other  
11 programs that came before us.

12           CHAIRPERSON NICHOLS: Okay. Onward and upward.  
13 Thank you very much. There's really a lot more to say  
14 about this, but it is a work in progress.

15           Our final presentation of the day, we're  
16 fortunate to hear about a new initiative that's underway  
17 at our of our sister entities within Cal/EPA, the  
18 Department of Toxic Substances Control.

19           Maureen Gorsen, who's the director of the  
20 Department, was originally scheduled to be here but  
21 unexpectedly was not able to join us. And so a member of  
22 her team, Don Owen, is going to be making the presentation  
23 instead to give us an overview of the Green Chemistry  
24 Initiative.

25           The issue here is in direct relevance to us of

1 course just an interesting topic. But in many ways we are  
2 parallel regulators of some of the same chemicals. We  
3 also have a connection at the personal level, because one  
4 of our Board members, Dr. Balmes, has been involved as an  
5 advisor to the Departments of Toxic Substances in the  
6 development of this approach as well.

7 I guess it's been a clique for many years that  
8 chemical by chemical regulation is not the best way to go.  
9 That everybody agrees that it would be much better if we  
10 can find ways to decide early on what kinds of things are  
11 dangerous and more dangerous and less dangerous and  
12 encourage society to move towards less dangerous and away  
13 from the more dangerous. But mechanisms have alluded us.

14 And so our department is boldly going into an  
15 area where few have dared to go before and has coming up  
16 with some really interesting ideas.

17 So with that build up, I'd like to ask James  
18 Goldstene to introduce Don Owen, and then we can take it  
19 from there.

20 EXECUTIVE OFFICER GOLDSTENE: I don't have much  
21 to add, other than we'd like to thank Director Gorsen and  
22 Don for their work in this area. Of course, we believe  
23 that the Green Chemistry Initiative is an important  
24 component of what we do, and we're fortunate that they've  
25 made the time today to give us an update.

1 Don.

2 (Thereupon an overhead presentation was  
3 presented as follows.)

4 MR. OWEN: Good afternoon, Chairperson Nichols  
5 and Board members.

6 Thank you again for this opportunity to share  
7 with you our experience and what we've learned in the  
8 Green Chemistry Initiative.

9 As Chairperson Nichols mentioned, this is an  
10 evolving area akin to some early days of climate change.  
11 Many of update reports your staff just presented have  
12 significant linkages to ideas we've heard in the Green  
13 Chemistry Initiative.

14 I'd like to begin today by thanking our  
15 colleagues on your staff for their contributions  
16 throughout Phase I and Phase 2 of the process,  
17 particularly Judy Ye and Bob Barham who have been  
18 instrumental in helping us and guiding us through this  
19 very interesting process.

20 --o0o--

21 MR. OWEN: Our regulatory laws at the national  
22 and state level largely deal with the discharges and  
23 emissions and disposal of waste after something has  
24 occurred within a facility, in our case located in  
25 California. This is referred to in the nomenclature we



1 now very costly.

2 --o0o--

3 MR. OWEN: To give you a little more context  
4 about the problems we face, there are a lot of plastic  
5 beverage bottles that are now not recycled but find their  
6 way into the waste stream and increasingly into our oceans  
7 and other waters.

8 --o0o--

9 MR. OWEN: Plastic trash bags or bags used in  
10 commerce, very few are actually reused.

11 --o0o--

12 MR. OWEN: And a modern convenience we all rely  
13 on, there are more than 426,000 cell phones retired every  
14 day.

15 --o0o--

16 MR. OWEN: At the same time, global chemical  
17 production will increase nearly double over the next 25  
18 years every year. So there is a significant opportunity  
19 and a significant challenge before us.

20 --o0o--

21 MR. OWEN: California, like other jurisdictions  
22 within the United States, in some cases the federal  
23 government and our nation and other nations, typically  
24 respond episodically, as we read almost daily in our news  
25 media about hazards presented by a specific chemical and



1 health, our environment, both directly and indirectly.

2           So what is green chemistry in? The definition  
3 that --

4                               --o0o--

5           MR. OWEN: -- we've learned during this process  
6 and throughout the initiative is the consideration of the  
7 public health and environmental effects of chemicals  
8 during the design of products and processes.

9           So beginning at the front end, are there  
10 opportunities to substitute safer chemicals? To use  
11 different engineering practices? To have different  
12 manufacturing techniques that may produce a safer product,  
13 one which uses less energy, one which has less climate  
14 footprint and ultimately is reusable? Or if disposed, is  
15 disposable in a benign manner. It's a fundamentally new  
16 approach.

17                               --o0o--

18           MR. OWEN: And for the 21st century, it  
19 incorporates the concepts of multi media rather than a  
20 single purpose environmental media and life cycle.

21           The tools are still rudimentary. In your Scoping  
22 Plan, your staff has begun work on life cycle analysis  
23 related to low carbon fuel strategies. That's a  
24 tremendous undertaking. We've learned the tools have a  
25 long way toward maturation. The National Academy of



1 Sciences informs us in our process these tools will be  
2 necessary and part of how our environmental framework in a  
3 regulatory sense operates globally. But over the next 100  
4 years, that transition will occur.

5 I congratulate you for being at the forefront.  
6 We're learning from that.

7 --o0o--

8 MR. OWEN: Canada and Europe have begun efforts  
9 to consider attributes of this problem and to begin taking  
10 steps to address the significant gaps in both knowledge,  
11 data, safety, and technology. But they're just beginning.  
12 We've outlined a goal with our colleagues and the  
13 leadership counsel across State government and are  
14 participants in the process whereby California would  
15 become the leader in innovation use and manufacture of  
16 safer, ever-more environmentally benign chemicals and  
17 products. We think of this as continuous improvement  
18 regime. It will take a lot of time as these tools,  
19 technologies, and ideas and capacity emerges.

20 --o0o--

21 MR. OWEN: A little bit about the process.  
22 Unlike the administrative procedures process all of us are  
23 very accustomed to when we write regulations to implement  
24 statutes which have given us authority, we began this at  
25 the direction of Secretary Adams, but took a very





1 Those are the key element teams. They relate to matters  
2 like education in kindergarten through high school, the  
3 community college system, and higher education.

4 --o0o--

5 MR. OWEN: To quickly summarize, the Science  
6 Panel gave us 38 detailed and thorough recommendations.  
7 They used a balanced approach. We did not ask consensus  
8 of them. They did not vote. And yet, they worked very  
9 well together with very different viewpoints. They  
10 divided their work interestingly into a demand side and  
11 supply side framework where they proposed options and told  
12 us how they could operate so that we could address the  
13 data, safety, and technology gaps.

14 --o0o--

15 MR. OWEN: This slide presents a summary of what  
16 their options describe. As one example, they encourage us  
17 to as state government formulate a policy along with  
18 funding mechanisms to support expanding research and  
19 innovation in green chemistry and engineering through our  
20 research institutions, through academia, and through  
21 public/private partnerships.

22 --o0o--

23 MR. OWEN: As I mentioned, the key element teams  
24 were those teams that related to existing government  
25 functions. For example, we heard that the State ought to

1 walk the talk and take initial steps to implement as many  
2 of the principles of green chemistry and green  
3 engineering. One way to do that is through the power of  
4 procurement. If we can account for chemical toxicity and  
5 health impacts associated with products we buy and begin  
6 to move to life cycle considerations, whether that's true  
7 cost or life cycle cost, and begin to apply some of those  
8 tools in a pilot or a programmatic way, we can demonstrate  
9 how they can be applied in industry and elsewhere.

10 --o0o--

11 MR. OWEN: In summary, we're about ready to  
12 present to the secretary our conclusions. Please stay  
13 tuned.

14 And they will help us address the huge absence of  
15 information on chemical toxicity, on chemical ingredients  
16 in products, on the capacity problem, and how we will stay  
17 abreast of the globalization of products and the  
18 opportunity to participate more fully in that market.

19 The Milken Institute, for example, in the last  
20 week or so issued a report indicating that California has  
21 fallen from its preeminent position and its ability to  
22 translate innovation and idea, creation, and knowledge  
23 capital into economic development to the fourth ranked  
24 position. So while we spend a lot of money as State  
25 government, as research institutions, as industry, we're

1 not doing as good of a job. And green chemistry is one  
2 opportunity to re-focus that and hopefully help you  
3 deliver on some of the promises it needs for climate  
4 change, energy efficiency, and air pollution.

5 Thank you for your interest today. I welcome any  
6 questions you may have.

7 CHAIRPERSON NICHOLS: Thank you very much. Thank  
8 you for that presentation. I know there's a lot of  
9 interest in what policy recommendations are going to come  
10 forth.

11 You mentioned at the outset we really are mired  
12 in chemical by chemical scares and legislation. And the  
13 public I think is as frustrated as regulators or regulated  
14 communities by the difficulties in putting all this stuff  
15 in context and finding a way to actually empower ourselves  
16 to act in a more responsible way, even when people are  
17 motivated to do so. And the conflicts of information and  
18 the inability of databases to talk to each other are all  
19 almost seemingly intractable. And yet they can't be  
20 intractable. There have to be better ways to do things.

21 So I'm really enthusiastic about what's being  
22 attempted here and pleased that we are able to be  
23 contributors to the process. And hopefully we'll be able  
24 to collaborate further as we move on into the policy  
25 stages of this.

1 Further comments? Yes, Dr. Balmes.

2 BOARD MEMBER BALMES: Well, as a member of the  
3 Scientific Advisory Panel that advised DTSC on green  
4 chemistry, I'm very eager to see what final policy  
5 recommendations come out.

6 But one thing I hope to see that fits in with  
7 what we're trying to do on certainly climate change but  
8 other areas is try to incentivize technological innovation  
9 and green behavior. And I think that that can be a  
10 win-win for the California economy as well as for the  
11 environment.

12 I mean, we heard at lunch from the representative  
13 from Denmark how -- or maybe it was Germany, maybe both of  
14 them, about how much -- what percentage of the economy is  
15 now derived from technologic innovation with regard to --I  
16 think it was Denmark -- wind power and renewables. It was  
17 eight percent of the economy now.

18 So I think that trying to shift the California  
19 chemical production industry into using green techniques  
20 and to produce less toxic materials can -- I think that  
21 can be a driver for the economy. There will be some  
22 companies that will be hurt possibly, but I think overall  
23 it will be good for the economy. And I think it fits in  
24 with what we're trying to do with regard to a number of  
25 programs

1           CHAIRPERSON NICHOLS: Absolutely. This is a case  
2 where knowledge really is power. And we are all subjected  
3 to all the conflicting claims about what's green and what  
4 isn't green and having a better sense.

5           BOARD MEMBER BALMES: Just like verifying  
6 greenhouse gas emissions.

7           CHAIRPERSON NICHOLS: Well, greenhouse gas  
8 emissions are measurable though. The definition of what  
9 is CO2 is not all that controversial.

10           Anyway, any comments or questions at this point  
11 just --

12           BOARD MEMBER TELLES: I have just a question.

13           Is this program going to have some specific  
14 objectives? I mean, some specific projects.

15           MR. OWEN: It will likely be conceptual  
16 recommendations to the secretary and to the Governor for  
17 steps that California may take to begin to bridge that  
18 vast unknown of what chemicals are in products that are  
19 sold in California, whether they're toxic, what hazards  
20 think might present to public health and our environment.  
21 And in addition, how we can incentivize innovation and use  
22 our position in California that's unique in developing new  
23 ideas. Whether those are biotech, nanotechnology, clean  
24 technology that converged on new chemicals and compounds,  
25 but how that might displace older, less safe items in



1 commerce.

2           So, yes, it will have recommendations to take  
3 initial steps much like the very first Climate Action Team  
4 report.

5           BOARD MEMBER TELLES: The reason why I bring that  
6 up is one of the things that's being pushed by the climate  
7 initiative is florescent lights. And if you buy a  
8 florescent light and you read the little thing on there,  
9 it says it has mercury in it and dispose of it based on  
10 California law. What's the California law of disposing a  
11 florescent light?

12           And you know, I would wonder if those florescent  
13 lights could be designed in some way that the disposal  
14 would be much easier than trying to figure out what the  
15 California law is of disposing of florescent lights.

16           In an operating room, I think it's a regulation  
17 you couldn't use florescent lights, because if they break  
18 and spray mercury all over the place and you have to  
19 evacuate the operating room.

20           I think there's a lot of area for beginning the  
21 development of some of these products with the design.  
22 And I think it's a great idea.

23           MR. OWEN: You pointed out an excellent example.  
24 Europe is struggling with creation of a collection and  
25 recycling apparatus across its member states through an EU

1 directive like climate change in its trading scheme so  
2 they can prevent hazard to landfill and to people from  
3 disposal of that transitional technology.

4           Ideally, we will create a process by which  
5 manufacturers and everyone throughout the supply chain are  
6 better informed and can make better choices so we can do  
7 our best to avoid transitional technology that have some  
8 downside, although they have some promising attribute, and  
9 move ahead toward the safer alternative that offers a  
10 win-win across the attributes, whether they're energy  
11 efficiency, toxicity, end-of-life, water consumption, or  
12 resource use.

13           We found in our initiative a group of scientists  
14 have developed compact lighting bulb which is about 50  
15 times more energy efficient and does not contain any  
16 hazardous substances that are currently regulated. So the  
17 question is, what is in it? And do we know the hazard  
18 information about those substances?

19           Most cases, we don't. There's about 87,000  
20 chemicals in commerce in the United States. The majority  
21 of the complete data sets on toxicity and human health  
22 impacts relate to pharmaceuticals and pesticides, about  
23 three to 4,000 chemicals.

24           So there is a vast unknown here, and it's going  
25 to take a lot of effort to learn to become informed and

1 how to deal with the unknowns as we make those safer  
2 substitutions.

3 CHAIRPERSON NICHOLS: It will keep us all busy.  
4 Thank you very much.

5 Before we adjourn for the day, we have a public  
6 comment period on matters that are within the Board's  
7 general subject jurisdiction but not on any agenda item.  
8 We have one person who's requested time to comment. And  
9 we will give three minutes for that comment and receive  
10 any written comments that you have for us. I think we've  
11 all received copies of that. So those will be turned over  
12 to our staff. But we will hear from you for the next  
13 three minutes.

14 MS. WHITMAN: My name is Debra Whitman, and I'm  
15 president of Environmental Voices.

16 And I'm going to bring a subject to your  
17 attention and ask for you to take action on it.

18 And I've been here last year on April, May, and  
19 June bringing this issue towards the Board, and nobody has  
20 contacted me. And I'm not aware that anything is being  
21 done right now. So I'm going to go over this.

22 What I'm requesting -- first of all, I'm talking  
23 about our government's experimental weather modification  
24 program and the chemicals that appear to be involved with  
25 those programs. And I'm asking that the Board add this to

1 your research plan for 2008-2009.

2 I'm also asking that you include Environmental  
3 Voices as part of the research on this.

4 Also asking that you put Environmental Voices on  
5 the agenda for the next Board meeting. And I have guest  
6 speakers that will speak on different issues relating to  
7 this. Dana Wiggington has 2,000 acres up in Shasta  
8 County. His trees are dying. He believes it's because of  
9 the massive amounts of aluminum and barium that's in the  
10 soil and the water up there. He has also experience in  
11 solar so he can talk about how these experimental weather  
12 modification programs are handling with the solar  
13 industry.

14 And I also have Rosalyn Peterson from California  
15 Sky Watch that will talk -- she's been doing research on  
16 this for eight years. And she spoke in front of the  
17 United Nations regarding the agricultural effects of the  
18 chemicals in this program.

19 And I just wanted to mention a little bit that  
20 this activity is going on worldwide from what we  
21 understand. It's NATO countries that are being -- well,  
22 we call it aerosol sprayed with some of these chemicals.  
23 Some of the chemicals we are looking at that have been  
24 tested are aluminum, barium, sulfur hexafluoride which is  
25 a greenhouse gas and it also causes the oxygen to not go

1 to the heart. It's blocking oxygen to the heart, but  
2 primarily a greenhouse gas. So we are doing testing and  
3 research to try to determine that and how much of that is  
4 in the environment.

5           Up in Mount Shasta, I just got tests results  
6 today over the phone that they went up to the top of Mount  
7 Shasta and tested the snow. And it was 61 times over the  
8 contamination levels of drinking water in aluminum, I  
9 believe it was. And that shouldn't be in the snow from  
10 what I understand.

11           So we are doing research. Trees are dying with  
12 fungus.

13           I just took someone from the city of Davis where  
14 I live, and we went around and looked at trees. The  
15 redwoods are dying, and it appears to be a fungus that's  
16 killing the trees. And these trees are dying because of  
17 weakness we believe from air pollution. And these  
18 chemicals that are now in our air.

19           There is an issue with agriculture. There is --  
20 also we're concerned with the fires that are going on. If  
21 they're in fact is large amounts of aluminum and barium in  
22 these persistent con trails, we feel that's what's causing  
23 the fires in California to be so severe and we can't get  
24 them out because they're very flammable chemicals.

25           CHAIRPERSON NICHOLS: I'm sorry. Your time is

1 up.

2 MS. WHITMAN: Anyways, there's diseases. People  
3 are being ill. We're doing studies on health effects of  
4 these chemicals.

5 So we are asking that the Board put this is a  
6 number one priority to look into it and research.

7 CHAIRPERSON NICHOLS: Okay. Thank you for  
8 appearing in front of us.

9 Do any Board members have any questions about  
10 this? All right.

11 Well, if not, I'm going to ask for staff to let  
12 me know which agencies at the State or federal level have  
13 jurisdiction over this activity you're discussing. And we  
14 will at a minimum respond to you and let you know that and  
15 whether there's anything that this Board either is doing  
16 or could reasonably be doing within the context of the  
17 work programs that we have available us.

18 EXECUTIVE OFFICER GOLDSTENE: We need  
19 Ms. Whitman's contact information.

20 MS. WHITMAN: I left my business card.

21 CHAIRPERSON NICHOLS: All right. Thank you.

22 All right. If there is no further business  
23 before us, we're adjourned.

24 (Thereupon the California Air Resources Board  
25 adjourned at 3:27 p.m.)

## 1 CERTIFICATE OF REPORTER

2 I, TIFFANY C. KRAFT, a Certified Shorthand  
3 Reporter of the State of California, and Registered  
4 Professional Reporter, do hereby certify:

5 That I am a disinterested person herein; that the  
6 foregoing hearing was reported in shorthand by me,  
7 Tiffany C. Kraft, a Certified Shorthand Reporter of the  
8 State of California, and thereafter transcribed into  
9 typewriting.

10 I further certify that I am not of counsel or  
11 attorney for any of the parties to said hearing nor in any  
12 way interested in the outcome of said hearing.

13 IN WITNESS WHEREOF, I have hereunto set my hand  
14 this 1st day of August, 2008.

15

16

17

18

19

20

21

22

23

TIFFANY C. KRAFT, CSR, RPR

24

Certified Shorthand Reporter

25

License No. 12277