

MEETING
STATE OF CALIFORNIA
AIR RESOURCES BOARD

JOE SERNA, JR. BUILDING
CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY
BYRON SHER AUDITORIUM, SECOND FLOOR
1001 I STREET
SACRAMENTO, CALIFORNIA

THURSDAY, JUNE 23, 2011
9:09 A.M.

TIFFANY C. KRAFT, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 12277

CALIFORNIA REPORTING, LLC
(415) 457-4417

APPEARANCES

BOARD MEMBERS

Ms. Mary Nichols, Chairperson

Dr. John Balmes

Ms. Sandra Berg

Ms. Dorene D'Adamo

Mrs. Barbara Riordan

Dr. Daniel Sperling

Mr. Ken Yeager

STAFF

Mr. James Goldstene, Executive Officer

Ms. La Ronda Bowen, Ombudsman

Mr. Tom Cackette, Chief Deputy Executive Officer

Mr. Bob Fletcher, Deputy Executive Officer

Ms. Ellen Peter, Chief Counsel

Ms. Lynn Terry, Deputy Executive Office

Ms. Analisa Bevan, Chief, Sustainable Transportation
Technology Branch, Mobile Source Control Division

Ms. Mary Alice Morency, Board Clerk

Ms. Bonnie Soriano, Staff Air Pollution Specialist,
Technical Analysis Section, SSD

Ms. Gayle Sweigert, Manager, Air Quality Analysis Section,
PTSD

APPEARANCES CONTINUED

ALSO PRESENT

Mr. Bill Aboudi, AB Trucking

Ms. Diane Bailey, NRDC

Ms. Rosario Berretta, Daimler

Mr. Tim Brown, University of California, Irvine

Mr. James Boyd, Commissioner, California Energy Commission

Mr. Fernando Corral, Plug Power

Captain Aaron Cudnohufsky

Mr. Steve Eckhardt, Linde, North America

Mr. Stephen Ellis, American Honda Motor Company

Mr. Randal Friedman, Navy Region Southwest

Ms. Katrina Fritz-Intwala, UTC Power

Mr. Cooper Hanning, Natural Resources Defense Council

Mr. Henry Hogo, South Coast AQMD

Ms. Bonnie Holmes-Gen, American Lung Association

Mr. Edward Kiczek, Air Products and Chemicals, Inc.

Mr. Dan Krokosky, Chevron Shipping Company

Mr. Dominick Lee, VA Transportation, Inc.

Mr. Jaimie Levin, Alameda-Contra Costa Transit District

Mr. Marty Lico, Whole Foods Market

Mr. Ronald Light, West State Alliance

Ms. Kathy Long, Ventura County Supervisor

Ms. Joan Ogden, Co-Director, Hydrogen Pathways Program,
Institute of Transportation Studies, University of
California, Davis

APPEARANCES CONTINUED

ALSO PRESENT

Mr. Henry Pak, Hanjin Shipping

Dr. Scott Samuelsen, National Fuel Cell Research Center

Mr. Martin Schlageter, Coalition for Clean Air

Mr. Jonathan Sharkey, Councilmember of Port Hueneme

Mr. John Shears, Research Coordinator, Center for Energy Efficiency and Renewable Technology

Mr. Miguel Silva, Horizon Freight System

Ms. Gloria Stockmyer, Stockmyer Trucking, Inc.

Dr. Andreas Truckenbrodt, Automotive Fuel Cell Corporation

Mr. David Tulauskas, General Motors

Mr. Mike Upp, ClearEdge Power

Mr. Michael Villegas, Ventura County

Mr. Justin Ward, Toyota Technical Center

INDEX

	<u>Page</u>
Item 11-4-1	
Motion	4
Vote	4
Item 11-4-2	
Motion	6
Vote	6
Item 11-4-3	
Chairperson Nichols	6
Executive Officer Goldstene	7
Staff Presentation	9
Mr. Corral	137
Item 11-4-4	
Chairperson Nichols	141
Executive Officer Goldstene	141
Staff Presentation	142
Q&A by Board	150
Item 11-4-5	
Chairperson Nichols	154
Executive Officer Goldstene	156
Staff Presentation	157
Navy Presentation	174
Mr. Villegas	183
Ms. Long	185
Mr. Sharkey	187
Mr. Schlageter	188
Mr. Hogo	190
Mr. Hanning	192
Ms. Bailey	193
Mr. Friedman	195
Mr. Krokosky	197
Ms. Holmes-Gen	199
Q&A by Board	201
Motion	213
Vote	214

INDEX CONTINUED

	<u>Page</u>
Public Comment	
Mr. Schlageter	215
Ms. Stockmyer	217
Mr. Silva	218
Mr. Aboudi	220
Mr. Lee	223
Mr. Light	226
Adjournment	238
Reporter's Certificate	239

PROCEEDINGS

1
2 CHAIRPERSON NICHOLS: Good morning. I'd like to
3 call the June 23rd, 2011 public meeting of Air Resources
4 Board to order.

5 And we will begin, as we normally do, with the
6 Pledge of Allegiance. If you'll all please rise.

7 Please rise.

8 (Thereupon the Pledge of Allegiance was
9 Recited in unison.)

10 CHAIRPERSON NICHOLS: Thank you.

11 The clerk will please call the roll.

12 BOARD CLERK MORENCY: Dr. Balmes?

13 BOARD MEMBER BALMES: Here.

14 BOARD CLERK MORENCY: Ms. Berg?

15 BOARD MEMBER BERG: Here.

16 BOARD CLERK MORENCY: Ms. D'Adamo?

17 BOARD MEMBER D'ADAMO: Here.

18 BOARD CLERK MORENCY: Ms. Kennard?

19 Mayor Loveridge?

20 Mrs. Riordan?

21 BOARD MEMBER RIORDAN: Here.

22 BOARD CLERK MORENCY: Supervisor Roberts?

23 Professor Sperling?

24 BOARD MEMBER SPERLING: Here.

25 BOARD CLERK MORENCY: Supervisor Yeager?

1 BOARD MEMBER YEAGER: Here.

2 BOARD CLERK MORENCY: Chairman Nichols?

3 CHAIRPERSON NICHOLS: Here.

4 BOARD CLERK MORENCY: Madam Chairman, we have a
5 quorum.

6 CHAIRPERSON NICHOLS: Thank you very much.

7 I have to say that as you're going through the
8 roll, I was waiting for that one voice that always said,
9 "Present" when the rest of us said, "Here." Dr. Telles, I
10 think everybody knows, has left the Air Resources Board to
11 resume his life as a physician. And we miss him. But
12 that was one of his hallmarks. We always knew he was here
13 in the morning.

14 All right. I have a couple of announcements to
15 make. That is, if anyone wants to testify and you did not
16 sign up online, I would appreciate it if you'd fill out a
17 request card. And we still need you to check in with the
18 clerk even if you did sign in online, no matter what. I
19 expect we're going to be imposing our usual three-minute
20 time limit. And we appreciate it if people state their
21 first and last name when they come up to the podium, but
22 then put their testimony in their own words rather than
23 reading their remarks, because the written remarks will be
24 entered into the record.

25 I'm also required to ask you to look for the

1 emergency exit signs that are at the rear and the side of
2 the room. In the event of a fire alarm or any other
3 emergency, we would be required to evacuate the room and
4 go outside until we get an all-clear signal.

5 So I think that's it for the official
6 announcements.

7 And my understanding is that our first item of
8 business this morning is the public hearing on the
9 particulate matter; is that correct?

10 EXECUTIVE OFFICER GOLDSTONE: Well, It's a
11 consent item, yes.

12 CHAIRPERSON NICHOLS: Oh, that's a consent item.
13 Okay.

14 EXECUTIVE OFFICER GOLDSTONE: We have two consent
15 items first.

16 CHAIRPERSON NICHOLS: Okay. Sorry.

17 EXECUTIVE OFFICER GOLDSTONE: That is one of
18 them.

19 CHAIRPERSON NICHOLS: Okay.

20 EXECUTIVE OFFICER GOLDSTONE: And the other is
21 about amendments to area designations for --

22 CHAIRPERSON NICHOLS: Yes, I see.

23 EXECUTIVE OFFICER GOLDSTONE: -- I mean the
24 components in the heavy --

25 CHAIRPERSON NICHOLS: Okay. So the emissions

1 measurement allowance --

2 EXECUTIVE OFFICER GOLDSTONE: Right.

3 CHAIRPERSON NICHOLS: -- for the heavy-duty
4 diesel compliance regulation is a consent item. And we
5 were simply going to find out if there was anyone who had
6 asked to testify or if any Board members wanted to take
7 this item off the consent calendar.

8 Seeing none, then we are able to just go ahead
9 and close the record.

10 BOARD MEMBER RIORDAN: Would you like a motion?

11 CHAIRPERSON NICHOLS: I think we officially close
12 the record.

13 And if you have any ex partes to disclose, we
14 still need to make sure that we disclose them. I don't
15 see any.

16 Okay. Then we just need to make sure that you've
17 all looked at Resolution 11-19. And then I would ask for
18 a motion.

19 BOARD MEMBER RIORDAN: Madam Chairman, I would be
20 happy to approve the staff presentation and
21 recommendations and the resolution for this item 11-4-1.

22 BOARD MEMBER D'ADAMO: Second.

23 CHAIRPERSON NICHOLS: Thank you.

24 All in favor please say aye.

25 (Ayes)

1 CHAIRPERSON NICHOLS: Any opposed?

2 All right. Carries unanimously.

3 This is a relatively new procedure for us, so
4 we're a little bit hesitant going through it here. But I
5 think it's a good one where we have a relatively routine
6 item for Board action and there isn't any public wish to
7 testify on it.

8 Okay. And then the second item --

9 BOARD MEMBER BERG: Madam Chairman, I think it's
10 great also to say that this particular amendment was
11 worked on by industry, by all stakeholders, and all
12 stakeholders agreed with the end result. And that was a
13 very positive. Sometimes we rush over those things and we
14 don't have them very often. So congratulations to staff.

15 CHAIRPERSON NICHOLS: Thank you. Thank you for
16 pointing that out.

17 Okay. The next item on the consent calendar is
18 Agenda Item 11-4-2, which is to consider the approval of
19 some proposed amendments to the area designations for
20 state ambient air quality standards.

21 And, again, I guess I should ask the clerk if any
22 witnesses have signed up to testify on this item.

23 BOARD CLERK MORENCY: No.

24 CHAIRPERSON NICHOLS: No.

25 Okay. Are there any Board members who would like

1 to take this item off the consent calendar?

2 If not, then we can close the record. And all
3 the staff recommendations have been entered into the
4 record and any written submissions that we had. And we
5 have not been asked to extend the time period, so I will
6 officially close the record on this one. This is one
7 that's similar to an action we took on PM a month or two
8 back.

9 May I have a motion then?

10 BOARD MEMBER RIORDAN: Madam Chairman, I'd be
11 happy to move the staff recommendation and the resolution
12 that is before us.

13 CHAIRPERSON NICHOLS: All right. Do I have a
14 second?

15 BOARD MEMBER BALMES: Second.

16 CHAIRPERSON NICHOLS: All right. All in favor
17 please say aye.

18 (Ayes)

19 CHAIRPERSON NICHOLS: Any opposed?

20 Okay. Again, this is carried unanimously.

21 And we can now move to an informational report on
22 the status of fuel cell and hydrogen technology and
23 infrastructure. And I see we have a panel here of
24 distinguished guests to assist us in this effort.

25 Just to say a few words here. California has

1 been working for a long time on zero emission vehicles,
2 the distributed generation, and other technology
3 development programs that have touched on the topic that
4 we're about to consider here today. The purpose of this
5 item is to give us an overview of how fuel cells and
6 hydrogen play a crucial part in achieving clean air and a
7 healthy environment. And I think we have been accused, I
8 would say it in those terms, of being an agency that has a
9 particular bias in favor of fuel cells. And I'm very
10 proud of the fact that we have played as critical a role
11 as we have over the years in advancing this technology. I
12 don't think it's a bias that's against any other form of
13 technology. We have maintained our commitment that our
14 goal here is clean air and reducing our impact on
15 greenhouse gases worldwide. And we believe, and
16 increasingly we now have good evidence to support the
17 fact, that this is one technology which can play a
18 critical role in getting us to where we want to go.

19 So with those few words, I guess I'd like to ask
20 Mr. Goldstene to introduce this item and our panel.

21 EXECUTIVE OFFICER GOLDSTENE: Thank you, Chairman
22 Nichols.

23 As you know, the Board established the zero
24 emission vehicle, distributed generation and various other
25 regulations and programs that foster the development and

1 deployment of cleaner or zero emission technologies. The
2 deployment of fuel cells and hydrogen is a part of the
3 strategy for reducing smog-forming and climate-change
4 emissions in order for the state to attain its air quality
5 requirements and environmental policy goals.

6 In-house analyses have indicated that in order
7 for the transportation sector to achieve its fair share
8 reductions of climate change emissions by 2050, the
9 light-duty vehicle fleet in California must consist almost
10 entirely of vehicles using hydrogen fuel cells, battery
11 electric vehicles, and plug-in hybrids fueled by biofuels.
12 In addition, significant emission reductions can be
13 achieved through the use of fuel cells in stationary
14 applications to generate power, heat, and in some cases
15 hydrogen.

16 In the following presentation, staff and
17 stakeholders will present the status and challenges of
18 deploying fuel cells in stationary and mobile
19 applications.

20 I'm now going to turn the presentation over to
21 Analisa Bevan of the Mobile Source Control Division, who
22 will provide an overview of today's activities.

23 Analisa.

24 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

25 CHIEF BEVAN: Thank you, James.

1 I'll bring up our presentations.

2 (Thereupon an overhead presentation was presented
3 as follows.)

4 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

5 CHIEF BEVAN: Good morning, Chairman Nichols and Board
6 members. Today a collection of representatives from
7 industry, academia, and public interest groups will
8 present you with an overview of the status of hydrogen and
9 fuel cell as used in vehicle and stationary applications.
10 We are providing this technology showcase in order to
11 prepare you for several regulatory decisions coming this
12 fall that may heavily rely on these technologies for
13 optimal success.

14 Presentations will include a brief overview of
15 what we've done to date to support hydrogen and fuel cells
16 and a primer on why hydrogen is of interest from an energy
17 and environmental standpoint. We'll hear reports on the
18 status of fuel cell technology, how well they're
19 performing, their durability, and their cost productions.

20 In our presentations from industry we've asked
21 presenters to provide you with a vision for the business
22 case and commercialization path for fuel cells and
23 hydrogen as well as to highlight any specific challenges
24 they face in bringing fuel cells and hydrogen to market in
25 California.

1 Finally, we would like to leave you with a sense
2 of what actions are needed to ensure success for fuel cell
3 and hydrogen adoption and commercialization.

4 --o0o--

5 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

6 CHIEF BEVAN: We're devoting a pretty generous amount of
7 time on your agenda to discuss this technology. Why is it
8 so important to us, you may ask. This slide may look
9 familiar. We've presented it a couple of times to
10 illustrate the way in which our vehicle fleet will need to
11 rapidly transition to electric drive in order to meet an
12 80 percent reduction in greenhouse gas emissions by 2050,
13 as Mr. Goldstene alluded to in his opening remarks.

14 This graph shows a fleet mix scenario that has
15 changed the 80 percent reduction target. In this scenario
16 nearly all of the cars on the road are electric drive.
17 While we expect that battery electric vehicles and plug-in
18 hybrids can make up a good chunk of that fleet, in order
19 to reach the vast majority of the market fuel cell
20 vehicles with driving range and refuel times similar to
21 what we experience now with gasoline cars will be needed.
22 An introduction of those vehicles into the new car sales
23 market needs to begin in the very near future in order to
24 build the population to the level shown here.

25 So we feel it is important to relay to you the

1 status of this technology, as it plays such an important
2 role in reaching our climate change goals.

3 --o0o--

4 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

5 CHIEF BEVAN: So what has California been doing to support
6 hydrogen and fuel cell commercialization to date? We've
7 been a very active partner in hydrogen and fuel cell
8 commercialization since the late 1990s. With the
9 formation of the California Fuel Cell Partnership and the
10 California Stationary Fuel Cell Collaborative, we've
11 marked our commitment to working with our industry,
12 government, and energy provider partners to pave the way
13 for fuel cells and hydrogen markets. These organizations
14 formed to share information across stakeholders, remove
15 road blocks and work together to facilitate preparation of
16 California as a leading market for fuel cells and
17 hydrogen.

18 Our more tangible contribution in the last five
19 years has been our investment in hydrogen infrastructure.
20 Starting with the development of California's hydrogen
21 highway network plan in 2004 and culminating in the
22 funding of 9 stations by the Air Resources Board and 12
23 stations by the CEC so far, the state has demonstrated a
24 commitment to establishing a critically needed,
25 efficiently distributed, and publicly accessible network

1 of retail hydrogen stations. The state's investment in
2 hydrogen infrastructure totals \$35 million to date.

3 --o0o--

4 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

5 CHIEF BEVAN: This slide shows the cluster approach to
6 developing the hydrogen infrastructure network, with a
7 focus initially on the western portion of the greater Los
8 Angeles region and the beginnings of station deployment in
9 the San Francisco Bay Area and Sacramento. These clusters
10 support the automakers' marketing plans for consumer
11 placements of vehicles now and in the near term. And
12 today's showcase will hopefully provide you with a sense
13 of how this nascent network will need to grow and how real
14 the cars are that will make use of it.

15 As you will no doubt hear from our presenters,
16 this network is a start, but only a start, to what will be
17 needed to support full commercial rollout of hydrogen fuel
18 cell vehicles.

19 --o0o--

20 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

21 CHIEF BEVAN: We're taking the opportunity now to update
22 you on hydrogen and fuel cells because coming in November
23 our Advanced Clean Cars Regulatory packages will have
24 several components that include hydrogen and fuel cells in
25 the compliance mix.

1 First, the Zero Emission Vehicle Amendments
2 package will be proposing increases to the volume
3 requirements for ZEVs, with expectations that the mix of
4 technology used to meet pure zero emission vehicle
5 requirement will rely heavily on fuel cell vehicles in the
6 outer years of the program. Our goal for the requirements
7 is to reach the technology cost reductions achieved
8 through volume production by 2025.

9 Second, the Clean Fuels Outlet regulation will be
10 amended to better incorporate fuels used by ZEVs,
11 especially hydrogen. The Clean Fuels Outlet is a
12 regulation which requires the installation of alternative
13 fueling outlets when a specified number of alternative
14 fuel vehicles reaches the market. This acts as a
15 backstop, ensuring that new fuel is available to support
16 emerging alternative fuel vehicles.

17 --o0o--

18 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH
19 CHIEF BEVAN: The program we've laid out for you today
20 will be a series of panels covering introductory
21 groundwork on energy and environment, stationary
22 applications, fuel cells used in motor vehicles, and
23 infrastructure. Each panel will be seated up here with me
24 to give their presentations. And at the end of each panel
25 session, hopefully we'll have time for questions and

1 answers.

2 At the conclusion of our last panel, we'll move
3 to a tour of exhibits outside in the courtyard downstairs
4 where we will be able to see examples of the technologies
5 being presented.

6 --o0o--

7 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

8 CHIEF BEVAN: So without further cutting into our agenda
9 of expert speakers, I will now turn the presentation over
10 to our first introductory panel. We will hear from our
11 sister agency, the California Energy Commission, about how
12 hydrogen plays in California's energy future; from our
13 colleague in the NGO community, who will share our
14 perspective on fuel cells and hydrogen from a renewable
15 energy and overall system efficiency standpoint; and from
16 our research partner at UC Davis to provide an overview of
17 how hydrogen stacks up environmentally compared to other
18 motor vehicles fuels.

19 So we'll start with a presentation from
20 Commissioner James Boyd from the California Energy
21 Commission.

22 CEC COMMISSIONER BOYD: Thank you, Analisa.

23 Good morning --

24 CHAIRPERSON NICHOLS: Good morning. No stranger
25 to the Air Resources Board.

1 CEC COMMISSIONER BOYD: -- Chairman Nichols and
2 Board members. It's great to be back, and I appreciate
3 the invitation to participate in this showcase of
4 stationary mobile applications.

5 And thank you for recognizing the role that the
6 Energy Commission plays in this arena. As most of us
7 know, our two agencies are literally joined at the hip -
8 energy, air quality energy, environment energy, climate
9 change, you can't separate them. So we spend long hours
10 and the staff spend long hours working together on a
11 variety of issues.

12 But it's particularly pleasing for me to be here
13 and hear about this technology, which of course I followed
14 as a member of the staff of the Air Board long ago. And
15 So I'm personally pleased to see progress in the
16 development of what many of us consider the ultimate clean
17 fuel.

18 I'm giving only an oral presentation. I hear
19 today -- well, I've seen advanced previews of some of the
20 presentations and I knew the subject would be very
21 thoroughly covered. I may choose to provide you some
22 additional information because in five minutes I couldn't
23 possibly tell you all that the Energy Commission has done
24 down through the years in the fuel cell area. But I'll
25 comment on some overarching policies from an energy

1 perspective that certainly touch on some of our role in
2 hydrogen.

3 In many ways the development and use of hydrogen
4 are centered on energy either as a fuel or, as many
5 believe, as an electricity source, one way or another;
6 which will explain why the Energy Commission has had and
7 continues to have a fairly significant role in this area.

8 As a fuel, we see and have seen hydrogen as a
9 major long-term contributor to displacing petroleum in the
10 2020 to 2050 time frame and helping us achieve energy
11 diversity goals adopted by both the ARB and the CEC.

12 We also see hydrogen as a significant option to
13 achieve reductions of greenhouse gases and criteria air
14 pollutants, something we've both worked on together for a
15 long, long time.

16 As an electricity source, we've added hydrogen to
17 the list of renewable electricity options for quite some
18 time. Now, to help achieve our 33 percent renewable
19 portfolio standard and even more so the idea that fuel
20 cells are expected to be a major component of our state's
21 distributed generation goals and program, particularly
22 since Governor Brown has really emphasized the role of
23 distributed generation in our electricity energy future.

24 And even though we are just seeing some of the
25 earlier stages of development, we've seen lots of and paid

1 for lots of research and development. We're now seeing
2 demonstration and deployment of fuel cell technology. We
3 expect hydrogen fuel and electricity projects will produce
4 many of the high technology jobs that this state is noted
5 for, and we certainly look forward to those opportunities.

6 The Energy Commission has two main tracks for
7 hydrogen work, stationary and mobile source. I'll start
8 off with mobile source since it's perhaps more familiar.
9 And of course we've been a player with your agency for
10 quite sometime in the fuel cell partnership, managing some
11 of the programs and always participating as a charter
12 member of that activity. And, finally, after years of
13 collectively working together, succeeded in seeing AB 118,
14 the so-called Alternative Fuels and Vehicle Technology
15 Program, passed a few short years ago to provide money to
16 the Energy Commission and the Air Resources Board to
17 invest in alternative fuels and vehicle technology for our
18 future.

19 The Energy Commission has made some substantial
20 awards and plans to do more, \$16 million awarded, to
21 develop the first-phase hydrogen fueling station network
22 at eleven sites in southern California, the San Francisco
23 Bay Area, and in Sacramento. One of the projects of
24 course was for the transit station at AC Transit In The
25 Bay Area. And it'll be used to fuel 12 hydrogen buses in

1 the Bay Area.

2 An additional \$18 million has now been allocated
3 and awarded, and this fall we expect to see these dollars
4 expand the network to create the foundation for the 50,000
5 hydrogen vehicles that are promised by 2015.

6 Many of the infrastructure installers and
7 operators who receive these funds, I note, are here to
8 speak to you today. So you will be thoroughly briefed on
9 those subject areas.

10 The CEC signed a \$4 million agreement with the
11 California Department of Food and Agriculture's Division
12 of Weights and Measures to create a standard to dispense
13 fuel and allow fueling stations to sell the fuel. And we
14 all anxiously await for that project to be completed.
15 It's underway. We hope to see the results next year.

16 Hydrogen projects are also eligible under the 118
17 program and funds have been allocated for medium-duty and
18 heavy-duty vehicles in engine prototype development. And
19 vehicle and component plant manufacturing plants are also
20 eligible for these dollars, leading to my comment about
21 jobs in our future.

22 I would like to note that the Energy Commission's
23 Public Interest Energy Research Program, or PIER Program
24 as we know it, which is before the Legislature for
25 reauthorization we all hope, has long funded analyses and

1 development of stationary hydrogen fuel cell projects,
2 including work at a host of demonstration sites and
3 objectives to improve power density and a variety of
4 applications in the electricity area.

5 I guess I'm done.

6 One last comment, if I might. Bioenergy and
7 biopower are now a big issue for all of us - biofuels,
8 biopower, all within the framework of bioenergy. These
9 are major activities that the CEC, and for me personally,
10 and the idea of renewable energy for hydrogen is a major
11 objective of ours. We are suddenly seeing a huge interest
12 in distributed generation of small fuel cells as back-up
13 generation for lots of activities. As a result of federal
14 requirements that fuels -- that cell tower operators and
15 railroads and light rail systems have back-up systems,
16 they're all turning to us suddenly for fuel cells and
17 renewable hydrogen, and we are about to launch some
18 significant programs there.

19 And in closing, I would just say the PIER Program
20 has done incredible amounts of work on road maps for
21 stationary fuel cells, advanced fuel cells, and of course
22 supported as long as we legally could the vehicle arena.

23 So thank you for this opportunity. And I
24 continue to look forward to working with this agency for
25 my remaining six months on this topic. But I know the

1 agency will continue to work in cooperation as we have for
2 years.

3 CHAIRPERSON NICHOLS: Thank you very much,
4 Commissioner Boyd. It has been a long-term partnership,
5 as you say, with the Energy Commission providing more than
6 its fair share of the funding and probably taking more
7 than its fair share of the heat for any opposition that
8 was out there. But I think it's -- without, you know,
9 dwelling on that aspect of it too much, I think it's a
10 really good example of how a long-term commitment from a
11 policy perspective to try to look for ways in which we can
12 partner in finding technologies that will meet our policy
13 needs has really paid off. And obviously that's the point
14 of today's showcase, is to let people see some of the
15 examples of things that are coming to the floor.

16 So I just want to thank for taking your time on
17 short notice to come and be with us this morning and for
18 your leadership on this issue. Thanks a lot.

19 CEC COMMISSIONER BOYD: Thank you.

20 CHAIRPERSON NICHOLS: Analisa, are you going to
21 introduce our next speaker,

22 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

23 CHIEF BEVAN: Yes, I am.

24 CHAIRPERSON NICHOLS: Okay, great.

25 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

1 CHIEF BEVAN: Our next speaker is John Shears from the
2 Center for Energy Efficiency and Renewable Technology.

3 MR. SHEARS: Good morning, Chair Nichols and
4 members of the Board. Thanks for the opportunity to speak
5 today on our hope for the future -- continuing future with
6 hydrogen and the fuel cells.

7 So just make sure my technology works here.

8 --o0o--

9 MR. SHEARS: So in feeding off Commissioner
10 Boyd's remarks, I here thought it would be useful to just
11 show the potential resource and the potential for
12 synergies on renewable biogas. And we at CEERT are very
13 excited about, you know, the opportunities to potentially
14 leverage this very substantial resource here in California
15 for use in fuel cells. This is also very compatible with
16 Governor Brown's initiative seeking to have 12,000
17 megawatts of distributed generation deployed -- renewable
18 generation, distributed generation deployed in California
19 by 2020.

20 --o0o--

21 MR. SHEARS: I won't belabor the benefits of
22 fuel cells except to, you know, highlight the fact that
23 from renewable resources of course we get near zero CO₂
24 emissions. We're always leery about always claiming zero.
25 But functionally close enough to zero on CO₂ emissions.

1 And of course the great, great air quality benefits that
2 come from the use of fuel cells. And I know under our SIP
3 challenges there's hope for opportunity where fuel cells
4 may help fill in for some of the black box emissions
5 reductions the Board and air districts are seeking.

6 --o0o--

7 MR. SHEARS: So we at CEERT like to think of fuel
8 cells as a family of technologies and are thinking about
9 how to build an ecosystem around fuel cells. And as it
10 turns out, we have a very fine example right now with the
11 Orange County Sanitation District. And I understand Dr.
12 Samuelsen will be talking more extensively about this
13 later today. But this is an example where we can take
14 advantage of the synergies where we have biogas resources
15 available to use to generate power so we don't need to
16 build new capacity on the broader grid and also use
17 surplus biogas to generate renewable hydrogen from which
18 we can also fuel fuel-cell vehicles.

19 --o0o--

20 MR. SHEARS: So indeed, besides this just being a
21 concept, this project is actually up and running as of
22 this spring and is in fact generating power and producing
23 hydrogen for the fueling of vehicles.

24 --o0o--

25 So speaking of vehicles, you know, CEERT and many

1 of the NGOs who work on clean transportation are strong
2 supporters of fuel cell vehicles, while also being strong
3 supporters of battery electric and various forms of
4 plug-in electric vehicles.

5 We see fuel cells as having an important part to
6 play because they have applications that, you know, we can
7 see as being more directly linked to conventional
8 approaches to personal transportation for the time being.
9 And also in the medium and the heavy-duty sectors, fuel
10 cells are more amenable to use in long haul transport.

11 Battery electrics have more compromise capacity
12 at the moment, so they're more amenable to smaller,
13 lighter vehicles; shorter trips; more suitable probably to
14 dense urban environments. But that's not to say that
15 batteries don't also have a role to play, and applications
16 are being developed in the medium and heavy-duty sectors;
17 and, in fact, in the South Coast there's work underway on
18 drayage classic-type trucks.

19 But certainly fuel cell vehicles in the long run
20 we feel have an important role to play and we can see a
21 clearer path for more conventional applications of fuel
22 cells, you know, setting aside the challenges that we face
23 with the infrastructure.

24 --o0o--

25 MR. SHEARS: So the infrastructure still remains

1 a challenge. CARB has funded fueling stations in the
2 past. The AB 118 program through Energy Commission is
3 continuing to do that now. And what we hope for in the
4 future is that both the CEC through the AB 118 program can
5 build the infrastructure to help create the market
6 conditions suitable to help with the implementation of the
7 clean fuels outlet regulation once that is finally
8 formulated and put into implementation.

9 So we look forward to working together with both
10 California Air Resources Board and the Energy Commission
11 to develop a comprehensive approach to expedite
12 infrastructure in support of the 2015 to 2017 deployment
13 especially of the large numbers of passenger vehicles
14 coming into California.

15 Thank you.

16 CHAIRPERSON NICHOLS: Thank you.

17 Any questions at this point?

18 We'll let you all finish the presentations, I
19 guess. Thanks.

20 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

21 CHIEF BEVAN: Thank you, John.

22 Our next speaker is Dr. Joan Ogden from the
23 Institute of Transportation Studies at UC Davis.

24 DR. OGDEN: Thanks, Analisa.

25 (Thereupon an overhead presentation was

1 presented as follows.)

2 DR. OGDEN: Let's see. I'll go to my first slide
3 here.

4 I'm going to talk a little about the
5 environmental performance, especially with respect to
6 greenhouse gas emissions for hydrogen fuel cell vehicles
7 and compared to several other alternatives.

8 --o0o--

9 DR. OGDEN: One of the interesting things about
10 hydrogen, like electricity, you can make it from lots of
11 different things. And this gives a lot of diversity of
12 supply. Just, for example, renewables like wind or solar
13 or can be used to electrolyze -- power electrolyzers to
14 make hydrogen. You can make hydrogen from a variety of
15 biomass roots, including the biogas root that John
16 mentioned, but also gasification. Also make it from
17 fossil fuels, natural gas, which is the most common way
18 that hydrogen's made today. About over 90 percent of the
19 hydrogen in the U.S. comes from that. Or you could even
20 use nuclear electrolysis.

21 --o0o--

22 DR. OGDEN: So the energy use depend on which
23 pathway you choose for hydrogen. All of them are not
24 equal. And what we really are interested in in the
25 vehicle applications is looking well to wheels. So we

1 have a zero emission vehicle with hydrogen. That would
2 also be true for electric. So we have to look at all the
3 upstream emissions. So you count all the emissions and
4 energy use involved in energy extraction, let's say in
5 this case producing natural gas, moving that to a hydrogen
6 production plant, producing the hydrogen, and trucking the
7 hydrogen to a fueling station and using it.

8 So I'm going to now present some comparisons on
9 this well-to-wheel basis, comparing hydrogen to other fuel
10 vehicle pathways. So the hydrogen fuel cell vehicle to
11 some other fuel vehicle pathways.

12 --o0o--

13 DR. OGDEN: This is a pretty complicated slide,
14 and probably study that later on. But there are a couple
15 of things I wanted to emphasize. I don't know if I have a
16 pointer here.

17 Well, but anyway. Up in the top of this bar we
18 have some -- we have conventional internal combustion
19 engine vehicles - gasoline vehicles and natural gas
20 vehicles.

21 Moving down we get more electrified. We have
22 hybrid electric vehicles, things like Prius or the other
23 hybrids that we have.

24 And then plug-in hybrids and battery electrics.

25 And then finally at the bottom fuel cells.

1 And these are well-to-wheels calculations that
2 were carried out by the Department of Energy, counting up
3 all the emissions and making, producing and using the
4 fuel. So some of these like gasoline of course have
5 tailpipe emissions. But hydrogen or electricity battery
6 cars, it's just the emissions upstream of the vehicle.

7 And we find some interesting things when we
8 compare this. And I'm going to go to the next slide where
9 I'll just kind of say in words some of the highlights from
10 this slide. I also sent I guess to Analisa the back-up
11 material, and there's a website there if people want to
12 look at the assumptions more.

13 --o0o--

14 DR. OGDEN: Interestingly, if you make hydrogen
15 from natural gas, which is the most prevalent way it's
16 made today, you would reduce greenhouse gas emissions
17 something like 40 to 55 percent compared to a gasoline
18 internal combustion engine in a comparable car of a
19 comparable size.

20 If you go to a hybrid -- gasoline hybrid, the
21 fuel cell's from natural gas, it's probably 10 to 20
22 percent lower greenhouse gas emissions well to wheel, and
23 maybe 15, 25 less than a CNG vehicle.

24 So the point being is even with hydrogen made
25 from natural gas, which is a fossil fuel, you still get a

1 significant reduction in greenhouse gas emissions well to
2 wheels.

3 If we compare now some of the other options on
4 the chart, if we look at -- let's assume we are using the
5 U.S. grid mix and the hydrogen from natural gas, battery
6 EVs would have similar well-to-wheels emissions to
7 gasoline hybrids and somewhat greater -- a little bit
8 greater than hydrogen fuel cells. So that's kind of the
9 average U.S.

10 If you take California's lower carbon grid mix,
11 lower carbon electricity, then the well-to-wheels
12 emissions with battery EVs are a little bit less than
13 hydrogen fuel cells. But it's higher -- but if you made
14 hydrogen biomass, the emissions would be higher for the
15 EV.

16 So the pathways, you need to compare them
17 carefully.

18 --o0o--

19 DR. OGDEN: But now going a little bit further
20 into the future. Just one point is that the emissions
21 from EVs depend on the grid mix. This is a graph that was
22 put together at MIT and it shows -- up top there we see
23 California and U.S. grid mixes. And we're comparing the
24 greenhouse gas emissions per kilometer for different
25 options.

1 Unless you substantially decarbonize from where
2 we are at the average U.S. now, the average U.S. mix,
3 which is the endpoint, you don't get much benefit with
4 electric vehicles versus gasoline hybrids. So you really
5 need to go to a lower carbon grid to get the full benefit.

6 --o0o--

7 DR. OGDEN: That's also true for hydrogen. So
8 the greenhouse gas emissions depend on the primary energy
9 source. For fuel cells the emissions depend on the source
10 of hydrogen. For electric vehicles, they depend on the
11 source for electricity. Both EVs and fuel cell vehicles
12 could reach near zero well-to-wheels emission in the
13 longer term if you make them from low carbon primary
14 energy sources like renewables, for example, wind, solar,
15 biomass, or fossil with carbon captured sequestration. It
16 will take some time to decarbonize those primary sources,
17 that is, to move to a lower carbon grid and to implement
18 lower carbon hydrogen.

19 --o0o--

20 DR. OGDEN: I'm going to just show, since I don't
21 have much time left, this is from a study by the Electric
22 Power Research Institute and the National Resources
23 Defense Council, showing a reasonable trajectory for
24 decarbonizing the grid in the U.S. And by 2050 you could
25 probably cut this by two-thirds from where we are now or

1 maybe even more.

2 --o0o--

3 DR. OGDEN: Here's a similar thing for hydrogen.
4 This is based on a National Academy study. We show early
5 supply of hydrogen from natural gas because that's the
6 lowest cost way to make it. And in future supply you
7 bring in biomass and other renewables. And again you
8 could get this two-thirds reduction.

9 One more slide.

10 --o0o--

11 DR. OGDEN: This is a scenario for low carbon
12 hydrogen in California that was done by my colleague,
13 Chris Yang, at Davis and myself. Here we look at
14 initially -- the little blue area in the bottom is natural
15 gas. That's how we get started. Then we phase in
16 hydrogen from biomass and hydrogen from electrolysis with
17 low carbon sources. And the black line shows the
18 greenhouse gas emissions' intensity.

19 So you start out with a system that would be
20 maybe a roughly 50 percent reduction from a gasoline
21 vehicle. But you can go to very low by 2050 and even by
22 2030 according to this scenario.

23 So bottom line is there's a potential to go very
24 low emissions with hydrogen and also electric.

25 Thanks.

1 CHAIRPERSON NICHOLS: Thank you.

2 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

3 CHIEF BEVAN: We now transition.

4 CHAIRPERSON NICHOLS: Well, let's not.

5 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

6 CHIEF BEVAN: Oh, sorry. Questions. Sorry.

7 CHAIRPERSON NICHOLS: Let's give the panel a
8 chance to answer a few questions, or comment if anybody
9 has any.

10 Yes, I think there are a couple of us do. So why
11 don't I start with you.

12 BOARD MEMBER D'ADAMO: I'd like to get some
13 information on cost and economy of scale, not just for
14 vehicles but distributed generation; and then also for the
15 production of electricity, looking at the fuel source
16 issue; and, you know, how many of these need to be built
17 before the cost comes down.

18 MR. SHEAR: I think probably our next panel --
19 some of the folks on our next panel will probably have a
20 better sense of being able to answer those questions. I
21 was aware that that question would be raised. But I think
22 Katrina on the next panel is -- and the others, both on
23 the high temperature and low temperature fuel cells, would
24 probably be able the answer those questions.

25 CHAIRPERSON NICHOLS: Dr. Sperling.

1 BOARD MEMBER SPERLING: Yeah, I wanted to make a
2 comment, you know, partly to reflect to a comment you
3 made, Chairman Nichols, that resonated with me; and, that
4 is, California really is a leader, and what we're doing
5 here is so important, you know. In the hydrogen fuel cell
6 area of course it's especially important because there's
7 been a faltering in Washington on this issue. But I mean
8 our position here is that we're biased -- if I can
9 slightly adapt your words, Chairman Nichols, we are biased
10 towards a low carbon future. And, you know, as we've
11 heard from the panelists, including my brilliant colleague
12 Joan Ogden - and I'm very pleased to have her here - you
13 know, we don't really know exactly how this future is
14 going to play out. We know electricity is going to play a
15 role. We know hydrogen's going to play a role. We know
16 biomass. And so the idea that we in California are taking
17 a role in supporting all of these and making sure that all
18 of them are part of the solution is so important. And,
19 you know, the world is watching what we do here.

20 And so it's just wonderful to see this panel, and
21 I'm really looking forward to the industry because, as we
22 just heard, cost is so important in the commercialization
23 plan. And it's so important that we in California support
24 industry in making those investments. And so, you know,
25 we're here as a partnership, and that's why it was great

1 to have Jim Boyd here reflecting the partnership with the
2 Energy Commission. And I would point out in the past that
3 South Coast Air Quality Management District has played,
4 you know, a very important leadership role in getting fuel
5 cells going, especially when our former Chairman was
6 playing a leadership role there, Allen Lloyd.

7 So this is wonderful. This is beautiful. I love
8 it.

9 CHAIRPERSON NICHOLS: All right. That's great.

10 I have a question for any of the panelists, if
11 you'd care to comment. Because I see that the structure
12 of our presentation today reflects, you know, really a
13 bifurcation that we have between the stationary and mobile
14 source applications of fuel cells, which reflects sort of
15 the way we deal with everything in this business, it
16 seems, in terms of looking at air pollution sources and
17 greenhouse gas emissions. There's a stationary world and
18 there's a mobile world. And fuel cells are fuel cells.

19 And I guess my question for you is, if anybody
20 would care to comment on it, do you see synergies between
21 these two programs and are there ways that we could
22 benefit from a more integrated approach perhaps than we
23 have today to get more bang for the buck, if you will, for
24 our fuel cell program.

25 Anybody care to --

1 CEC COMMISSIONER BOYD: Looks to me like we all
2 want to comment on this one.

3 CHAIRPERSON NICHOLS: Oh, okay. Good.

4 CEC COMMISSIONER BOYD: I'm going to disagree
5 slightly with you that fuel cells are fuel cells. That's
6 not -- fuel cells are fuel cells, but the technology of
7 fuel cells and the fuels approach are different.
8 Stationary and mobile fuel cells tend to use different
9 technologies for that reason.

10 Stationary -- mobile fuel cells are really
11 brutalized in the field by drivers in vehicles, and so
12 they have to be incredibly robust. And so there's been a
13 particular approach in that arena.

14 Stationary fuel cells are just that, stationary,
15 and usually not subject to the kind of motion and abuse
16 that motor vehicles are subject to.

17 So there have been different approaches.

18 But there have been and continue to be synergies,
19 you're right on that point exactly. And in terms of the
20 fuel source, that's where we come together. I mean as you
21 saw from Professor Ogden's presentation, they all need
22 hydrogen. And so where we get the hydrogen from is what
23 we're all working on. And it may differ for the different
24 applications, depending upon location and what happens to
25 be in close proximity.

1 Biogas comes from lots of different sources and
2 it may be better for stationary than for mobile
3 applications unless it ends up just in the pipeline with
4 natural gas. And, thus, you have a renewable component of
5 what we call natural gas or methane, in any event.

6 So those are my comments. I think there's others
7 coming in.

8 DR. OGDEN: I think with use of hydrogen it opens
9 up some new interactions between the transportation sector
10 and the electric sector.

11 One example is what you might call a
12 tri-generation system. You start with a feedstock, could
13 be biogas or natural gas, and you can reform that and then
14 produce heat and power for building and also produce some
15 hydrogen for vehicles. And I think this kind of setup is
16 actually being used in the Fountain Valley station.
17 That's an intriguing way of getting started or for certain
18 applications.

19 So I think it opens a whole kind of new
20 cross-talk between those two sectors in the energy system.

21 MR. SHEARS: Yeah, and I agree. I mean they're
22 different technologies, a proton/electron membrane for
23 vehicles and a molten carbonate and solid oxide,
24 phosphoric for a stationary generally.

25 But certainly the reason I want to, you know,

1 propose us looking at this Fountain Valley project as we
2 move forward, especially now that we have the context of
3 the Governor's distributed generation goals, I think, you
4 know, I want to explore -- you know, I've talked briefly
5 with Mike Tollstrup up at staff and the Energy Commission
6 about thinking about how we could road map to sort of
7 maximize these opportunities. Right now, there may be
8 some, you know, fairly obvious sweet spots. But we need
9 to also be thinking, you know, where things are going to
10 be 10, 15, and 20 years down the road.

11 So the synergies aren't necessarily just the
12 immediate synergies, but be thinking about how we can
13 incorporate, you know, future synergies into our thinking
14 and our planning.

15 CHAIRPERSON NICHOLS: Thank you.

16 Others?

17 Yes.

18 BOARD MEMBER BERG: Could you comment for us, and
19 on the layman's side of the comments, please. My
20 recollection when we were looking at the last ZEV and
21 talking about the future, that battery technology was a
22 little further but in the end game probably not the
23 answer, that fuel cells looked more promising for the
24 endgame. In the last couple of years, how do you see the
25 technology moving forward? Obviously you're encouraged

1 that fuel cells is making great strides. But how do you
2 see that moving forward in a way towards
3 commercialization? And do you have a feel for what type
4 of time frame?

5 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

6 CHIEF BEVAN: I can take that.

7 I think we'll hear from our panel number three,
8 the automakers. I previewed their presentations and
9 talked with them, and they're going to give you kind of a
10 technology portfolio presentation that shares how battery
11 electric vehicles, plug-in hybrids, hybrids, other
12 advanced technologies and fuel cells all play and the way
13 in which they interact together to meet our goals long
14 term.

15 I think you're right, that our presentation in
16 2009, which talked about battery electric vehicles coming
17 to the market faster in specific applications but that
18 long term we saw fuel cell vehicles perhaps being more
19 cost effective, still holds. But the battery electric
20 vehicles will fulfill a specific niche, as John mentioned,
21 the smaller vehicle applications, shorter range trips,
22 maybe urban environment; where fuel cells have a better
23 role to play in the larger format vehicles and meeting
24 longer range needs.

25 So really to transition our entire vehicle fleet,

1 we have to have technologies that meet all the different
2 needs of our vehicle users. And so battery electrics and
3 fuel cells both play.

4 BOARD MEMBER BERG: And then how about in the --
5 I know I said the ZEV program. But also how about in the
6 stationary source arena then?

7 CEC COMMISSIONER BOYD: Let me comment first
8 on -- Analisa used the magic word that I would use and
9 want to amplify and, that is, portfolio. And I want to
10 make it a diversified portfolio.

11 It is the policy of the Energy Commission and the
12 energy area in total to strive for and look for a
13 diversified portfolio of technologies and fuels; and
14 therefore, her comments were appropriate. There are
15 different niches for pure battery electric vehicles, for
16 hybrid electric vehicles that utilize batteries, and for
17 fuel cell vehicles.

18 And in the stationary or electricity generation
19 arena, there remains the same diversified portfolio. It's
20 a little more obvious with solar and wind and hopefully
21 more biomass in the future; natural gas, as we know it
22 today, being supplemented with renewable natural gas. And
23 we're looking to take advantage of some of the activity in
24 the vehicle area to help us in the electricity area.

25 One of the important things -- one of the

1 problems we deal with in electricity is the intermittency
2 of wind and solar, and we need energy storage. And
3 there's multiple approaches, batteries being one of those
4 approaches. And we have a very large research project
5 underway - ITS Davis is involved in it - with regard to
6 how to use spent vehicle batteries as energy storage
7 devices, maybe even in our homes eventually to absorb some
8 of the home-based distributed generation that may be
9 facilitated in the future.

10 So there are lots of synergies, lots of
11 possibilities of crossover here. And it just drives home
12 even more than in the past the absolute necessity, rather
13 than desirability, the absolute necessity of our agencies
14 working together in this arena to look for and discover
15 these synergies earlier rather than later.

16 MR. SHEARS: You know, I noted on one of my
17 slides that McKenzie & Company, one of the leading
18 international consultants that works in this area, did a
19 report where they noted on the vehicle side moving out
20 towards 2020 they expected that the costs -- total costs
21 for all of the vehicles, battery, fuel cells, advanced
22 conventional - because conventional vehicles are going to
23 get even more sophisticated technologically going forward
24 - those costs of producing those vehicles are expected to
25 converge.

1 Right now, batteries are the most expensive
2 component in a battery electric and plug-in hybrid
3 electric vehicle. So batteries in some ways face similar
4 challenges that, you know, engineers are working on for
5 fuel cells in terms of - and I note that on one of my
6 slides as well - in terms of getting the weight down,
7 reducing the cost, enhancing -- you know, improving the
8 durability.

9 Batteries and fuel cells actually were born
10 technologically around the same time, in the mid-1800s.
11 And in fact they're related electrochemical technologies.
12 And a lot of the approaches that are looking to increase
13 the power of batteries actually make -- if they work,
14 would make batteries look more like fuel cells. So there
15 are a lot of parallels that are going on. I'm sure that
16 the follow-up panel that talks about that, they'll be able
17 to speak a little more about some of the developments in
18 those areas.

19 BOARD MEMBER BALMES: I have one naive question
20 that you prompted when you were talking about the
21 differences in technology in terms of fuel cells for
22 stationary purposes versus vehicle purposes. Could you
23 amplify, and again in layman's terms, the basic
24 differences in those technologies?

25 MR. SHEARS: Probably it would be -- it might be

1 better to have one of the other panels speak to that.

2 BOARD MEMBER BALMES: That would be fine.

3 MR. SHEARS: Broadly, for vehicles, they're the
4 class of technology that is used uniformly now for fuel
5 cell vehicles.

6 And on the stationary side they use different --
7 I'm trying to avoid -- they use the key component that
8 allows you to derive the electricity from the hydrogen.
9 That component, which is either -- you know, they use a
10 different catalyst, let's use that phrase, whether they're
11 using high temperature molten carbonate or a phosphoric
12 acid or what's known as a solid oxide fuel cell. It's
13 using a different approach in terms of how it's generating
14 electricity from the hydrogen feedstock.

15 There was a time early on where they were playing
16 around with solid oxides in vehicles. But pretty much all
17 of the vehicle manufacturers have moved away from that
18 technology application for vehicle use.

19 DR. OGDEN: If I could just add something quickly
20 to that.

21 One of the characteristics of different kinds of
22 fuel cells is they have different electrolyte materials
23 and, you know, cycles, but they also operate at different
24 temperatures. So the ones that you use on vehicles tems
25 are actually called low temperatures fuel cells, and they

1 may be around 100 C, plus or minus. But some of the
2 others operate at much higher temperatures, and that's
3 more suitable for power generation and maybe other --
4 adding other cycles, molten carbonates and solid oxide.

5 CEC COMMISSIONER BOYD: You know, one of the
6 things we get from these high temperature fuel cells used
7 in stationary applications is the possibility of gaining
8 other uses from the high temperature, combined heat and
9 power or combined cooling, heat and power - very strong
10 possibilities - and actually there are demonstrations of
11 those going on right now.

12 BOARD MEMBER SPERLING: Let me put some of this
13 in perspective though. You know, it would be incredible
14 hubris for any of us as regulators, academics, advocates
15 to say we know what 2050 is going to be like, what
16 technologies are really going to be in place. And, you
17 know, I think the important lesson for ARB or policymakers
18 is to make sure that we are supporting and encouraging and
19 incentivizing those technologies that are promising. But
20 we don't really know, you know. We have some idea. We
21 keep learning every year, you know. We know more. We
22 know more since the 2009 review. We'll know more next
23 year.

24 But, you know, we do know that fuel cells and
25 hydrogen will be part of the solution. We do know that

1 batteries and electricity will be part of it. We know
2 biomass -- biofuels will be. We don't know how much of
3 each in different regions and different technologies. And
4 so, you know, I just want to not get us ourselves too
5 caught up in trying to predict the exact future or pick
6 winners or losers at this point. We've done a good job of
7 I think screening out a lot of losers and -- but we've
8 still got a big list of, you know, potential winners.

9 So we don't know what the costs are going to be.
10 We don't know, you know, the performance of these
11 technologies. There's lots of exciting opportunities.

12 So I want to make sure that we don't start
13 thinking that we're so smart that we're going to figure it
14 all out here. And certainly when we hear from industry, I
15 know that more thoughtful people in industry are going to
16 say the same thing. And their challenge is they're making
17 investments. And so our role is to make sure that we
18 support, you know, investments that do lead to reducing
19 oil use, reducing pollution, reducing greenhouse gases.

20 CHAIRPERSON NICHOLS: Thank you. That's a very
21 good segue to the next panel.

22 Thank you all so much for coming and getting us
23 started this morning.

24 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

25 CHIEF BEVAN: We'll turn now to our second panel,

1 stationary fuel cell applications. In this panel we'll
2 hear about how stationary fuel cells are being used in a
3 wide variety of applications, small and large, and wrap up
4 our session with a case study of fuel cell units placed in
5 a retail grocery setting.

6 And I will say a huge thank you to all of our
7 speakers today. We had a Herculean effort to bring
8 together all of these panels. And, unfortunately, we had
9 one speaker unable to get from North Carolina out here.
10 His flight just got canceled. And so I will thank you,
11 Katrina, in advance for giving his presentation as well as
12 your own.

13 And we will get started with Katrina
14 Fritz-Intwala from UTC Power.

15 (Thereupon an overhead presentation was presented
16 as follows.)

17 MS. FRITZ-INTWALA: Good morning. I'm Katrina
18 Fritz-Intwala with UTC Power.

19 CHAIRPERSON NICHOLS: Could you move the
20 microphone up closer to you. The system is -- yeah, thank
21 you.

22 MS. Fritz-Intwala: Better?

23 CHAIRPERSON NICHOLS: Great. Thanks.

24 MS. FRITZ-INTWALA: I'm Katrina Fritz-Intwala.
25 I'm with United Technologies Corporation. And the Power

1 Division is creating large stationary fuel cells,
2 transportation fuel cells as well. So today I'm going to
3 focus on the large distributed generation. I'm also chair
4 of the Industry Advisory Panel to the California
5 Stationary Fuel Cell Collaborative, which is co-chaired by
6 Mary Nichols and Dr. Scott Samuelsen from UC Irvine.

7 --o0o--

8 MS. FRITZ-INTWALA: So first, to talk about the
9 value proposition for large stationary fuel cells for
10 distributed generation. There's really three pieces to
11 this. There's the economic value, the technical value,
12 and the environmental value.

13 So where there is a high spark spread or there's
14 a high cost of electricity, low cost of natural gas today,
15 fuel cells play very well. They can achieve up to 80 to
16 90 percent efficiency using these large stationary
17 systems, as John Shears was talking about, in combined
18 heat and power applications as well as combined cooling,
19 heat and power. And I'll explain a little more about that
20 in the next presentation.

21 So right now the customers, if they see about
22 three to five-year payback, this will make sense for them
23 to invest in fuel cells.

24 Additionally, fuel cells can run in back-up power
25 mode. So they can produce the power and heat for a

1 facility, for a building. I'll show you some of the
2 different sizes of those systems today. But another
3 economic value is that they will maintain that critical
4 load for those businesses that are using these today.

5 And also there are emergency shelters or places
6 like schools that can serve as emergency shelters that are
7 required to maintain those power loads.

8 The environmental value. As you know, in California
9 especially, with a lot of your goals related to AB 32,
10 fuel cells can contribute greatly to the reduction in
11 emissions. They are virtually pollution free. There is
12 zero water consumption in producing power from a fuel
13 cell. And they also are being used in LEEDs buildings
14 around the country as part of the LEED certification.

15 --o0o--

16 MS. FRITZ-INTWALA: So now I want to tell you a
17 little bit about the different markets where these are a
18 good fit. So the fuel cells play well where there is a
19 24/7 demand for heat and power.

20 So 24/7 supermarkets. There's a lot more new
21 supermarkets being built that are a larger size, that are
22 open 24 hours. They have a very strong need to maintain
23 power so that there is no food spoilage in the event of an
24 emergency.

25 Bottling plants, which are high heat process.

1 And then mixed-use residential. So the
2 traditional sense of mixed-use residential where there is
3 a building that has residential units and retail
4 commercial space. But other buildings that operate like
5 that, like a hospital, a university dormitory, a prison, a
6 hotel, those are all also a good fit.

7 And then you can also use these for utility scale
8 generation moving multiple units together.

9 --o0o--

10 MS. FRITZ-INTWALA: So today we have 33 megawatts
11 of stationary fuel cells online in the State of
12 California. This is the commercial market for deployment,
13 because of the support from the State of California to
14 date. We've had great commercial traction at this point.
15 And those are really installations across the state in
16 various markets and industries.

17 --o0o--

18 MS. FRITZ-INTWALA: So the phosphoric acid power
19 plants. There's one at St. Helena Hospital in St. Helena.
20 These systems today have a 20-year system life, with a
21 10-year stack life. I think that's important to point
22 out. There has been a lot of progress technically to get
23 to this point where they can compete with other
24 technologies.

25 --o0o--

1 MS. FRITZ-INTWALA: Albertson's in San Diego,
2 which is a grocery store application.

3 --o0o--

4 MS. FRITZ-INTWALA: Cox Communications for their
5 office space and data centers.

6 --o0o--

7 MS. FRITZ-INTWALA: And Whole Foods Market in San
8 Jose, which I'll tell you more about later as well.

9 --o0o--

10 MS. FRITZ-INTWALA: The molten carbonate power
11 plants. Again, these are all the very high temperature
12 fuel cells. They're installed at Sierra Nevada Brewing
13 Company; a wastewater treatment plant in Tulare, which
14 this is a renewable fuel application installation; Cal
15 State Northridge; and the Sheraton Hotel in San Diego.

16 --o0o--

17 MS. FRITZ-INTWALA: And solid oxide power plants,
18 they're installed at eBay in Silicon Valley. These are
19 multiple hundred-kilowatt units ganged together for
20 multi-hundred kilowatt output. And Google in Silicon
21 Valley as well.

22 --o0o--

23 MS. FRITZ-INTWALA: So I quickly want to talk
24 about the Self-Generation Incentive Program in California,
25 which is a key policy enabler. This program was suspended

1 in January. And the Public Utilities Commission is
2 currently working to reinstate the program with a new
3 proceeding. But this has really hindered our commercial
4 progress in the State of California. This is very
5 important.

6 We had a lost traction. There were hundreds of
7 units being installed. And we have not been able to
8 proceed with customers this year without that California
9 incentive. So getting this back online quickly is very
10 important.

11 Additionally, the Emerging Renewables Technology
12 Program, which Commissioner Boyd referred to, is critical
13 for the small back-up power units as well in getting that
14 back online.

15 Thank you.

16 CHAIRPERSON NICHOLS: Thanks.

17 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

18 CHIEF BEVAN: Thank you, Katrina.

19 Our next presentation is from Mike Upp at
20 ClearEdge Power.

21 MR. UPP: Thank you.

22 It's a little bit like the Gong Show, right?

23 (Laughter.)

24 CHAIRPERSON NICHOLS: Yeah. That thing is
25 brutal, I know.

1 (Thereupon an overhead presentation was presented
2 as follows.)

3 --o0o--

4 MR. UPP: So I'm going to talk a little bit about
5 small scale or small footprint fuel cells. They go across
6 a wide array of applications and industries, a lot of
7 which Katrina referred to. But I think the one I would
8 point out is the Japanese model.

9 Literally there are over 10,000 about 1 kw fuel
10 cells installed in Japan providing combined heat and power
11 in distributed mode and -- sorry about that -- providing,
12 you know, across their whole country. And I think they've
13 done a very good job of mixing government and industry to
14 come up with a way to really quickly deploy these units,
15 and we're going to see that significantly grow.

16 Also small fuel cells would fall into the back-up
17 power for telecom towers, as someone was referring to
18 earlier; baseload heat and power; autos; and for forklift
19 applications.

20 --o0o--

21 MR. UPP: So from a real I guess what I would
22 call a primer on how a CHP small footprint fuel cell
23 works, simply takes natural gas into a fuel processor, it
24 re-forms that into hydrogen. That hydrogen then simply
25 goes through a series of membranes. People were talking

1 earlier about the difference. This is kind of a hybrid
2 technology between auto and the high-end like UTC fuel
3 cells. It's about 700 degrees centigrade in that
4 processor. And it's producing hydrogen that then goes
5 through a power inverter and is converted to DC power --
6 or, I'm sorry, to AC power. That AC power is then just
7 connected to someone's panel just like it was powered from
8 the grid. And then the heat, that is the byproduct, is
9 then put through a hydronic system and will heat domestic
10 hot water, space heating, radiant floor heating. Anything
11 you're going to use heat for, you can use the heat from
12 one of these small fuel cells.

13 --o0o--

14 MR. UPP: I think for this audience probably one
15 of the most important things I can talk about is what is
16 the impact on the environment. Now, doing a number of
17 these presentations, people always say, "Well, you guys
18 are not renewable. You run on natural gas." But the
19 reality is that if you look at a 5 kw combined heat and
20 power fuel cell, it's going to produce about 90 megawatts
21 of heat and power on an annual basis. To create that same
22 amount to the California grid, you're going to use about
23 6400 therms of natural gas and create 34 tons of carbon.
24 If you a use a 5 kw fuel cell, you're going to use about
25 3800 therms. And that is going to reduce your carbon

1 footprint by about 37 percent and your fuel cost compared
2 to the grid by about 40 percent.

3 --o0o--

4 MR. UPP: And if you look on a much grander
5 scale - and the way we like to think about this is kind of
6 the mid-game, not the endgame for us. But 20,000 5 kw
7 fuel cells would produce about 860,000 megawatts of power
8 and about a million megawatts of heat. And the impact on
9 the environment would literally be taking 240,000 tons of
10 carbon out of the environment and literally reducing NOx
11 and SOx to zero.

12 So, yes, it's not completely renewable today.
13 But the fact is that if you can reduce the carbon
14 footprint using this technology tomorrow, or even today,
15 and reduce it by 37 percent, it's a great step forward.

16 --o0o--

17 MR. UPP: I wanted to just take a minute here.
18 Somebody asked about costs earlier. I thought it would be
19 very good to be very upfront about what the real numbers
20 are today, and to also show you by using the same
21 customer's slide with SGIP and without SGIP.

22 This first example is with SGIP. You can see
23 that this customer is going to save about \$10,000 a year
24 by installing this in a high-end residential application.
25 And their payback is going to be about 4.9 years. And it

1 makes the net system cost to that customer with SGIP and
2 the federal tax credit of about \$60,000.

3 If you take SGIP out of the picture, it increases
4 that payback by about a year and -- well, let's say a year
5 and a third. Most customers today on technology
6 investments are looking for a payback of less than five
7 years. So the SGIP is definitely an enabling rebate to
8 the market, if you will, that was causing customers to
9 buy, and it's now got many customers paralyzed or
10 canceling orders. So I can't say enough to you about
11 encouraging you to help get that program back on line.

12 --o0o--

13 MR. UPP: I won't read all of this slide because
14 I've got 13 seconds left. But I would want to hit two
15 other things on here.

16 One is, on any energy generation at point of use,
17 we've got a number of pilot projects going with utility
18 companies today. And one of the reasons that they're
19 looking at using our technology is to reduce choke point
20 on the grids. So instead of having to dig new trenches to
21 lay high voltage lines to urban congestion points, they're
22 putting in fuel cell demonstration projects to prove that
23 they can deliver peak power at the point of use, which
24 fits right into the whole distributed generation that you
25 all are trying to prove here in California.

1 So with that, I'll just stop talking.

2 Thank you.

3 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

4 CHIEF BEVAN: Thank you.

5 Katrina is going to give our next presentation,
6 which is a case study.

7 (Thereupon an overhead presentation was presented
8 as follows.)

9 MS. FRITZ-INTWALA: Okay. So on behalf of Whole
10 Foods Market, who could not be here today, I want to talk
11 to you specifically about their installations in
12 supermarkets.

13 So this map shows you how we use the waste heat.
14 We use both the low grade heat for hot water - that also
15 is for heating a building - the high grade heat that comes
16 out of a fuel cell can be run through an absorption tiller
17 and it can be used for cooling, for refrigeration, and for
18 freezing. So it causes that greater overall system
19 efficiency. And we can get up to 90 percent system
20 efficiency with these fuel cells.

21 --o0o--

22 MS. FRITZ-INTWALA: And these are some benefits
23 that Whole Foods directly wanted me to express to you that
24 they have been seeing so far in using these fuel cells.
25 So as I said, they use the processed heat to the extent

1 internal hurdle, their required rate of return.

2 --o0o--

3 MS. FRITZ-INTWALA: So we looked at a leasing
4 option, so what is called an Energy Service Agreement,
5 which includes everything except for fuel. And what this
6 allowed us to do is structure this so that they had a
7 lower upfront cash outlay, lower upfront payments. And
8 anticipating that the cost of electricity would increase
9 over time, so will their payments, so it allowed them to
10 begin using the fuel cell in the store.

11 Again, this was possible with the SGIP. Without
12 the SGIP, there still would have been a negative net
13 present value.

14 --o0o--

15 MS. FRITZ-INTWALA: In addition to Whole Foods,
16 SuperValu is a supermarket company that owns chains across
17 the country, such as Albertson's. So they also have
18 chosen to use fuel cells in California at Albertson's
19 stores. And this is the Albertson's store in San Diego.
20 These are actual numbers that they're seeing environmental
21 benefits today.

22 But they wanted to make sure that -- I expressed
23 again the importance of SGIP. There's ten stores that
24 they want to use fuel cells in -- ten additional stores,
25 contracts that are pending. And without that additional

1 California incentive today, they're not going to be able
2 to do that.

3 So we have lost, you know, I would say -- by the
4 time the program's back online, it'll be almost a year of
5 commercial traction. And that does impact our ultimate
6 costs and the cost reduction that we can achieve with the
7 economies of scale.

8 --o0o--

9 MS. FRITZ-INTWALA: Okay. Thank you.

10 CHAIRPERSON NICHOLS: Thank you.

11 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

12 CHIEF BEVAN: So do we have any questions for this panel?

13 BOARD MEMBER SPERLING: I have two questions.

14 I understand the vehicle fuel cell technology and
15 system pretty well, where there's one fuel cell technology
16 that's been focused on, the PEM (phonetic) fuel cells.
17 And most of the major car companies have their own
18 priority designs. They're on the verge of commercializing
19 it.

20 But listening to the presentation on the
21 stationary, I have some questions. One is, you know, I
22 heard three different technologies talked about. I
23 understood that phosphoric acid was no longer considered
24 an important technology for stationary applications or
25 other applications, I guess. So I'm kind of curious, is

1 there -- what's the sorting out on the technology? And
2 this is important because it goes to some of the questions
3 our Board had in terms of the synergies and interactions
4 between the vehicle side and the stationary source side.

5 So that's the first question. Let me ask just
6 that question, and then I have a follow-up.

7 MS. FRITZ-INTWALA: Okay. Sure.

8 I would say, you know, the actual material for
9 the catalyst being the difference in those technologies
10 probably isn't as important as making sure that we have
11 options that fit best into different applications. Solid
12 oxide runs at a much higher temperature. It's a newer
13 technology, so it's still being developed. Ideally it's
14 going to be a very high temperature system that can
15 produce even more thermal benefit and higher efficiencies.
16 It's not yet there today.

17 Phosphoric acid. There's been hundreds of
18 phosphoric acid systems installed around the world, and
19 there are still cost reductions happening in the
20 technology. As I said, it's now at a 20-year life. It's
21 not I guess passe technology. It's a mature technology to
22 the extend that it's performing very well. There's great
23 durability, great reliability because it has been in the
24 field for a longer time.

25 BOARD MEMBER SPERLING: But that doesn't mean

1 it's necessarily promising for the future.

2 MS. FRITZ-INTWALA: If there are other
3 alternatives that come to bear that are technically
4 proving to be more efficient, getting higher efficiencies,
5 and where we can see a faster period of cost reduction,
6 yes, absolutely.

7 BOARD MEMBER SPERLING: Okay. And then the
8 second question is kind of a reality check on all this.
9 Where does California and the U.S. fit in all of this?
10 Who's leading? Where's the markets? Where's the
11 commercialization? How do we fit into that?

12 MR. UPP: Well, I would say California is by far
13 the leader.

14 Is that microphone on?

15 Okay. And that was really higher rates than most
16 of the rest of the country probably except for Hawaii and
17 the SGIP program. So they were kind of the tipping point
18 and why you saw fuel cell companies focus on California.

19 So for us, a relatively newcomer to the
20 marketplace, our two markets are Korea and California
21 because of the favorable government outlook on fuel cells.
22 So those were the drivers. I mean, we certainly see that
23 there's other states. We just opened an office in the
24 northeast because there's about five states where they
25 have that same tipping point phenomenon of high rates and

1 relatively good incentives.

2 BOARD MEMBER SPERLING: And are there any things
3 that ARB is doing that are particularly relevant and
4 helpful or not helpful?

5 MR. UPP: Well, listening to you talk about how
6 much you are loving this interchange of ideas is very
7 encouraging to me. Because, you know, I think sometimes
8 we think we're kind of put off as - excuse my French - but
9 the bastard stepchild because solar and wind get all of
10 the -- you know, all of the fanfare, if you will. And we
11 actually believe that we're very complementary technology
12 and we're part of the total solution going forward. And
13 we're seeing, I would say, a number of hybrid
14 installations where people either don't have enough
15 rooftop to put enough solar to drive enough power for
16 their building so they're buying solar and fuel cells. We
17 have an installation going in at San Diego State
18 University that actually fits that bill.

19 So, you know, I think it is encouraging and I
20 think that -- people also asked about where the costs
21 going, and I wanted to address that as well. So we have
22 four people whose whole job is cost reduction. And the
23 guy who leads that team reports directly to our CFO. So
24 it is one of the most important technology aspects of our
25 development, because no one's ever been able to prove you

1 can build a small scale fuel cell and make it profitable.
2 And we've gone from -- literally the first units we
3 shipped cost \$100,000 and we were selling them for 50.
4 Now our cost of goods is almost break-even. And we
5 believe that within two years we will actually be, you
6 know, at a reasonable profit margin. So it's actually
7 happening, but we've got to get past the brick wall that's
8 kind of been thrown up with the rebate program getting all
9 messed up.

10 MS. FRITZ-INTWALA: I'd like to add to the
11 response on what the Air Resources Board is doing and
12 could do.

13 AB 32 has our customers thinking about what they
14 need to do in the future. That's what's really important,
15 the end-users and their plans. Cap and trade, ultimately
16 we expect to see an uptake in the use of fuel cells for
17 distributed generation with that.

18 Just the recognition that the Air Resources Board
19 has that fuel cells are part of the solution. Not that
20 they are the one solution, not that we know today where
21 everything's going to fall out, but that they need to be
22 considered in this is very important.

23 And also going back to the fuel side. You know,
24 more than the technology, the fuel ultimately is going to
25 be what's important, what fuel's being run through those

1 systems. And the development of in-state biogas network
2 is critical. I mean, all of these different technologies
3 can run off of biogas today, but it's not readily
4 available. And the sources that are out today are
5 contracted already. So we need to continue that
6 development.

7 CHAIRPERSON NICHOLS: That's very helpful.
8 Thank you.

9 DEPUTY EXECUTIVE OFFICER FLETCHER: Mary, if I
10 can --

11 CHAIRPERSON NICHOLS: Oh, I'm sorry.

12 DEPUTY EXECUTIVE OFFICER FLETCHER: -- I wanted
13 to add a little bit about what ARB's doing through the
14 California Stationary Fuel Cell Collaborative. There is
15 this great collaboration amongst all the manufacturers of
16 the fuel cells. And the work that Scott Samuelson, that
17 you'll hear from a little later, has done to sort of bring
18 these folks together, and Mike Tollstrup's leadership as
19 the executive director of that as ARB, I think is helping
20 to kind of focus on the areas that need to be looked at to
21 promote the technologies, and there are a lot of
22 applications that we're looking at to try to get off the
23 ground. And one of those has to do with the dairy
24 digesters. And the power generation off that has
25 historically been IC engines, and we don't like that very

1 much. And it's costly as well to control it.

2 So we are looking to try to get some test
3 programs on the ground to demonstrate the
4 commercialization of this technology. And part of it's
5 not as much the fuel cell itself, it's the clean up of the
6 gas is probably one of the major expenses there.

7 So as the efforts go on and the
8 commercialization, you know, proceeds, we expect those
9 costs to come down and see really a lot of applications
10 that could go in in a variety of areas that have multiple
11 benefits.

12 BOARD MEMBER SPERLING: Is that an example where
13 there could be an offset protocol for digesters using fuel
14 cell technology? I mean is that the --

15 DEPUTY EXECUTIVE OFFICER FLETCHER: Well, we do
16 have an offset protocol under cap and trade for manure
17 management already. And I think the question is how do
18 you link that into these sorts of technologies that take
19 advantage of that aspect of it as well.

20 CHAIRPERSON NICHOLS: Okay. I think Dee Dee was
21 next.

22 BOARD MEMBER D'ADAMO: Okay. So this is very
23 useful. I'm getting a lot out of it.

24 I'd like to focus on the fuel source of the map
25 that you provided and then the specific examples, Mr. Upp,

1 that you provided. Where would you put the percentage in
2 terms of natural gas as the fuel source versus biogas or
3 other?

4 MS. FRITZ-INTWALA: I actually have the actual
5 numbers here.

6 The total -- I'll give it in terms of kilowatts.
7 The total kilowatts that are installed today that are
8 nonrenewable is about 12,000 kilowatts; and the renewable
9 is about 10,000 kilowatts today.

10 BOARD MEMBER D'ADAMO: How about in terms of per
11 -- but how many facilities?

12 MS. FRITZ-INTWALA: How many projects? There's
13 about 26 facilities that are nonrenewable and 16 that are
14 renewable.

15 CHAIRPERSON NICHOLS: Did you have follow-up?

16 BOARD MEMBER D'ADAMO: Yeah. I'm just trying
17 to find -- it seems that - and this is a question - the
18 cost isn't so bad if you use natural gas because there's
19 infrastructure and a pipeline system; so the cost goes up
20 significantly if you have to use another fuel source?

21 --o0o--

22 MR. UPP: That's true today, yes. But again, as
23 Katrina said earlier, long term I think the -- you know,
24 the real goal we'd like to reach is to be able to run
25 these on biogas, because then it would be completely

1 renewable.

2 BOARD MEMBER D'ADAMO: And then I'd like to have
3 a little bit of a discussion on AB 32 and where this fits
4 in with capped sectors. I imagine there are certain, you
5 know, like refineries where there wouldn't be an
6 application. But what about manufacturing, some of the
7 larger capped sectors versus the -- I'm thinking of food
8 processors? The number that I've been -- of companies
9 that I've been talking with where they're sort of hovering
10 around the edge of falling within being a capped sector,
11 and the application in those industries. I think it'd be
12 helpful to see may be an example of meeting AB 32 with
13 fuel cell technology versus another regulatory compliance
14 method.

15 --o0o--

16 MR. UPP: So specifically, you know, to us the
17 application is high heat and high power usage. So we
18 don't try to limit ourselves to specifically a, well,
19 market that we would try to sell into or install at. It
20 would be more focused on, does that company use a
21 tremendous amount of heat and power? So we're actually in
22 the process of putting together an implementation plan for
23 a linen company, a uniform company that uses a tremendous
24 amount of hot water and power to run their facility,
25 because they're producing, you know, uniforms that they

1 drive around and deliver to companies. But I'm not sure
2 that really fits what you're looking for.

3 CHAIRPERSON NICHOLS: It's not a second per se.

4 MR. UPPS: Right.

5 CHAIRPERSON NICHOLS: It's more of a profile of a
6 type of business.

7 MS. FRITZ-INTWALA: Well, some of the sectors I
8 showed in my first presentation, you know, such as high
9 heat processing plants, like bottling plants, industrial
10 pharmaceuticals, would be an example of that. The hotels
11 and casinos, this mixed-use-residential-type area.

12 BOARD MEMBER D'ADAMO: Have you looked at food
13 processing?

14 MS. FRITZ-INTWALA: We are looking at food
15 processing, yes.

16 DEPUTY EXECUTIVE OFFICER FLETCHER: I think that
17 some of the areas that it can -- it can play a role in a
18 couple different areas. One of them is the utilities
19 themselves. To the extent that they're using renewable,
20 then it plays into 33 percent. To the extent that it's
21 distributed, it's off the grid. So that's one area where
22 it can play a role in terms of reducing the amount of
23 electricity that's generated from fossil sources.

24 I think in the industrial side on things like
25 food processors, to the extent that there's an obligation

1 that the facility has, they have a certain amount of
2 emissions, if they install fuel cells in, that reduces
3 their emissions obligations and, you know, helps them meet
4 AB 32.

5 So I think there's a number of different areas
6 where the applications can play a role, and I think that's
7 something that we're looking at as well. Again, it's a
8 situation where the cost needs to come down or the SGIP
9 program needs to kick in.

10 BOARD MEMBER D'ADAMO: So it seems that for
11 businesses that are -- or facilitates that are outside --
12 undistributed, outside the capped sector, what would
13 really be driving an interest is just the incentive;
14 there's no regulatory burden that these facilitates have;
15 it's just the fact that there's an incentive that's out
16 there; correct?

17 DEPUTY EXECUTIVE OFFICER FLETCHER: That's true.
18 There are also potential for offset consideration -- not
19 GHG offsets, but emission reduction credits that could be
20 obtained through the use of them. And we do still have
21 air quality issues outside of AB 32 and we have been
22 looking at the potential for, you know, fuel cells to
23 become BACT, for example, on waste treatment plants. So
24 there are areas there where, you know, you can start with
25 the new and than look at whether there's any potential to

1 retrofit these to achieve emission reductions on the
2 criteria side, because they are -- you know, they are very
3 clean systems.

4 So I think that's kind of the integration I think
5 of how the systems play so you get GHG benefits and you
6 get criteria pollutant benefits as well. So we are
7 looking at areas where you can use these to replace the
8 existing power sources and achieve emission reductions
9 through them.

10 So I think there's incentives even outside GHG
11 where fuel cells become really important

12 CHAIRPERSON NICHOLS: I think after today we're
13 all going to go away with some thoughts about ways in
14 which we might be able to integrate this better into a --
15 integrate fuel cell thinking better into our overall
16 program. And that's hopefully part of the benefit of the
17 presentation.

18 I would like to just --

19 BOARD MEMBER D'ADAMO: I'm sorry. One last --
20 just an update on the SGIP. I'm not that familiar with
21 it. Is there interest in renewing it, and at what level?

22 DEPUTY EXECUTIVE OFFICER FLETCHER: Well, I might
23 ask Mike Tollstrup to come up and explain it, because I'll
24 probably screw it up.

25 But basically it's a program that incentivize

1 small generators. And it was a program in place where
2 there was a fair amount of money but it became sort of
3 oversubscribed. And so the money was basically -- the
4 program was halted while the Public Utilities Commission
5 went through and kind of is reassessing the criteria for
6 application on the SGIP. So that is in process. I'm not
7 sure exactly what the timing is. Katrina probably can
8 answer that question.

9 CHAIRPERSON NICHOLS: Mike is coming to the
10 rescue.

11 DEPUTY EXECUTIVE OFFICER FLETCHER: And there's
12 Mike to bail me out.

13 But that's generally what the program is.

14 PROJECT ASSESSMENT BRANCH CHIEF TOLLSTRUP: Yeah,
15 as Bob mentioned, the program is currently on hold. And
16 it's been on hold since about I think it was last December
17 when the PUC put it on hold. Staff has been working on a
18 new proposal. We expect to see something come from the
19 Public Utilities Commission, hopefully this month, but
20 maybe next month. And then there's some delay before the
21 program actually gets off the ground and starts, you know,
22 getting the dollars back out there.

23 But it is in process. There are a number of
24 bills also that will affect the program. The funding for
25 the program is basically done, unless another bill, you

1 know, reinstitutes the funding for it. So we're waiting
2 for one of the legislative proposals out there to take
3 effect and reinstitute that at least for another year or
4 hopefully longer.

5 But there is a lot of work going on, and we
6 expect it to kick off here soon and the legislation to,
7 you know, basically bring the funding back to the program,
8 you know. But it will be almost a year since the program
9 went on hold, and it has had a significant effect on fuel
10 cell installations.

11 CHAIRPERSON NICHOLS: It's always really a big
12 problem when we have these stop-start programs. And it's
13 too bad we weren't aware of it earlier and in a position
14 maybe to be helpful. I don't know if we could have been,
15 but we could have at least been part of the discussion.

16 John.

17 BOARD MEMBER BALMES: Well, just a follow-up
18 question. So where did the funding come from for the
19 program before it had to stop?

20 PROJECT ASSESSMENT BRANCH CHIEF TOLLSTRUP: It
21 was funding through the CPUC. So it was ratepayer based.
22 It was about \$80 million a year that was given to the
23 program and distributed for certain technologies, the
24 start of the solar. And they got -- you know, they went
25 to another program. And now it's currently available for

1 wind and fuel cell projects. You know, some of the
2 changes that's taking place, they will open that program
3 up. And there will be other technologies like storage and
4 other technologies that can meet our distributed
5 generation standards will have access. But it is about
6 \$80 million a year that has been distributed and has been,
7 you know, effectively distributed every year.

8 CHAIRPERSON NICHOLS: But surely the thinking is
9 going to be how to integrate this more into the bigger
10 agenda for distributed generation. And that could cause
11 things to take even longer if we don't really bend
12 people's attention to getting something done here.

13 Go ahead.

14 BOARD MEMBER BALMES: And then just one follow-up
15 question to Mr. Fletcher's comments.

16 So both Ms. Berg and I were trying to remember,
17 do we have any early credits with regard to greenhouse gas
18 emission reduction in AB 32 at all?

19 DEPUTY EXECUTIVE OFFICER FLETCHER: Well, there
20 are some opportunities for early reduction credits. I
21 don't believe this is one of them. In fact, it isn't one
22 of them.

23 MR. UPP: I had one more thing on SGIP.

24 CHAIRPERSON NICHOLS: Yes, please.

25 MR. UPP: So to break it apart too, what Mike was

1 referring to is that the plan is funded through this year,
2 so they're actually collecting the ratepayer funds and
3 they're accruing. It's just the program is on hold. And,
4 you know, you have to be very forthright with your
5 potential customer and let them know that they may or may
6 not get it because there's no guarantee yet because they
7 don't know what it's going to look like.

8 Then on the secondary level, it's now just passed
9 to the Senate, but there was a bill that was passed that
10 extended the right -- or the ability for the PUC to
11 collect funds through one more year. I actually just had
12 a meeting yesterday with Assemblyman Perez, who is the one
13 who's actually driving the bill. He is trying to get that
14 increased to three years so you don't have to go through
15 this, you know, limbo period every year. Because it's
16 definitely -- like I said earlier, it's causing a crimp in
17 the system. So if you're inclined to reach out to
18 somebody in the Assembly, it's Assemblyman Perez who is
19 the main person.

20 CHAIRPERSON NICHOLS: This is not the Speaker but
21 the --

22 MR. UPP: Yeah, Manuel Perez from the Coachella
23 Valley in southern California.

24 CHAIRPERSON NICHOLS: Right. Great. Thank you.
25 Our legislative director is sitting in the

1 audience and she's paying close attention. So she'll
2 follow up. Thank you.

3 All right. I think that's -- we are, as usual,
4 running behind because we're too interested and asking
5 questions.

6 But thank you all very much.

7 And we'll bring on the next panel.

8 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

9 CHIEF BEVAN: Okay. Panel No. 3 will have a motor vehicle
10 focus. We're shifting gears literally. We'll start with
11 a presentation from a fuel cell manufacturer to give us an
12 overview of the core technology status and then move to a
13 series of presentations from the automakers about their
14 experience, plans, and needs relating to fuel cell
15 commercialization. Finally we'll hear from our fuel cell
16 bus demonstration partners at AC Transit to give you an
17 update on the zero emission bus demonstration project in
18 the Bay Area.

19 So we'll start with Andreas Truckenbrodt from
20 Automotive Fuel Cell Corporation.

21 MR. TRUCKENBRODT: Well, thanks, Analisa and
22 Chair Nichols and Board members. Thanks for giving me the
23 opportunity to speak. I have a nice presentation.

24 (Thereupon an overhead presentation was presented
25 as follows.)

1 MR. TRUCKENBRODT: While it's loading up, AFCC is
2 a joint venture between Daimler and Ford based in
3 Vancouver. I have five minutes, five slides, five
4 messages. And I will definitely speak about cost, because
5 that of course is one of the most important issues.

6 --o0o--

7 MR. TRUCKENBRODT: Message No. 1 is: Fuel cells
8 are an indispensable element of the mainstream automotive
9 powertrain portfolio because all the benefits, like they
10 are zero emission, they are independent from oil, the
11 efficiency is twice as high as the internal combustion
12 engine, we do not need to enter compromises in range or
13 refill times, and the customer is pleased because he has
14 all the comfort of pure electric driving.

15 And we've heard that key word "portfolio" before,
16 and you will hear it more I guess from all of our speakers
17 here because the fuel cell construct's a very important
18 element of the whole powertrain portfolio. The battery
19 electric vehicle plays an important role in the
20 application of urban mobility. But the fuel cell being
21 able to power larger vehicles and not having the range
22 limitation is suddenly a major element.

23 --o0o--

24 MR. TRUCKENBRODT: Message No. 2: The fuel cell
25 vehicle technology is ready for the customer today. We

1 have made -- since the first vehicle in 1994 we've made
2 significant progress in materials, concepts, in the
3 analysis and simulation tools, in the vehicle integration.

4 We have as an example reduced the use of platinum
5 significantly to levels where -- which are comparable to
6 exhaust catalysts. We will work on new catalysts.

7 And the vehicles that you will find, that you can
8 see later today, they are absolutely competitive with
9 conventional vehicles in terms of the power, in terms of
10 range and consumption, in terms of free start. They can
11 start up to minus 15 Fahrenheit or even lower. And
12 durability, we have reached the goal of more than 2,000
13 hours. Buses have proven to be able to run 10,000 hours
14 with no problem.

15 --o0o--

16 MR. TRUCKENBRODT: Message No. 3: There is one
17 challenge remaining, and that is cost. And we are on a
18 clear and realistic path to get the cost down to be
19 comparable and equal to advanced conventional vehicles.

20 And as you can see on the chart, the benchmark is
21 the hybrid, maybe a diesel hybrid. We are at low volumes
22 still significantly off there to date. But the levers we
23 are using are economies of scale, of course; manufacturing
24 will play a very important role; and this whole thing of
25 supplier development industrialization is a major element.

1 only -- this is not only us, this is many studies, that
2 fuel cell electric vehicles can even beat the battery
3 electric vehicles in terms of cost. So ultimately the
4 fuel cell electric vehicle is the less expensive zero
5 emission solution. But, as mentioned before, battery
6 electric vehicles have their value of course in the urban
7 mobility.

8 --o0o--

9 MR. TRUCKENBRODT: And my last and fifth message
10 was: The level of the technology where we are and knowing
11 that the cost is going to achieve the target, the OEMs are
12 definitely committed to begin commercialization in 2015.
13 We need, however, the commitment from all the other
14 stakeholders as well. That is the suppliers, that is the
15 research institutes and universities, that is government.
16 And I do not mean we don't have the support there. But it
17 really requires the involvement and commitment from all of
18 those. We also need infrastructure, but we know that.

19 The California Fuel Cell Partnership is a great
20 example how these stakeholders can work together. And we
21 really appreciate the big support and the active
22 participation of the Air Resources Board in the
23 partnership.

24 Thank you.

25 CHAIRPERSON NICHOLS: Thank you.

1 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

2 CHIEF BEVAN: Our next presentation will start our
3 presentations from car companies. We'll start with
4 Stephen Ellis, American Honda Motor Company.

5 MR. ELLIS: Thank you. And while the slide's
6 cueing up, my name is Steve Ellis, Manager of Fuel Cell
7 Vehicle Sales and Marketing, the American Honda based in
8 Torrance, California.

9 Let me run through a few slides and provide a few
10 key messages about what Honda's been doing.

11 (Thereupon an overhead presentation was presented
12 as follows.)

13 MR. ELLIS: The FCX Clarity we introduced in the
14 market in 2008. We're coming up on three years of leases
15 to real-world customers in the market.

16 --o0o--

17 MR. ELLIS: This slide shows the Honda portfolio
18 approach of vehicle technologies toward near zero and zero
19 emission vehicles, with fuel cell electric vehicles - a
20 long history there, since 1995 - of battery electric
21 vehicles, plug-in vehicles, hybrid electric vehicles, and
22 even our natural gas vehicle -- natural gas Civic, which I
23 would add also benefits -- as a technology that benefits
24 from investments and work in biogas.

25 --o0o--

1 MR. ELLIS: On fuel cell vehicles we've been
2 asked to provide answers to a few questions, one of those
3 about why fuel cell vehicles.

4 Certainly the major issues are climate change and
5 energy sustainability, shown in number one, where fuel
6 cell vehicles provide high efficiency and decarbonized
7 fuel. Others have spoken to this.

8 But on the transportation value side, I think
9 what's becoming better understood is the compelling full
10 function capability of fuel cell electric vehicles over a
11 wide variety of vehicle platforms.

12 So toward greenhouse gas reduction, like here it
13 says 80 and 50, this is a technology that will play a
14 significant role; and certainly with petroleum reduction,
15 with no use of oil.

16 --o0o--

17 MR. ELLIS: On the greenhouse gas side, a lot has
18 been said about that. But in this particular slide,
19 putting emphasis on the GREET model as kind of a
20 standardized way of measuring the well-to-wheel value of
21 vehicles and their contribution to greenhouse gas.

22 Just focusing on the two green arrows pointing
23 downward, the point being that whether it's a battery
24 electric vehicle or fuel cell electric vehicle, both can
25 provide zero well-to-wheel emissions both at the vehicle

1 side and at the fuel side based on that contribution of
2 renewables.

3 --o0o--

4 MR. ELLIS: Honda's activity today. Just let me
5 cover a few things with where we're at. Customers have
6 been operating the cars continuously since July of 2008.
7 Now, this is the FCX Clarity, because prior to that we had
8 fleet-based programs, we had cars in the hands of various
9 fleets, including the City of Los Angeles, and we learned
10 a lot through that.

11 Now we have real-world customers, paying \$600 a
12 month in a three-year lease of the vehicles, that wake up
13 everyday and expect the car to provide the value that
14 they're used to from vehicle transportation.

15 So a few quotes here. One customer said, "The
16 excitement of driving has not gone away. I'm so grateful
17 to have been selected to drive this amazing car."

18 And another recently said, "Hey, Steve, I sold my
19 brand X luxury car. The Clarity is meeting all of my
20 daily transportation needs."

21 So I think this kind of reflects this voice of
22 the customer that may have -- they may have gone into it
23 with uncertain aspects of how it was going to provide
24 value to them, but it's exceeding their expectations.

25 Customers are consistently going 200 to 220 miles

1 becoming better understood, which is the great value of
2 this full functionality of fuel cell vehicles. A 240-mile
3 available range, customers are taking routine trips to
4 Santa Barbara, San Diego, and out to Palm Springs, all on
5 one tank of fuel, and of course recharging time in less
6 than five minutes.

7 --o0o--

8 MR. ELLIS: So the challenges, work in progress:
9 On the vehicle side we're continuing cost reduction -
10 you've heard that - and progressive steps toward
11 deployment.

12 But the market preparation maybe is the bigger
13 task and hurdles, and we're not going to get into that.
14 But I think you can see there's a lot of work to be done
15 there. So the collaboration with the Fuel Cell
16 Partnership, universities, and government is critical at
17 this time.

18 --o0o--

19 MR. ELLIS: Early markets and infrastructure.
20 I'm just going to summarize this by saying, when we
21 launched the program, we announced three key cluster
22 markets. It's only been within the last month that we've
23 been able to exercise the middle one, which is in
24 Torrance, because of a lack of stations. Now with the new
25 what's called pipeline station, we will be able to

1 exercise customers in that market.

2 --o0o--

3 MR. ELLIS: This is a picture almost three years
4 ago of one of our customers refueling at the UC Irvine
5 station. This was a research project station. A single
6 hose dispenser -- a single dispenser at that operation.
7 So if one of our other customers pulled up at the same
8 time, they had to wait - not a long time, five minutes at
9 max - but they had to wait for the other car to refuel.

10 --o0o--

11 MR. ELLIS: Fast forward to today. This is the
12 Torrance pipeline station. We have multiple dispensers,
13 multiple hoses per dispenser, and independent control
14 systems. So simultaneous refueling of four fuel cell
15 vehicles can be done here. This is a world's first. But
16 I think it also points out just, you know, how far we've
17 come but also we're at the early stage of seeing this
18 occur.

19 --o0o--

20 MR. ELLIS: We're delivering through dealers.

21 --o0o--

22 MR. ELLIS: In summary, we've learned valuable
23 lessons, market force lessons, lessons from early station
24 diversity.

25 But I think the bottom line is listening to our

1 customers. Their number one request is more stations. We
2 do need accelerated hydrogen station deployment. We hope
3 that you trust the voice of our customers that we bring to
4 you and trust the collaborative effort of the OEMs and
5 hydrogen providers for station needs.

6 Thank you.

7 CHAIRPERSON NICHOLS: Thank you.

8 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

9 CHIEF BEVAN: Thank you, Steve.

10 Our next presentation is from Rosario Berretta
11 with Daimler.

12 (Thereupon an overhead presentation was presented
13 as follows.)

14 MR. BERRETTA: Good morning. My name is Rosario
15 Berretta and I'm responsible for the vehicle deployment
16 here in the U.S., especially in California. Thank you so
17 much for inviting us and to speak about fuel cell
18 activities here in North America.

19 --o0o--

20 MR. BERRETTA: With the first slide I would like
21 to show you a portfolio of different technology where we,
22 as Daimler, are working in different fields. As you see
23 on the left side, you see the combustion engine in the
24 middle, you see the hybridization of ICEs, and on the
25 right side the zero emission vehicles which are

1 with hybrid drive, it's a little bit more with plug-in and
2 range extender. But only electric cars, like with
3 battery -- which is powered by battery or fuel cell can go
4 the full range, you know, by zero emission.

5 And you see also the difference between battery
6 electric cars and fuel cell, that battery is more -- you
7 know, more can be applied for city traffic or interurban,
8 and the fuel cell can go really for a longer range.

9 And I think important to say here is also that we
10 as a car manufacturer - and as Professor Sperling was
11 saying also before - we don't pick the winner yet. We
12 know they have different advantages, you know, the
13 different drivetrains, but we don't want to -- we don't
14 want to choose right now the winner. And if we want to
15 achieve, you know, by 2050 80 percent of CO₂ reduction,
16 the only way to do it is to increase the number of
17 electric-powered vehicles, fuel cell and battery electric
18 cars.

19 --o0o--

20 MR. BERRETTA: We started with our fuel cell
21 activities more than 15 years ago. And so we showed
22 different fuel cell cars, different prototypes, different
23 demonstration vehicle.

24 And so we were able this year to start the world
25 drive where we can showcase, you know, the maturity of the

1 fuel cell technologies; and the same time to showcase also
2 the advantage of short refueling and long range of those
3 cars. We were able to start in Stuttgart, and we drove
4 around the world with three vehicles driven by journalists
5 in 125 days and so we could showcase to the world that the
6 technology is ready, it's there.

7 The only thing what we need here is the
8 infrastructure. We were able to refuel our cars with a
9 mobile refueler, which could, you know -- which could
10 charge in up to three minutes. But what we need in order
11 to bring those cars into the market, we need definitely
12 more hydrogen station.

13 --o0o--

14 MR. BERRETTA: And this is why we're trying as a
15 car manufacturer in Germany to promote the infrastructure.
16 We're going to build together with Linde more than 20
17 stations, providing money to build these stations in order
18 to kick-start the rollout of the infrastructure. And we
19 expect to get also some subsidies also from the German and
20 European government.

21 --o0o--

22 MR. BERRETTA: Where we are here in California
23 you see the different stations in green which are on line
24 right now. Only two of those we can use right now. All
25 the other, because of technical problems, are not

1 operational.

2 The blue ones are stations which will go on line
3 in a few months.

4 But it shows exactly that we need more stations.
5 We have the cars. We have 5, 6 cars right now in customs,
6 and we have 20 cars waiting. And our sales division is
7 hesitating right now to give them to the customer because
8 no station are ready to go right now. Just only two, the
9 one in Irvine and the one in Torrance, the pipeline
10 station.

11 --o0o--

12 MR. BERRETTA: So regarding challenges, I mean
13 technology and cost-wise we think we will be there. The
14 infrastructure is the main focus and it should be in the
15 future.

16 --o0o--

17 MR. BERRETTA: So regarding the cost, I think
18 this is a slide which Andreas Truckenbrodt already showed
19 before. Between the A and the B class we were able to
20 reduce costs. And we will be able to, until with the next
21 generation, 2015, to reduce costs and bring it to a level
22 where the hybrid vehicle is today.

23 --o0o--

24 MR. BERRETTA: My last slide is regarding our
25 next program, the B class. And as I said before, we have

1 already six cars in customers' hands. And we will lease
2 these vehicles for 24 months, 849 per month, which
3 includes the service and fuel and also the insurance.

4 Again, we have already cars. What we are waiting
5 now is to hand over the next cars to the customer as soon
6 as we have more hydrogen station available.

7 Thank you.

8 CHAIRPERSON NICHOLS: Thank you.

9 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

10 CHIEF BEVAN: Thank you.

11 Our next presentation is David Tulauskas with
12 General Motors.

13 (Thereupon an overhead presentation was presented
14 as follows.)

15 MS. TULAUSKAS: Thank you. And for the record my
16 name is David Tulauskas. I'm the Regional Director for
17 State Government Relations based here in Sacramento. It's
18 a pleasure to be here.

19 I will cover briefly our strategy for advanced
20 propulsion technology and then get into the details on
21 providing an update on our fuel cell program.

22 --o0o--

23 MR. TULAUSKAS: So simply put, our advanced
24 propulsion strategy is to develop and deploy a portfolio
25 of technologies. There is no silver bullet to solving

1 today's climate change and energy security challenges.
2 And as a global company operating in countries all around
3 the world, there's likely -- each country will likely
4 require a different solution to their challenges.

5 At this point, there's no clear technology
6 leaders. So GM has been and continues to invest billions
7 in everything from incremental ICE's efficiency
8 improvement to electric motors, advanced batteries, and of
9 course fuel cells.

10 --o0o--

11 MR. TULAUSKAS: Customers have different mobility
12 and transportation needs. And one advanced propulsion
13 system may meet the needs better than another, depending
14 on the customer's needs. So in other words, a small
15 battery electric vehicle may be ideally suited for urban
16 areas where driving distances are shorter and traffic is
17 generally stop and go. Fuel cells provide -- are better
18 suited for larger vehicles, longer distances, and more
19 varied duty and driving cycles.

20 --o0o--

21 MR. TULAUSKAS: A friendly face here, just to let
22 you know that our Project Driveway, which is the world's
23 largest fuel cell fleet demonstration program, including
24 over a hundred vehicles, has achieved approximately two
25 million miles and counting. And it's done that in over

1 five different countries, and has been refueled --
2 successfully refueled over 25,000 times.

3 There's three distinct aspects to our Project
4 Driveway. And some of it's been in parallel, some of it's
5 been sequential. But basically the first one is just
6 getting the technology out and doing your basic technology
7 demonstration program.

8 There's also been a group of these vehicles that
9 have been a run-to-failure type program as part of this.
10 And we've gained a lot of learnings in both, the basic
11 technology demonstration program and this run to failure,
12 which these vehicles are still going. They actually
13 haven't failed yet.

14 And then, finally, the third part, and really our
15 final phase, is to transition these vehicles into
16 production-ready type vehicles, production intent. So
17 these vehicles are becoming mule vehicles for production
18 intent components, controls, and software. In other
19 words, really close to being production ready.

20 And in summary, you know, our fuel cell
21 technology is ready. We've got it on the road today.

22 --o0o--

23 MR. TULAUSKAS: And this is just a quick picture
24 to say that, you know, it's further proof that the
25 technology is ready and it's meeting diverse customer

1 needs.

2 --o0o--

3 MR. TULAUSKAS: GM's doing a lot of work, and a
4 lot of people don't know this, but right here in
5 California. We've been doing advanced vehicle and
6 powertrain work in Torrance, California for over two
7 decades, including work on the EV1 and more recently on
8 the Chevrolet Volt. And GM's investment in the Volt,
9 particularly the motors, controls and batteries, have
10 helped tremendously in getting the fuel cell technology
11 production ready. And GM continues to do this work here.
12 We're growing. And this is just a picture of our facility
13 that we -- a new facility that expanded our footprint in
14 Torrance, California, June 9th.

15 CHAIRPERSON NICHOLS: My picture isn't there.

16 MR. TULAUSKAS: Well, I wasn't sure if I should
17 put that one in or not. Kept it neutral.

18 --o0o--

19 MR. TULAUSKAS: A little bit about our production
20 intent design. A lot of critics talk about fuel cell
21 technology, saying it's too far from commercialization and
22 it's way too expensive. In less than five years, GM has
23 cut the size of its fuel cell propulsion system in half,
24 significantly reduced its weight, the number of parts and
25 the use of precious metals, and at the same time

1 significantly increased its durability and its ability to
2 operate in extreme weather conditions. We've been testing
3 in minus 40 degree weather up in northern Canada for over
4 three winters now.

5 So GM doesn't necessarily agree with the critics
6 on technology readiness and we have seen significant
7 progress on the cost issue.

8 And this next slide will go into a bit more
9 detail on that cost.

10 --o0o--

11 MR. TULAUSKAS: And through additional cycles of
12 learning and by economies of scale, you know, we're
13 estimating that we'll be on par in terms of cost parity
14 around 2020, 2022. And we've gone from 2000 and really 9
15 and 10 to being approximately 11 times more expensive. So
16 in ten years we'll see that cost be reduced significantly.

17 --o0o--

18 MR. TULAUSKAS: Some remaining challenges, really
19 threefold, related to cost, but we call it cycles of
20 learning. We just need to get the product out there, we
21 need to accelerate the new models, and we need to achieve
22 economies of scale.

23 The next one is infrastructure investment,
24 continue to need to expand that. In a couple years this
25 will no longer be a chicken or egg issue. The vehicles

1 will be there. It will simply be an elephant in the room
2 needing to be addressed - infrastructure.

3 And then finally government policy. You know, at
4 times it, especially at the federal level, has been
5 unclear and/or there are some policies that are lacking
6 and we're working collaboratively to put those in place.

7 --o0o--

8 MR. TULAUSKAS: And in summary, the fuel cell
9 technology for automotive application is ready. But we
10 need the infrastructure there to really drive the vehicle
11 sales. As the Clarity is experiencing, and Mercedes, they
12 can only get a very, very limited number of vehicles out
13 there until the infrastructure is expanded.

14 And then, finally, stable government policy is
15 key. And California has been doing a wonderful job, has
16 made a lot of investments in its infrastructure, but more
17 needs to be done.

18 Thank you.

19 CHAIRPERSON NICHOLS: All right. Thanks.

20 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

21 CHIEF BEVAN: Thank you, David.

22 Before I move on to our next presentation, I did
23 want to note that these are not the only car companies
24 with very active and progressive fuel cell programs. We
25 had to make a choice who to bring into our panel. So I

1 want to give recognition to the other car companies, which
2 are making significant progress.

3 So now we'll turn to our transit bus program with
4 a presentation from Jaimie Levin, Alameda-Contra Costa
5 County Transit.

6 MR. LEVIN: Jaimie Levin, Director of Alternative
7 Fuels Policy for AC Transit.

8 I want to go on record noting that the challenge
9 is not fuel cells. It's the five minute limitation on
10 this presentation. But I'm going to give it my best.

11 (Thereupon an overhead presentation was presented
12 as follows.)

13 MR. LEVIN: So our first generation buses, which
14 launched in 2006, the numbers are there. We carried over
15 700,000 people. But I think what's important is to note
16 that we improved our fuel economy by 1.6 to 2 times better
17 than the conventional diesel bus. All the while we were
18 reducing greenhouse gas emissions significantly using
19 natural gas as our source of hydrogen.

20 --o0o--

21 MR. LEVIN: The third generation vehicle that
22 you'll see out front and that we're now using is
23 significant in a number of different ways: 5,000 pounds
24 lighter. We have a much better battery system on board.
25 That was the Achilles' heel of our earlier generation.

1 We're racking up a lot of miles, a significant number
2 here, is that we have greater than 9400 hours of fuel cell
3 hours with no failures, no repairs, and no degradation in
4 power. And that fuel cell keeps marching on every day.
5 We're anxious to see that it continues to grow beyond
6 10,000 hours.

7 The UTC Fuel Cell Fleet, which is more than just
8 our buses but other buses elsewhere in the U.S., now has
9 over 600,000 miles. And in the Bay Area, we've carried
10 now over a million people on our fuel cell fleet.

11 Let me qualify the last bullet with a couple of
12 personal biases. Number one, I'm a daily transit user. I
13 am a passenger. Number two, I have a Class B license and
14 I drive the fuel cell bus, not in passenger service, but
15 whenever I get the chance to drive it. The quote here
16 that refers to "Like Disneyland in the Real World," that
17 came from a Golden Gate Transit driver with over 30 years
18 experience who also drives diesel hybrids.

19 We are talking a lot more than just cleaning up
20 the air and reducing emissions here. These vehicles are
21 extraordinary performers. We're changing the industry,
22 the transit industry, the image of public transit. And I
23 hope you'll get a feel for that.

24 Some of you -- I know Mary has been on the bus as
25 a passenger. They really are quite remarkable.

1 I'm not a mechanic. We do have mechanics here,
2 and they will tell you how enthusiastic they are working
3 with this technology as I am talking about it.

4 --o0o--

5 MR. LEVIN: Here's some numbers from the fuel
6 cell side of this. We're looking at availability of the
7 vehicles. And here you're looking at a 95 percent average
8 over the last couple of years. We look for 85 percent as
9 the required pullout for our buses. This is fuel cell,
10 not the entire bus. But we are looking at numbers that
11 are approaching 85 percent on availability.

12 In terms of miles between road calls, again, if
13 you look at a diesel propulsion system for AC Transit,
14 it's about 10,000 miles between road calls. And you look
15 at these numbers with the fuel cell, and they're way off
16 the charts. That dip that you see is just reflective of a
17 small number of vehicles in service at early stage. And
18 all we need is one road call and so the number dips down.

19 --o0o--

20 MR. LEVIN: UTC is already making major strides
21 with FTA and CalStart in reducing the size, the weight,
22 and the cost while increasing power density and
23 durability. So there's major strides being made on the
24 fuel cell side.

25 --o0o--

1 MR. LEVIN: The Bay Area program which CARB has
2 funded, the California Energy Commission, MTC, FTA, and
3 our local air district, is expanding this by 12 buses.
4 It's a \$65 million program. We're building two stations.
5 We can't wait to show you the station that we're soon
6 opening in Emeryville that the Air Resources Board is
7 supporting.

8 Shared training and driving with our other
9 operators. Golden Gate Transit will begin operating buses
10 across the Golden Gate Bridge to San Francisco here in the
11 very near future, in August.

12 --o0o--

13 MR. LEVIN: We continue with DOE supporting the
14 NREL evaluation of this program.

15 --o0o--

16 MR. LEVIN: The key technology thresholds are:
17 Performance. And we're showing that. I've
18 spoken to that.

19 UTC reducing the packaging.

20 And the fuel supply, we're going to demonstrate
21 five to six minute fueling times per bus up to 12 to 25
22 buses. We're scaling that up significantly from what we
23 started with. And we're using both solar power to produce
24 a third of our hydrogen and we're using a stationary fuel
25 cell fueled with directed biogas to provide a third of our

1 fuel at our other location.

2 Since everyone else took at least another minute,
3 I'm going to do that.

4 CHAIRPERSON NICHOLS: You can do that. Go ahead.

5 --o0o--

6 MR. LEVIN: But for a transit system, the real
7 question's affordability equals ownership. And we've got
8 to drive down the cost of buying these vehicles, which are
9 over \$2 million a piece. We have to be able to prove
10 performance and maintainability. That's, can we afford to
11 run it? And then of course the durability of the
12 technology.

13 --o0o--

14 MR. LEVIN: We are moving down that pathway. The
15 upper part of this chart shows what we are doing now to
16 prove technology.

17 The lower half is reflected in a report --
18 industry-based report that was submitted to the Secretary
19 of Transportation, Ray LaHood, that we are having
20 continuing discussions with his staff. And in fact in
21 July we are meeting with his chief policy advisor, Paulie
22 Trottenberg, to discuss how to roll out this program on a
23 national basis through these Centers of Excellence
24 deploying more vehicles while driving down costs.

25 --o0o--

1 MR. LEVIN: My last slide is based on the
2 industry projections of where we can get these buses down
3 below a million dollars each at a unit number of -- or a
4 production number of 400. We produce now in this country
5 4 to 5,000 new transit buses a year. And this is a small
6 number in comparison to that. We are proving performance.
7 But it's all -- and what everyone else has said, it's all
8 in volume. We've got to drive up volume. And in transit
9 where FTA and the federal government covers 80 percent of
10 our capitalization cost, they need to step up in order to
11 drive this cost down. And this is our future. There is
12 no question about that.

13 Thank you for giving me the extra two minutes.

14 CHAIRPERSON NICHOLS: Thank you.

15 I know we're going to move on to the
16 infrastructure panel, and you've all kind of set the stage
17 for that very well. I recognize that this is a sampling
18 only of people who are working in this space for fuel cell
19 vehicles. But it does give us at least a bit of a taste
20 of what's already going on out there in the marketplace,
21 and it's very inspiring. But we are really on the cusp of
22 something much bigger and clearly at a point where some
23 important decisions need to be taken, not just by us but
24 by others. I think we do have a role to play,
25 particularly because of our standard setting role. So we

1 needed to have this information.

2 And we appreciate all of you living within -- or
3 almost within at least the constraints of time that we
4 gave you.

5 But if Board members have any specific questions,
6 we can probably catch up with you also downstairs when we
7 do the visit to the displays, because I assume you'll be
8 available then as well.

9 Okay, great.

10 Then I think we'll just move on to the next
11 panel. And thanks very much.

12 Infrastructure.

13 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

14 CHIEF BEVAN: Okay. Our final panel focused on
15 infrastructure will I hope put it all together.

16 We've learned from the stationary fuel cell
17 presenters that there are real-world applications with a
18 variety of benefits to be had. And we've heard from the
19 automakers that they need hydrogen stations.

20 We'll start this panel with a summary of just how
21 fuel cell commercialization is forecasted to grow, and
22 follow that with presentations from two of California's
23 leading hydrogen infrastructure providers.

24 Finally, we'll showcase a project that we have
25 helped co-fund that brings it all together in one system.

1 And there are several presenters who have alluded to this
2 Fountain Valley project, which uses biogas derived from
3 waste water to produce electricity and heat for the
4 treatment plants and provides hydrogen for vehicles.

5 So we'll start with a presentation from Justin
6 Ward, who is California Fuel Cell Partnership's Vice Chair
7 and also represents Toyota -- works for Toyota.

8 (Thereupon an overhead presentation was presented
9 as follows.)

10 MR. WARD: Thank you very much.

11 As she mentioned, my name is Justin Ward. I'm
12 the Vice Chair of the California Fuel Cell Partnership.
13 I'm also the advanced powertrain program manager at Toyota
14 and responsible for our fuel cell and electric vehicle
15 development.

16 --o0o--

17 MR. WARD: Today I'm going to give kind of a real
18 brief overview of what the California Fuel Cell
19 Partnership is doing with regards to fuel cell vehicle and
20 hydrogen station rollout planning. We're very active in
21 this space and really supporting my industry towards the
22 commercialization of fuel cell vehicles.

23 --o0o--

24 MR. WARD: One of the things that the partnership
25 always gets asked, and we get asked this I mean literally

1 every day, is, you know, how many hydrogen stations does
2 it take really to kick off the commercialization of fuel
3 cell cars?

4 In 2009, I would try to answer that question with
5 our document, The Hydrogen Fuel Cell Vehicle and Station
6 Deployment Plan. This action plan laid out a series of
7 actions that needed to get done to really get the market
8 ready for the commercialization of fuel cell cars. And
9 one of the key things we identified was a need for
10 stations.

11 And in that study -- or in that action plan we
12 identified a need for about 40 stations really in the key
13 deployment areas for the automakers would really be one of
14 the drivers towards a commercial launch.

15 In 2010 and 2011, we made progress reports that
16 further defined the station needs. And it was updated
17 based on the updated annual automaker survey results for
18 fuel cell cars.

19 --o0o--

20 MR. WARD: When we did these development plans,
21 many things come up that really need to be addressed as we
22 move forward towards commercialization. And here are some
23 of the key items:

24 Those include the finalization of codes and
25 standards for the retail sales of hydrogen. And that

1 includes fuel metering, fuel quality, customer
2 convenience.

3 Also to support business models developed by the
4 private industry, you know, the private sector. The
5 question is always asked, "How will these early hydrogen
6 fuel retailers sustain their business and how do they do
7 that in the case when their station load is relatively low
8 because the vehicle numbers are just starting to grow? Is
9 there a mode that makes sense for them?"

10 And then also we're focused on the outreach and
11 education of early market communities. Even when we go
12 into communities and we educate them, we find that the
13 turnaround in those communities is relatively large and we
14 end up having to go back in and, you know, educate a bunch
15 of new people. So it's an ongoing process.

16 --o0o--

17 MR. WARD: As was mentioned earlier, the idea of
18 clustering the vehicle deployments and station deployments
19 is one of the ways to kind of minimize the number of
20 stations in order to spark the early market. And we're
21 really starting to see that now over the past few years,
22 these clusters to really start to define themselves. In
23 2010, there was about four public stations that were
24 accessible. In 2011, we're anticipating the addition of
25 seven additional stations. In 2012, we're looking forward

1 to 11 additional stations through the California Energy
2 Commission maybe wanting a program.

3 So we're really excited about the progress that's
4 been made and really seeing the formation of these cluster
5 areas as we had talked about many years ago. What's clear
6 is that we still need more stations. We need to make sure
7 the cluster development makes sense. We need to make sure
8 that the customer when they get in their vehicle, they
9 have some confidence that they can make it to their
10 destinations and meet their normal driving needs.

11 --o0o--

12 MR. WARD: This is the latest automaker fuel cell
13 vehicle survey. And the green line represents the latest
14 vehicle numbers. As you can see from these numbers, it's
15 kind of -- very exciting, at least from my perspective,
16 that the number of fuel cell vehicles is ramping up at a
17 faster rate than we had predicted in the previous year.
18 And I think that goes as a testament to the commitment of
19 the automakers towards fuel cell technology and also to
20 the progress that the technology has made.

21 --o0o--

22 MR. WARD: The other thing I mentioned before was
23 business models. So we have to make sure we understand
24 what are the different cost models that are available or
25 profit opportunities they offer the retailer.

1 This is a study done by the Institute of Applied
2 Energy in Japan where they looked at fuel costs on the
3 cost-per-mile basis. This is all Japanese numbers.
4 That's why they look the way they do.

5 The key thing is to understand the distribution
6 of the costs within the fuel cost. And for gasoline, the
7 majority of the cost, it's a raw material cost, and the
8 delivery and station-side cost represents a fraction of
9 the total cost.

10 For hydrogen it's almost exactly the opposite.
11 The raw material cost is relatively small. But the
12 delivering station costs represent the major function of
13 that total cost.

14 We think that there is an opportunity to decrease
15 both the station side and the delivery cost through
16 optimization of station loading and other different
17 technologies to drive that cost down.

18 These are different things that need to be
19 considered as we look at profit opportunities for the
20 early retail hydrogen market and also towards the
21 sustainable hydrogen market. So we look at these both
22 conventional and nonconventional methods to really make a
23 business case or to help the private industry define a
24 business case.

25 --o0o--

1 MR. WARD: And then lastly as we look at the
2 rollout of hydrogen stations, we're really looking at it
3 from a more holistic point of view, not just from what the
4 vehicle needs but also from, you know, what does the
5 technology need for both the vehicle and the station side,
6 as well as looking at some of the consumer trends and the
7 consumer desires for accessibility and reliability and
8 whatnot. And we're looking to kind of try to balance that
9 as best as we can.

10 One of the things that has been available to us
11 recently is the new tools. And UC Irvine STREET is one of
12 the great new tools we hope to use to optimize that. And
13 you'll learn about that shortly. And also to leverage the
14 specialized working groups and task forces within the
15 partnership.

16 --o0o--

17 MR. WARD: So just to wrap it up real quick. The
18 partnership is committed to the vehicle station rollout
19 planning using latest informations and tools. And it's
20 clear that additional collaborative work is needed to
21 prepare the fuel cell market for commercialization.

22 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

23 CHIEF BEVAN: Yes, thank you.

24 Our next presentation will be from Tim Brown with
25 UC Irvine.

1 (Thereupon an overhead presentation was presented
2 as follows.)

3 DR. BROWN: Hi. I'm Dr. Tim Brown with the
4 Advanced Power and Energy Program at UC Irvine. I'm going
5 to talk about the great new tool, STREET, in its
6 application to finding the tipping point for
7 self-sustaining hydrogen infrastructure with minimum
8 capital investment.

9 And as Justin mentioned, STREET is the Spatially
10 and Temporally Resolved Energy and Environmental tool.
11 It's a suite of software packages that we've developed
12 over a number of years.

13 --o0o--

14 MR. BROWN: First thing to consider in developing
15 a new infrastructure for vehicles is that it is a coverage
16 problem in the early years, not a capacity issue. You
17 can't simply tally the amount of fuel available and the
18 number of vehicles and determine if you have enough
19 stations. You actually have to provide a sufficient
20 network to alleviate consumer concerns about fuel
21 availability. And we approached this problem with that in
22 mind based on a number of factors.

23 We've looked at automaker market data as to where
24 they think they have a market for these vehicles.

25 We have travel-time algorithms, which are the

1 mathematical backbone of the analysis.

2 We look at station land use to understand that
3 any stations that we predict a site for, they can actually
4 fit there and they're zoned properly and so forth.

5 We look at vehicle travel density to ensure that
6 stations are located near high flow of traffic.

7 We look at service coverage as a way to quantify
8 how one scenario matches compared to another.

9 We also look at fuel cell vehicle deployment
10 curves to make sure the stations rollout in step with
11 vehicles.

12 We consider initial or an existing hydrogen
13 infrastructure that isn't already in place.

14 And we looked at some demographic data on where
15 our vehicles are residing and where they are sold.

16 --o0o--

17 MR. BROWN: So to define the regions of interest,
18 we overlay the areas where automakers think they can sell
19 their cars with residential land use to determine a bit
20 more refined focus. And if we zoom in, we can see these
21 three red areas I've outlined - basically Santa Monica and
22 west L.A., Torrance and coastal cities, and coastal and
23 southern Orange County.

24 --o0o--

25 MR. BROWN: To get a feeling of how large these

1 areas actually are - it's hard to see from a map - there's
2 over 3.1 million people live in these areas, over 600
3 gasoline stations, roughly two million registered cars,
4 and over 200,000 new car sales in these areas alone each
5 year.

6 --o0o--

7 MR. BROWN: So if we examine this in more detail,
8 we can look at how the gasoline station infrastructure in
9 these areas plays out today. There's 636 gasoline
10 stations currently in these areas. And this can provide a
11 travel time from anywhere in one of these regions to a gas
12 station in four minutes. And, thus, shown on this plot
13 here where you have average travel time -- or actually
14 maximum travel time on the vertical axis and number of
15 fueling stations on the bottom. And you can see at four
16 minutes 636 gasoline stations this little red dot.

17 If we look forward and say how many hydrogen
18 stations are there existing or funded, there are 14.
19 Those are represented by the red stars on the map. And
20 not surprisingly, those 14 hydrogen stations don't supply
21 as good a network as the gasoline. They actually produce
22 a maximum travel time of 18 minutes, which is not good
23 enough for the customers.

24 We think the right tipping point for customer
25 adoption where they feel comfortable with the technology,

1 but obviously we can't reproduce the four minutes, we
2 think it's around six minutes travel time.

3 If you look at the graph and you sort of draw a
4 mental line between the hydrogen stations and the gasoline
5 stations, you say six minutes. That gives the impression
6 maybe 5 or 600 hydrogen stations were needed. But that's
7 not the case at all. It's actually much less than that.

8 So If I expand my plot and I move the hydrogen
9 station -- the gasoline station's way off to the right.
10 They're not even in the picture anymore. And we had one
11 more hydrogen station, this one down in Orange County, we
12 can reduce that travel time from 18 minutes down to 15
13 minutes. And we add one more station and reduce that
14 travel time from 15 minutes down to 12 minutes. You see
15 there's a very big bang for your buck here in the early
16 years. And subsequent stations have a similar effect.

17 So adding seven more stations throughout the area
18 can reduce travel time to 8 minutes, additional 3 to 7
19 minutes. And then four more to get down to the 6 minutes.

20 So in the end 32 stations can reduce travel time
21 to just six minutes in these three regions.

22 We can't have just 32 stations. We need a few
23 what we call connector and destination stations.
24 Connector stations would provide the bridge between
25 regions, destination of ride access to areas like Las

1 Vegas or Sacramento.

2 So in all it's going to be around 38 to 49
3 stations to serve the need of all southern Californians,
4 particularly in these areas, for the coverage. If you
5 limit the infrastructure to those quantities, roughly 40
6 stations, and you apply the numbers that Justin just
7 presented on vehicle deployment, there's roughly 34,000
8 vehicles predicted by the automakers to go down the road
9 in southern California in 2017. 34,000 divided by 38,
10 including the amount of fuel used per vehicle, comes out
11 to a throughput of around 500 kilograms a day per station
12 already in the year 2017 just, you know, two or three
13 years after commercialization, which is well within the
14 range, which I think we'll hear from energy suppliers, of
15 where they can have -- you know, they're in the black.

16 --o0o--

17 MR. BROWN: So in the end, benefits of careful
18 planning:

19 Reduce capital investment to just 6 or 7 percent
20 of existing gasoline stations in the region.

21 Increase network effectiveness. You know, come
22 down to a travel time of six minutes, which we feel is the
23 tipping point.

24 And promote high throughput in relatively early
25 years.

1 --o0o--

2 MR. BROWN: And I want to acknowledge All of the
3 input and partners we've had in this work, including
4 automakers and energy companies.

5 CHAIRPERSON NICHOLS: Thank you.

6 MR. BROWN: Thank you.

7 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

8 CHIEF BEVAN: Thank you, Tim.

9 Our next presentation is from Steve Eckhardt with
10 Linde, North America.

11 (Thereupon an overhead presentation was presented
12 as follows.)

13 MR. ECKHARDT: I thank you. I'm Steve Eckhardt.
14 I'm head of business development and alternative energy
15 for Linde. And on behalf of Linde, I appreciate the
16 invitation to come here and speak today about hydrogen
17 infrastructure.

18 --o0o--

19 MR. ECKHARDT: What I'd like to do is first give
20 an overview of Linde and hydrogen fuel. And we have over
21 70 fueling stations we've designed, built, and installed
22 around the world. That's provided over 200,000 safe
23 hydrogen fuelings in a number of different segments,
24 namely, automotive, bus, and material handling.

25 We also produce -- build and produce hydrogen,

1 both gaseous and liquid hydrogen from central processing
2 plants that's delivered to customers; and also produce
3 gaseous hydrogen with on-site technology such as steam
4 methane reformers and electrolysis.

5 --o0o--

6 MR. ECKHARDT: I just want to point out a few
7 projects here that I think are relevant for the discussion
8 today. AC Transit - and Jaimie talked about this a little
9 bit - I think a point on this one, a key goal of this
10 project is to show that hydrogen fueling of fuel cell
11 buses can be done as practically and as quickly and as
12 easily as it can be with diesel buses. It's critical that
13 we show that the limited amount of space in a transit
14 property that we can get this done. And ultimately that's
15 what transit authorities are going to look very hard at as
16 this go out and deploy more fuel cell buses.

17 In Berlin we have partnered with Shell and
18 recently commissioned a station, a very high throughput
19 hydrogen station. A major point about this one is that we
20 have put in the storage and the compression equipment
21 underground. And it's a critical step that we all need to
22 take to ensure that the space, the very limited amount of
23 space that's available on gasoline station forecourts can
24 be used the way gas stations would like to use it, which
25 is oftentimes convenience stores or car washes, where they

1 make very good money, and are going to be hesitant to
2 allow us to take up significant space with hydrogen
3 equipment.

4 Another point on the slide I'd just like to make
5 is that we have received funding from the Energy
6 Commission for three automotive fueling stations. And one
7 of those stations is also being funded by the ARB, and are
8 appreciative of that funding, allowing us to build three
9 more automotive stations here in California over the next
10 year to a year and a half.

11 --o0o--

12 MR. ECKHARDT: This slide -- these numbers we've
13 all seen several times from the partnership and the OEMs
14 with respect to car deployment. When we look at -- at
15 Linde when we look at this slide and we look at these
16 numbers, what we say is, can we be ready to fuel these
17 cars? We're talking a major change, a major rollout,
18 orders of magnitude increase and the number of cars that
19 will be out there. And we ask ourselves, can we fuel
20 these cars? And The answer is, yes, we believe we have
21 the technology and the capabilities to do that. And What
22 I'd like to do is talk about a scenario about how we can
23 actually make that happen.

24 --o0o--

25 MR. ECKHARDT: So if we look at on this slide the

1 of hydrogen.

2 --o0o--

3 MR. ECKHARDT: On this slide here, you can see
4 how things ramp up. We start in 2012, at the end of 2012
5 when we'll have approximately 20 stations that will be
6 fueling vehicles and meeting the needs of the cars that
7 are out there in 2012. In the ensuing years we'll see the
8 number of stations increasing. The medium size station,
9 we need significantly more of those size stations. But
10 then we believe we also need to introduce the large and
11 the very large throughput stations. We need to introduce
12 the very large and large throughput stations to meet the
13 needs of those 13,250 cars all the way up to 53,000 cars
14 in the middle of the decade on into 2017.

15 So while these large and very large throughput
16 stations are a relatively small share of the total number
17 of stations, in almost any scenario you can envision they
18 will have to fuel a disproportionate number of cars.
19 There will be a disproportionate number of fuelings on
20 those large throughput station. So for that reason alone,
21 the heavy reliance on those stations means we need to move
22 relatively quickly to prove those stations.

23 And I just want to talk about two other reasons
24 why I think we need to do that.

25 --o0o--

1 MR. ECKHARDT: First is practicality. Like with
2 diesel buses, we can fuel diesel buses, we can show how we
3 fuel gasoline cars, hundreds, even thousands a day at a
4 single site. But we need to show that that can be done at
5 a hydrogen fueling station, and we need to show that we
6 can do it while we meet our customers' expectations of
7 three-minute fueling and not having to wait in line.

8 --o0o--

9 MR. ECKHARDT: The second reason we need to do it
10 is we need to prove the economics. We need to prove that
11 a business model is viable in this industry for hydrogen
12 fueling. And that's one question that always is plaguing
13 us and that's one question we're always asked, is "Well,
14 what's the business model? Can you make it profitable?"
15 And what we need to do that is we need to show low life
16 cycle costs. And that's something that we can do with
17 these types of stations that are going to be dispensing
18 higher volumes of hydrogen.

19 The investors are going to look at this, the
20 government will look at this, and industry is going to
21 look at this. And we need to show how it's
22 self-explaining.

23 And, finally, in terms of how we do that: Linde
24 has developed two very high throughput station technology
25 concepts. These technologies are being deployed this year

1 in commercial settings in Germany, and we will be ready to
2 deploy those in California in the next few years.

3 Thanks for your time.

4 CHAIRPERSON NICHOLS: Thank you.

5 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

6 CHIEF BEVAN: Thank you, Steve.

7 Our next presentation is from Ed Kiczek with Air
8 Products and Chemicals.

9 MR. KICZEK: My name is Ed Kiczek. I'm the
10 Global Director of our Hydrogen Energy Systems business.
11 And thank you for the opportunity to address the Board.

12 --o0o--

13 MR. KICZEK: For those of you who are not
14 familiar with Air Products, we are the world's largest
15 supplier of merchant hydrogen. We have three major
16 production facilities in California, one right here in
17 Sacramento. And we produce about a third of our total
18 capacity right here in the State of California.

19 We've been active in hydrogen fueling since 1993.
20 We've built over 130 stations in 19 countries. And
21 currently we're fueling at a pace of over 350,000 fuelings
22 per year. And we're nearing three-quarters of a million
23 total safe fills.

24 Air Products has been recognized by the industry
25 as the world's safest chemical company, and we've held

1 that distinction for several years. And to us, nothing is
2 more important than safety.

3 --o0o--

4 MR. KICZEK: We are participating in a number of
5 several -- and several profitable commercial hydrogen
6 fueling markets today, including forklifts, unmanned
7 aerial vehicles, cell towers, submarines, unmanned
8 underwater vehicles, stationary power, both high
9 temperature and low temperature fuel cells. We use these
10 markets actually to help us to develop many of the
11 products leading to light-duty vehicles, because the
12 volume was in these adjunct markets where we can develop
13 those products.

14 We also recognize the need for renewable hydrogen
15 and are currently producing renewable hydrogen at our
16 California facilities by the purchase of renewable natural
17 gas and a wastewater treatment facility at Orange County
18 Sanitation District via processing the digester offgas.
19 This is the Fountain Valley project that many people have
20 mentioned.

21 And so I guess you can say technically everybody
22 here in this room really is actually a hydrogen generator
23 in the endgame.

24 Some of these experiences we've actually come to
25 realize that current supply systems employed within the

1 industrial gas system are really not conducive to the
2 transition of a fueling market, a retail fueling market,
3 and therefore we've sought to develop fit-for-purpose
4 supply platforms in order to meet this need. And we've
5 been working on this for several years.

6 --o0o--

7 MR. KICZEK: Within the last year, we've
8 introduced at Air Products two new supplying modes which
9 will drastically reduce the cost of hydrogen dispensed at
10 the retail sites and will fill this transition -- this
11 very much needed transition gap.

12 These technology platforms include composite
13 hydrogen trailers and dual-phase liquid hydrogen trailers.
14 Both of these technologies deliver high pressure gas to
15 the station versus generating it on-site. And these
16 technologies are on the road today in both the U.S. And
17 Europe, and they're operating here in California and
18 actually in Sacramento. And so I welcome anyone from the
19 Board to tour our plant in Sacramento and actually see
20 these technologies. And a portion of these technology are
21 actually operating at AC Transit today.

22 We believe that these technologies will provide a
23 dispensed hydrogen price which is competitive with
24 gasoline today.

25 --o0o--

1 MR. KICZEK: With these proprietary technologies
2 we believe Air Products is in a rather unique position and
3 able to offer an expandable fueling platform from small to
4 large systems. These new supply modes allow us to make
5 the business case at the smallest possible capacities and
6 grow these systems with the increasing demand with just
7 additions and some modifications on each of the sites.

8 The total capital required at the fueling site
9 has been significantly reduced, resulting in lower initial
10 transition investment due to the reduction of
11 under-utilized assets. We can place a station on an
12 existing forecourt for less than a million dollars.

13 Our strategy has been build what you need and
14 let's expand it as the demand comes forward.

15 --o0o--

16 MR. KICZEK: We're actually deploying these
17 systems today under awards from CARB and the California
18 Energy Comission in southern California, and we certainly
19 appreciate those awards.

20 The first of the nine stations is actually
21 currently in construction in Harbor City, California -
22 it's pictured at the bottom right - and due to be
23 completed in mid-July. These stations will be placed on
24 any existing -- can be placed on any existing gasoline
25 forecourt. They're modular. They're expandable, require

1 only 800 square feet of plot space. And we can expand
2 these from the small size that they're starting at at 100
3 kilograms to up over a thousand kilograms a day, which
4 more than meets the need that Dr. Brown had mentioned.

5 Placement of these stations has been made in
6 conjunction with discussion with all of the OEMs, where we
7 provided the opportunity for them to choose from over 60
8 sites. And they actually selected the most ideal sites
9 where they wanted to see fueling.

10 As the demand grows at each site, we can manage
11 the customer through the demand cycle.

12 Just 30 seconds more.

13 --o0o--

14 MR. KICZEK: This project alone has an immediate
15 impact of creating 240 jobs in the State of California,
16 because all of our products are sourced in the State of
17 California.

18 --o0o--

19 MR. KICZEK: But the last slide here, and I'll
20 cut it short, is we do have one challenge. And that one
21 challenge is the lack of volume or loading of those
22 stations in the early years, as the infrastructure needs
23 to lead vehicles to obtain coverage. We've heard about
24 the UCI STREET model. We believe that you need 30
25 stations. Once you get 30 stations, we believe that that

1 will seed an area and then commercial forces will take
2 over. And with the sustained business case, you can see
3 significant investment that will come from industry, in
4 excess of hundreds of thousands of dollars.

5 --o0o--

6 MR. KICZEK: Finally, in summary, we've
7 reconfigured the supply chain on a fit-for-purpose basis.
8 We believe that the infrastructure capital cost -- we've
9 lowered them, we've cut them almost in half, and that the
10 hydrogen fueling will be affordable to gasoline and
11 gasoline models today.

12 We believe that California has an opportunity
13 here to be a model for the rest of the world. I'd like to
14 see California take the lead. But I'll also note that
15 there are two foreign countries which have embraced our
16 concepts are moving forward, and we're looking to get them
17 approved in those counties.

18 Thank you very much.

19 CHAIRPERSON NICHOLS: Thank you.

20 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

21 CHIEF BEVAN: Thank you.

22 Our last presentation will be from Dr. Scott
23 Samuelsen from the National Fuel Cell Research Center at
24 UC Irvine.

25 CHAIRPERSON NICHOLS: Welcome.

1 MR. KICZEK:

2 (Thereupon an overhead presentation was presented
3 as follows.)

4 MR. SAMUELSEN: Chair Nichols and Board members.
5 I'm Scott Samuelsen, the Director of the National Fuel
6 Cell Research Center. I've been asked to speak about the
7 so called Fountain Valley or Orange County Sanitation
8 District energy station. It's really the epitome of an
9 interaction between the Partnership and the California
10 Stationary Fuel Cell Collaborative, at the nexus of
11 electricity and hydrogen.

12 --o0o--

13 MR. SAMUELSEN: Looking to the interests of the
14 partnership, it's on the automobile where we've seen
15 examples of the manufacturers' production that's expected
16 to be commercially launched in 2015. Hydrogen is the fuel
17 and we're talking on this panel with respect to
18 infrastructure.

19 --o0o--

20 MR. SAMUELSEN: This presentation is really to
21 look at the role of a stationary fuel cell in supplying
22 that hydrogen. So I want to take a moment and just look
23 at the application of the stationary fuel cell, where on
24 the left the hydrogen is provided through a fuel
25 processor, for example, a natural gas being the fuel; and

1 on the right the direct current is transformed to
2 alternating current. And up there at the exhaust we try
3 to capture as much of the heat energy as possible and
4 utilize it to improve the overall efficiency of the
5 operation.

6 We've seen from Katrina Fritz-Intwala examples
7 today of stationary fuel cell applications and from Mike
8 Upp the ClearEdge applications.

9 --o0o--

10 MR. SAMUELSEN: What I want to focus on here is
11 that hydrogen there just on the left of the fuel cell
12 stack and recognize the role of the fuel processor in
13 providing that hydrogen. In the kind of advanced fuel
14 cells, which we call the high temperature fuel cells -
15 those are the solid oxide or molten carbonate - the
16 reformation is promoted by a high efficiency due to the
17 availability of water and heat that's already at the anode
18 of the stack.

19 --o0o--

20 MR. SAMUELSEN: Well, let's bring back now the
21 mobile fuel cell. And you see at the top the availability
22 or source of hydrogen and then at the bottom kind of the
23 requirement for hydrogen. So it vets the question of --
24 or begs the question of just combining the two as to
25 whether the stationary fuel cell can provide the hydrogen

1 demand for the fueling public.

2 Let's look at how that might look. This is a
3 hydrogen station that's supplied today by a liquid
4 hydrogen truck. If instead the hydrogen came from a
5 stationary fuel cell - there it is operated on natural
6 gas, there it is - that fuel cell could provide
7 electricity and heat to a local customer, say, a
8 condominium, and then hydrogen on demand to provide the
9 hydrogen supply for the fueling center. We call this -
10 you see it up at the top - a high temperature fuel cell
11 with hydrogen tri-generation, or in the rubric of the
12 hydrogen highway report, an energy station with these
13 three products that come from it.

14 --o0o--

15 MR. SAMUELSEN: I want to transform this into a
16 schematic just to show a particular principle here, which
17 is, in a word, a synergism that is created by providing a
18 higher concentration of hydrogen at the anode. It
19 actually increases the efficiency of the fuel cell. It
20 allows us to create the reformation at a very small amount
21 of energy.

22 To demonstrate that, let's just bring in a
23 hundred megajoules of natural gas into the fuel cell.
24 That's going to create 47 megajoules of electricity and 53
25 megajoules of high quality heat. That's kind of the

1 conventional way that we operate a stationary fuel cell
2 today, in this case a molten carbonate fuel cell.

3 Going into the tri-generation mode, let's provide
4 another 43 megajoules of natural gas, a total of 143.
5 That's going to allow us to generate 43 megajoules of
6 hydrogen. And there you see the high efficiency due to
7 this synergistic effect. Still maintaining 47 megajoules
8 of electricity and not quite the same level of 53
9 megajoules, but rather 49 megajoules of high quality heat.

10 --o0o--

11 MR. SAMUELSEN: So we go back to the energy
12 station. This today is the most energy efficient and
13 environmentally responsible manner by which to produce
14 hydrogen 24/7, in this case from natural gas.

15 But we have another opportunity, which is to
16 power the fuel cell, not in natural gas, but on a
17 renewable gas, let's say a digester gas or landfill gas.

18 And then up in the top this becomes a high
19 temperature fuel cell with renewable hydrogen
20 tri-generation, or in other words a renewable energy
21 station.

22 --o0o--

23 MR. SAMUELSEN: An example of this, which is the
24 last slide, is a wastewater treatment plant. The sledge
25 over at the left is what we know it is. And the digester

1 to the right is where it's processed to create a more
2 amenable product for disposable.

3 That digester needs heat, and that's provided
4 today by a boiler with its associated criteria pollutant
5 emissions. If instead we replace that boiler with a fuel
6 cell, we can then use the heat that would otherwise be
7 vented to provide the heat for the digester for free. No
8 emission of criteria pollutants. In addition, we have
9 electric power coming from that fuel cell.

10 --o0o--

11 MR. SAMUELSEN: Katrina showed us earlier the
12 City of Tulare Wastewater Treatment Plant, 900 kilowatts.
13 There's about 9 megawatts throughout California of this
14 product already commercially deployed.

15 --o0o--

16 MR. SAMUELSEN: But here we're going beyond that.
17 We're taking not only AC power, but remember
18 tri-generation. So here comes the hydrogen, now
19 biohydrogen. And this is actually a concept that's being
20 provided, and we've heard about it today, for
21 demonstration at the Orange County Sanitation District,
22 indeed in Fountain Valley at the Euclid exit of the 405.
23 Support is from the U.S. Department of Energy, the Air
24 Resources Board, and the Air Quality Management District.

25 The opening is planned for August - to be

1 specific, August 16th - where the public can drive up and
2 be able to refuel on biohydrogen. This particular plant
3 is providing 300 kilowatts of electricity and about 125
4 kilograms of hydrogen.

5 Thank you.

6 CHAIRPERSON NICHOLS: Thank you very much. This
7 is an exciting prospect.

8 So it means you drive to your local sewage
9 treatment plant to get your car gassed up, is that
10 basically the deal? Nothing wrong with that, I guess, if
11 we've got the site.

12 It seems like it's almost -- in some ways almost
13 too good to be true. But I can't think of any reason why
14 it shouldn't be.

15 Curious about -- to ask you a completely
16 different question, if you don't mind. But it's something
17 that's sort of been on my mind lately, as we think about
18 the kind of dramatic reductions that we're going to need
19 in emissions to reach air quality standards that are
20 likely coming in the future. And, you know, we
21 collaborated with the South Coast Air Quality Management
22 District on a document that basically indicates that, not
23 next year, but sometime in foreseeable decades at least,
24 that it's almost impossible to envision combustion as an
25 activity that's going to be allowed really in -- at least

1 in urban areas like Los Angeles. And the concern is that
2 there's so much that goes on at the individual homeowner
3 level in terms of use of natural gas for -- in most cases
4 at least for, you know, running your stove and your hot
5 water heater or heating your house and so forth, and
6 wondering if localized -- if small fuel cells at the level
7 of what a home would use are a foreseeable likely
8 application.

9 Is that a sensible way to go? Is it a way that,
10 you know, you all are thinking about fuel cells evolving?
11 Or is this more something that's going to be limited to
12 larger scale buildings as we look ahead?

13 MR. SAMUELSEN: Well, fuel cells are being
14 deployed commercially today, Chair Nichols, in homes.
15 ClearEdge, Mike Upp, who spoke earlier, that's a
16 product -- their five kilowatt product, a proton exchange
17 membrane fuel cell that also has waste heat recovery.
18 It's in the very early stages in the United States, with
19 the first market, as Mike pointed out, being in
20 California.

21 In Japan it's a more popular deployment that's
22 occurring right now. Not only proton exchange membrane
23 fuel cells but also five kilowatt solid oxide fuel cells.
24 I expect within 20 years they'll be as popular as we have
25 personal computers in homes today.

1 We're also seeing larger fuel cells being
2 deployed for residential deployments. Katrina referred to
3 that mixed use as an example where large fuel cell systems
4 can serve a variety of customers, from apartment owners to
5 the commercial operations within a mixed use sector.

6 So it's at the beginning stage with respect to
7 residential. But we're already now about 20 years into
8 commercial deployment of fuel cells at the stationary
9 level.

10 CHAIRPERSON NICHOLS: Great. Thanks.

11 Maybe just one other comment. I guess it's sort
12 of obvious that this panel does not include any of the
13 people whose names are normally thought of as being
14 emblazoned across gas stations, current fueling stations.
15 Although there were a couple of examples I guess of
16 co-location there.

17 And this is I guess really more -- maybe this is
18 part of Analisa's wrap-up. I'm not sure. But I think it
19 would be good to sort of update the Board on what has been
20 the reaction of the oil industry, the petroleum industry
21 to this emerging market to date, and any comments that you
22 would make about why we don't see any big names here.

23 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

24 CHIEF BEVAN: Sure. The oil companies have been an active
25 partner in the fuel cell partnership, infrastructure being

1 a primary effort that the partnership has been undertaking
2 in the last few years. But in our discussions, they've
3 been looking for -- and they've been involved in some of
4 the early stations that have gone in - the Shell Santa
5 Monica station is an excellent example of that - and have
6 had some involvement with some of the very early stations
7 which we funded.

8 But primarily, the folks which are getting the
9 work done and at this stage are very actively bidding on
10 the funds that we have available by the state are the
11 folks you see sitting at the table. More of the
12 conversation from the oil companies has been centered
13 around being able to see the business case.

14 And also a very fundamental shift has taken place
15 in California in terms of who owns gasoline stations. The
16 oil companies have divested themselves primarily from
17 retail stations. And so while we see stations branded by
18 the oil companies, those are independently operated and
19 owned concerns -- business concerns that don't have the
20 control of the oil company over them.

21 So this starts to feed into one of the changes
22 that we're looking at making with the proposed amendments
23 to the Clean Fuels Outlook that we'll bring to you in the
24 fall, changing who we would regulate rather than the
25 assumption that if we regulate the retail business, we

1 would capture the largest providers of fuel. That
2 wouldn't be the case anymore. And so we're looking at
3 moving that upstream to the oil providers -- or fuel
4 providers.

5 So they remain active participants in the fuel
6 cell partnership and certainly consult on creating the
7 business case and the path forward.

8 But these are the folks that are doing the work
9 on the ground today.

10 CHAIRPERSON NICHOLS: Thank you.

11 And I guess maybe this is really for Mr.
12 Fletcher. But do you see any likelihood that the low
13 carbon fuel standard will lead to some of the companies
14 that are subject to that moving in this direction?

15 DEPUTY EXECUTIVE OFFICER FLETCHER: I don't think
16 in the early years of the program it will. We did look at
17 ways to provide incentives for, you know, credits, extra
18 credits, for example, in the early years. And it just
19 didn't seem like it was the best approach, which is why I
20 think they were looking at the clean fuels outlet. So I
21 think the amount and volume of hydrogen that would be
22 available during the domain of the early years of the low
23 carbon fuel standard are so small that it's not likely to
24 provide that much of an incentive.

25 As you go -- you know, if we look beyond 2020, I

1 think it can play a huge role.

2 CHAIRPERSON NICHOLS: Okay. Thank you.

3 I don't see anybody leaping forward with
4 questions. But we also know that we have a treat in store
5 for us in the next few minutes. So maybe I'll let you
6 wrap up, I guess.

7 Analisa, did you have some final comments, and
8 James? And then we'll go take our tour.

9 EXECUTIVE OFFICER GOLDSTONE: And we have one
10 speaker who signed up.

11 CHAIRPERSON NICHOLS: Oh, we do have one public
12 speaker.

13 All right. Well, let's finish the staff
14 presentation.

15 SUSTAINABLE TRANSPORTATION TECHNOLOGY BRANCH

16 CHIEF BEVAN: Okay. Well, I think our panel presentations
17 today have shown that there's real progress in
18 performance, durability, and cost, demonstrated with
19 real-world installation and placements of fuel cells, both
20 stationary and mobile and the use of hydrogen.

21 We heard a key message that work is needed on
22 fuel for fuel cells and that there's a distinct
23 appreciation for the recognition the role fuel cells play
24 in our climate change policies and regulations, and a need
25 to provide a consistent government policy and support.

1 Clearly we heard that infrastructure is critical,
2 especially for the deployment of fuel cell vehicles.

3 I don't know how clear it came out in the
4 presentations, but in talking with the manufacturers in
5 preparation for this and also in prior meetings, they have
6 cars sitting on lots waiting for infrastructure, ready to
7 find the customers to make use of the cars.

8 We have an exciting future ahead of us. Fuel
9 cells are no longer described as being ten years ago.

10 If I can use a personal interjection. When I
11 first started working on hydrogen and fuel cells, I used
12 to peg the commercialization as being right around the
13 time my son would be ready to take his driving test. The
14 way things are looking now, I get to drive the car for a
15 few years before he's ready to take his test. He's seven
16 now.

17 So I think this is tremendous progress. I like
18 that there's been this measuring stick. And I was afraid
19 that it would go the other direction. And so I'm very
20 optimistic and enthusiastic. And I think that our
21 panelists here today have helped us gain a view of where
22 things are going and can help us all take that vision
23 forward.

24 CHAIRPERSON NICHOLS: Well, it's been a terrific
25 set of presentations. And I know how challenging it is to

1 try to condense things in short order. But it really is
2 helpful to us to have this diversity of sources that we've
3 been able to hear from.

4 So thank you all for making the effort to be with
5 us and to help educate us as well about the opportunity.

6 I think that the fuel cell partnership has been
7 a -- well, both fuel cell efforts have been remarkable in
8 the amount of private sector involvement that they have
9 generated as well as in the opportunities for government
10 to really find ways to work on some of these issues that
11 would have been quite difficult if we'd stayed in our own
12 silos. Not to mention also the benefit of having the
13 academic connections both with Irvine and Davis.

14 So this has been quite a model I think that we've
15 also managed to create here in California in an
16 institutional sense. And I'd like to acknowledge that as
17 well, especially appreciation to Dr. Samuelson for being
18 with us today. Thank you.

19 And we do have one member of the public who asked
20 to address that Board. And that is Fernando Corall from
21 Plug Power.

22 MR. CORALL: Thank you. Good afternoon. I will
23 make it brief.

24 My name's Fernando Corall. I'm with Plug Power.
25 I'm Director of Sales for the Western Region of Plug

1 Power. And I just wanted to add my comments to several of
2 the gentlemen and presenters. We work with their
3 products, with Linde, with the UC Irvine. And I just
4 wanted to give you some perspective as to the material
5 handling side of the fuel cell industry.

6 Currently, there's over 1200 units being powered
7 by hydrogen fuel cells in the United States. That
8 represents -- we talked about throughput. That represents
9 approximately 2,000 kilograms per day of hydrogen being
10 consumed by forklift trucks.

11 Further, it's about 5,000 fuelings per week that
12 are occurring primarily in the United States. I say that
13 because, unfortunately, none of those numbers apply to
14 California. In California, there is no -- there are no
15 material handling equipment being fueled by hydrogen. And
16 one of the reasons is primarily the cost of
17 infrastructure. We talked about the infrastructure for
18 the automotive industry. The infrastructure for
19 hydrogen -- for material handling is an expensive
20 proposition.

21 Commercialization of the units are almost on a --
22 is here. It's a capital cost. It's a wash when it comes
23 to purchasing a hydrogen fuel cell for a lifttruck versus
24 the batteries -- the lead acid batteries and the chargers
25 required. The stumbling block is essentially the

1 infrastructure.

2 And that's one of the reasons why I'm here is to
3 encourage the Board to revisit their decision to withhold
4 funding for off-road commercial -- or off-road hydrogen
5 fuel cells. I know that you are funding the stations for
6 the automotive industry and for buses and so on. But I
7 would also like to encourage you to look at hopefully
8 funding in 2011, 2012 some stations that would be
9 dedicated to hydrogen fuel cells powering forklifts.

10 CHAIRPERSON NICHOLS: Okay. Thank you.

11 MR. CORALL: Thank you very much.

12 CHAIRPERSON NICHOLS: All right. Mr. Goldstene.

13 EXECUTIVE OFFICER GOLDSTENE: Thank you.

14 Analisa I think did a great job. She and her
15 team were fantastic. And thanks to all the panelists.

16 I think now -- we have until 1:00. We have real
17 life examples out in the front on the street and on the
18 patio of stationary and mobile fuel cells that we'd like
19 the Board to go out and take a look at now.

20 CHAIRPERSON NICHOLS: I think we should combine
21 it with our lunch break, if we can.

22 EXECUTIVE OFFICER GOLDSTENE: And we'd combine it
23 with our lunch after.

24 CHAIRPERSON NICHOLS: Because we do have a couple
25 of measures we have to take up this afternoon as well.

1 EXECUTIVE OFFICER GOLDSTENE: Right. We have a
2 short item on the air quality matter and then the
3 oceangoing vessel, which will take about an hour plus.

4 CHAIRPERSON NICHOLS: Right, which is an public
5 hearing item.

6 So do you think we can do this all in an hour?
7 We don't have an executive session scheduled today at
8 lunchtime.

9 EXECUTIVE OFFICER GOLDSTENE: Right. No, I think
10 we could be back maybe by 1:15 or so.

11 CHAIRPERSON NICHOLS: All right. Let's try for
12 1:15 then to return.

13 Thanks very much, everybody.

14 12:04 PM

15 (Whereupon a lunch recess was taken.)
16
17
18
19
20
21
22
23
24
25

1 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

2 Thank you, Mr. Goldstene, and good afternoon Madam
3 Chairwoman members of the Board.

4 (Thereupon an overhead presentation was presented
5 as follows.)

6 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

7 As Mr. Goldstene mentioned, I'll be summarizing our
8 recommended area designations for the new federal sulfur
9 dioxide standard.

10 --o0o--

11 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

12 In June of last year, U.S. EPA adopted a new one-hour
13 sulfur dioxide, or SO₂, standard. This standard is more
14 stringent than the previous SO₂ standards, which had not
15 been violated in California more than three decades.

16 Under the Clean Air Act, state recommendations on
17 area designations are due one year after the standard is
18 adopted. Consistent with this time line, we submitted our
19 recommendations earlier this month. EPA now has a year to
20 consider our recommendations before issuing final
21 designations and boundaries. We expect EPA's final action
22 by June of next year.

23 --o0o--

24 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

25 The new federal SO₂ standard is set at a level of 75 parts

1 per billion averaged over a one-hour time period. This
2 standard replaces the previous 24-hour and annual
3 standards, which had been in place for many years.

4 The new one-hour standard focuses on acute,
5 short-term health impacts. EPA changed the averaging time
6 because health studies showed that short-term exposures,
7 on the order of five minutes to one hour, were strongly
8 linked to adverse health impacts. Under the previous
9 24-hour and annual standards, short-term concentrations
10 could exceed the level needed to protect public health.

11 --o0o--

12 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

13 The newer health evidence for sulfur dioxide shows a
14 stronger link between short-term exposure and adverse
15 respiratory effects. These respiratory effects include
16 difficulty breathing and a worsening of asthma symptoms,
17 especially in exercising individuals.

18 Additional health evidence also points to an
19 increase in emergency room visits and an increase in
20 hospital admissions for all respiratory illnesses,
21 including asthma, when SO₂ concentrations are elevated.

22 --o0o--

23 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

24 The area designation process for SO₂ is similar to that of
25 other pollutants. The review is based on air quality data

1 for a recent three-year period; in this case, 2007 through
2 2009. Based on these data, staff determined the
3 designation status - in other words, does air quality meet
4 the standard or does it violate the standard? Staff then
5 proposed an appropriate boundary, using the criteria
6 specified by EPA guidance. For SO₂ this included five
7 factors: Emissions, air quality, meteorology, geography,
8 and jurisdictional control.

9 --o0o--

10 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

11 Compared with other parts of the nation, the total amount
12 of SO₂ emissions in California is relatively small.
13 However, SO₂ emissions contribute to PM_{2.5} pollution, so
14 ongoing emission reductions remain important.

15 Most SO₂ emissions in California are associated
16 with a few source categories. In particular, oceangoing
17 vessels account for the largest portion of the statewide
18 total, about 55 percent of California's SO₂ inventory.

19 A remaining large portion of the statewide SO₂
20 emissions comes from stationary sources. The majority of
21 these emission come from petroleum refining, fuel
22 combustion from sources such as boilers and process
23 heaters, and from mining processes and cement
24 manufacturing activities. These type of stationary
25 sources are widely distributed throughout California.

1 However, the largest sources that are of most concern for
2 SO₂ are limited to just a few areas of the state.

3 --o0o--

4 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

5 Decades ago California switched from fuel oil to natural
6 gas for generating electricity, which dramatically reduced
7 SO₂ emissions in California. SO₂ emissions throughout the
8 state are now close to half of what they were in 1990.
9 Much of the ongoing reduction is due to improved controls
10 on stationary sources and limits on the sulfur content of
11 fuels they use.

12 Another large reduction is attributable to
13 limiting the sulfur content in shipping fuels, which has
14 especially benefited the areas with large port operations.

15 The next item on today's agenda deals with ARB's
16 oceangoing vessel clean fuel regulation, which has already
17 reduced emissions nearly 80 percent. This rule is a key
18 PM_{2.5} SIP measure and it also helps to improve SO₂ air
19 quality along California's coast and in port communities.

20 --o0o--

21 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

22 The reduction in SO₂ emissions is mirrored in the ambient
23 SO₂ air quality. This graph shows the long-term trend for
24 the three most populated areas of California: The
25 San Francisco Bay Area, the South Coast, and the San

1 Joaquin Valley. In all three of these areas,
2 concentrations are now at least half of what they were
3 20 years ago. In addition, they are well below the level
4 of the new one-hour federal SO₂ standard.

5 While there is a gap in the trend analysis for
6 the San Joaquin Valley due to incomplete data, the recent
7 values show low levels compared to the new federal
8 standard. Similar trends hold true for other parts of the
9 state.

10 --o0o--

11 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

12 Currently, California has ambient SO₂ monitoring networks
13 with a total of 39 sites. These sites are located
14 throughout the state, with the most populated areas having
15 the largest number of monitors. Concentrations at all
16 sites are far below the level of the new
17 75-part-per-billion standard, with maximum concentrations
18 in urban areas ranging from 20 to 35 parts per billion.

19 Concentrations in nonurban areas that are not
20 located near large stationary sources are much lower,
21 ranging from 2 to 17 parts per billion.

22 --o0o--

23 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

24 In addition to the statewide network, there are several
25 special purpose monitoring networks in areas with

1 significant SO₂ sources. One of these areas is the Long
2 Beach / Los Angeles port complex. As part of their clean
3 air action plan, the ports established a six-site
4 monitoring network to measure port-related pollution
5 concentrations.

6 This special network has been operating for about
7 five years, and recent data show one-hour SO₂
8 concentrations in the range of 34 to 62 parts per billion.
9 Although these levels are generally higher than those
10 measured by the ambient monitoring network, they are still
11 below the level of the new federal standard.

12 We anticipate that this network will continue to
13 operate long term, providing useful information about SO₂
14 and other pollutant levels in the ports area and
15 surrounding impacted communities.

16 --o0o--

17 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

18 In addition to the ports monitoring in the South Coast,
19 the Bay Area also conducts special purpose SO₂ monitoring.
20 A network of 15 ground-level monitors are located near or
21 outside the property boundaries of the five Bay Area
22 refineries in Contra Costa and Solano counties. These
23 refinery operations are among the largest SO₂ sources in
24 the state.

25 Under the District's Regulation 9, the monitors

1 measured downwind near-source concentrations as part of
2 the facility operating permit.

3 Measured concentrations at these monitoring sites
4 range from 1 to 56 parts per billion, all of which are
5 below the level of the new federal SO₂ standard. As with
6 the port's monitors, we expect this facility-related
7 monitoring will continue operating long term.

8 --o0o--

9 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

10 In addition to evaluating air quality data, the federal
11 SO₂ standard designation process contains a new
12 requirement that air quality be supplemented with modeling
13 for large stationary sources.

14 U.S. EPA guidance focuses on sources that emit
15 more than 100 tons of SO₂ per year.

16 In California, 34 facilities exceed this emission
17 threshold and will require modeling.

18 While the majority of these facilities are
19 refinery operations, the remaining large sources include
20 cement plants, mining operations, glass manufacturers, and
21 co-generation facilities. SO₂ emissions from facilities
22 in California are small compared to large SO₂ sources
23 elsewhere in the nation.

24 --o0o--

25 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

1 Over the next several months, our air quality modeling
2 staff will be working with the local districts to develop
3 an SO₂ modeling protocol. The larger districts will
4 complete their own modeling efforts, and ARB staff will
5 conduct modeling for the smaller districts.

6 We have committed to providing the modeling
7 results to EPA prior to their making final area
8 designations in June 2012.

9 --o0o--

10 AIR QUALITY ANALYSIS SECTION MANAGER SWEIGERT:

11 In summary, all SO₂ monitors in California show compliance
12 with the new federal standard. This includes monitors in
13 the ambient network as well as special purpose monitors.
14 In most cases, concentrations comparable with the federal
15 standard are well below the level of the standard.

16 As I mentioned earlier, staff has submitted a
17 technical analysis to U.S. EPA in support of the
18 attainment recommendation. Modeling for large stationary
19 SO₂ sources will be completed as required and submitted to
20 U.S. EPA before the area designations are made.

21 This concludes my presentation. And now I'll be
22 happy to answer any questions you have.

23 CHAIRPERSON NICHOLS: This really isn't a
24 question, but it's a comment for the Board members.

25 I think the staff was perhaps a little too plain

1 vanilla in the presentation to highlight this point. But
2 as a result of having to do the additional monitoring and
3 modeling for the SO₂ standard, which as you can see is in
4 and of itself not a problem for us in terms of planning,
5 we are going to be getting data out of this new
6 monitoring, which I think is very helpful and responsive
7 to concerns that have been raised by communities that are
8 downwind of these major facilities. And so I'm hoping
9 that, if anybody is listening today, or if they're not,
10 that in the future we will be able to communicate that
11 this is an area where perhaps an investment that's
12 required by one part of the Clean Air Act turns out to be
13 moving us in a direction that's very useful and really
14 enabling us to respond effectively to concerns that are
15 being raised by all of the groups that are particularly
16 concerned about environmental justice considerations. And
17 I think it's going to be useful to researchers and others
18 as well.

19 BOARD MEMBER BALMES: So does that mean that
20 we're monitoring for other pollutants in conjunction with
21 SO₂?

22 CHAIRPERSON NICHOLS: These stations have other
23 monitoring attached to them in many instances.

24 Yes. Go ahead, Karen.

25 AIR QUALITY DATA BRANCH CHIEF MAGLIANO: This is

1 Karen Magliano.

2 In the ports network, for example, in the South
3 Coast, that's a comprehensive network that has multiple
4 pollutants that are measured.

5 Around the refineries it's simply focused on SO₂
6 and then some hydrogen sulfide monitoring because of
7 issues about odors. But Bay Area has said there's the
8 possibility that those networks could be expanded if there
9 was strong interest.

10 CHAIRPERSON NICHOLS: And once you've got the
11 sites, other things are possible too.

12 BOARD MEMBER BALMES: Right.

13 CHAIRPERSON NICHOLS: So I think this is good
14 stuff, just to let you know.

15 BOARD MEMBER BALMES: Yeah, I have to confess
16 that I was on the Clean Air Scientific Advisory Committee
17 panel that reviewed the SO₂ standard. And the first
18 research I ever did with a air pollutant was on SO₂, and
19 showed that even short exposures could lead to
20 exacerbations of asthma. So I was really pleased that EPA
21 finally came up with a standard that protects asthmatics.
22 But I'm also glad to see that we basically don't have a
23 problem here in California --

24 CHAIRPERSON NICHOLS: Yes, for once.

25 BOARD MEMBER BALMES: -- with regard to

1 enforcement.

2 CHAIRPERSON NICHOLS: Yes, Ms. Berg.

3 BOARD MEMBER BERG: It just occurred to me that,
4 in reading -- or listening to the facilities that you
5 listed, that these facilities are going to fall under the
6 requirement under AB 32 to do some review of their
7 pollutants and come up with scenarios that they might be
8 able to reduce those pollutants. And I was just wondering
9 if additional requirements -- if we go back and look at
10 what they're required to do under that requirement, that
11 we are trying to keep things homogenized as best as
12 possible and not keep them in silos. So it would seem to
13 me that SO₂ would certainly fall under that requirement.
14 And so whatever modeling they're doing there, does it
15 apply to this, or will this modeling apply to that? So
16 that we're not asking them to do an entire different study
17 that is going to be duplicative cost -- it'll double cost.
18 And so have we taken a look at things like that?

19 BOARD MEMBER BALMES: That's the industrial
20 audit, I think you're referring to.

21 CHAIRPERSON NICHOLS: That's what I was
22 wondering.

23 DEPUTY EXECUTIVE OFFICER FLETCHER: I think it's
24 the industrial audit measure that you're looking at. And
25 the modeling that -- they're not really doing modeling in

1 this context where they're estimating the fence line or
2 near-term concentrations of SO₂. In the industrial audits
3 measure what they're doing is going through and looking at
4 the emissions of various units within the facility,
5 whether it's a refinery or cement plant, and looking at
6 ways -- you know, first of all what is the energy
7 efficiency of the individual units within there? And then
8 looking at the technology that could be applied to reduce
9 that both from a greenhouse gas and a criteria
10 pollutant -- criteria and toxic pollutant.

11 So I don't think there's a conflict here in terms
12 of what's required.

13 CHAIRPERSON NICHOLS: But there is a connection.
14 And the question is --

15 DEPUTY EXECUTIVE OFFICER FLETCHER: There's a
16 connection but not a requirement.

17 CHAIRPERSON NICHOLS: -- is there some
18 potential --

19 BOARD MEMBER BALMES: Synergy.

20 BOARD MEMBER BERG: I just think we need to be
21 mindful as the same people are popping up, you know,
22 because they're the ones that are going to be the larger
23 emitters. And I just think we need to be mindful how can
24 we look at our roles to be able to get the most bang for
25 their buck. And I just would appreciate if staff could

1 keep that in mind.

2 CHAIRPERSON NICHOLS: No, I think that's a good
3 point, especially when you're even just about multiple
4 communications coming from us; you know, first it's this
5 and then it's that. I can -- from the perspective of the
6 facility owner, it's going to look like something
7 uncoordinated and potentially more burdensome than it has
8 to be.

9 So I guess the question, or maybe direction to
10 staff, would be to take a look at how we're rolling out
11 these two items and see if there's some potential to
12 coordinate.

13 DEPUTY EXECUTIVE OFFICER TERRY: Maybe just one
14 quick comment.

15 The only requirement really imposed on California
16 that's new as a result of this process is the requirement
17 to do the air quality modeling specific to SO₂ for those
18 34 facilities. In this particular case, the air districts
19 will be doing the modeling or else ARB. So there's pretty
20 limited impact on the facilities themselves.

21 BOARD MEMBER BERG: Thank you for that
22 clarification.

23 CHAIRPERSON NICHOLS: Okay. Good.

24 All right. If there's nothing more on this item,
25 thank you very much for the report.

1 And we will move on to our last item, which is
2 also a regulatory item, which is proposed amendments to
3 the Oceangoing Vessel Clean Fuel Regulation. This
4 regulation has been in the process of being implemented
5 since July 2009 and requires ships within 24 nautical
6 miles of the California coastline to use cleaner burning
7 fuels.

8 The amendments that we're considering today were
9 developed with information that was learned during the
10 first year and a half of implementation. As many of you
11 will remember -- well, when this regulation was originally
12 adopted in 2008, the Navy raised a concern at the time
13 about the impacts of changes in vessel routing that might
14 occur as a result of the regulation. And at the time the
15 staff was directed to monitor the situation and report
16 back to the Board if ships posed a potential problem for
17 the operations at the sea range.

18 Unfortunately, it did. And the staff has worked
19 closely with the Navy and other stakeholders to develop
20 amendments that address the Navy's concerns, as well as
21 preserving the essential public health and air quality
22 benefits from this regulation, some of which you already
23 heard about just a minute ago when we were talking about
24 our progress on SO₂.

25 So the situation that we're facing is that there

1 has been a change in vessel routing that's resulted in the
2 significant increase in the number of ships that are
3 making their way through the Navy's Point Mugu Sea Range
4 in southern California. And we're now in the process of
5 trying to address that.

6 For your information, I thought it would be
7 useful to ask the Navy to come join us today and give us a
8 short presentation about the sea range prior to the staff
9 presentation of the proposed amendments.

10 We have with us I, believe - I'm looking out
11 here - Capt. Sinofsky, who's here to make this
12 presentation. And I want to thank him for coming today.

13 And I'll ask Mr. Goldstene first to just
14 introduce the item.

15 EXECUTIVE OFFICER GOLDSTENE: Thank you, Chairman
16 Nichols.

17 As with any regulation adopted by the Board, ARB
18 staff monitor implementation. If information becomes
19 available to indicate that amendments are needed, we work
20 with stakeholders to develop amendments for your
21 consideration. This is the case for the Oceangoing Vessel
22 Clean Fuel regulation, as Chairman Nichols just indicated.

23 Amendments are needed to help address the change
24 in channel traffic patterns that have occurred -- in
25 vessel traffic patterns that have occurred in southern

1 California and that are creating the potential for vessels
2 to interfere with Navy operations in the Point Mugu Sea
3 Range.

4 ARB staff worked closely with the U.S. Navy, U.S.
5 Coast Guard, and other stakeholders on this issue. Based
6 on the work, staff will propose amendments today that we
7 believe will reduce the potential for vessels to interfere
8 with Navy operations in the sea range and will help ensure
9 a successful transition to low sulfur fuels by aligning
10 the implementation dates of the regulation more closely
11 with recently adopted federal requirements.

12 These amendments retain the health protective and
13 air quality benefits originally anticipated from the
14 regulation.

15 I'll now ask Bonnie Soriano of the Stationary
16 Source Division to present the staff's proposal.

17 Bonnie.

18 (Thereupon an overhead presentation was presented
19 as follows.)

20 STAFF AIR POLLUTION SPECIALIST SORIANO: Thank
21 you, Mr. Goldstene.

22 Good morning, Madam Chairman and members of the
23 Board.

24 Today we are proposing for your consideration
25 amendments to the Oceangoing Vessel Clean Fuel regulation.

1 --o0o--

2 STAFF AIR POLLUTION SPECIALIST SORIANO: I have a
3 brief presentation that will provide a background on the
4 regulation, describe the amendments we believe are
5 warranted, discuss the impacts from those amendments,
6 propose one 15-day change, and then provide conclusions
7 and recommendation.

8 --o0o--

9 STAFF AIR POLLUTION SPECIALIST SORIANO: Now a
10 brief overview of the regulation itself.

11 --o0o--

12 STAFF AIR POLLUTION SPECIALIST SORIANO: The
13 Oceangoing Vessel Clean Fuel Rule was approved by the
14 Board in 2008 and began implementation in July 2009, and
15 that's about two years ago. It requires ships to use
16 cleaner marine distillate fuels instead of the dirtier
17 residual fuel that they typically use. Ships are required
18 to use the cleaner fuels within a clean fuel zone that is
19 approximately 24 nautical miles off the California
20 coastline. And that is shown in this figure on the slide
21 as the lighter blue region along the California coastline.

22 The fuel requirements are implemented in two
23 phases having progressively lower fuel sulfur limits.

24 Phase 1, which began July 2009, requires the use
25 of either marine gas oil or marine diesel oil. The marine

1 diesel oil is capped at .5 percent sulfur.

2 Both of these are distillate fuels. We are
3 finding that on average the marine distillate fuels that
4 the ships are using to comply with this regulation average
5 about .3 percent sulfur.

6 Phase 2 is scheduled to begin in January of next
7 year, 2012, and establishes a fuel sulfur requirement of
8 .1 percent.

9 --o0o--

10 STAFF AIR POLLUTION SPECIALIST SORIANO: This
11 regulation is a critical measure in our efforts to improve
12 air quality and protect public health. It contributes
13 over half of the reductions from new measures in the South
14 Coast's 2014 PM2.5 attainment demonstration.

15 It is also a key measure in the ports of Los
16 Angeles and Long Beach clean air plan and reduces the
17 public's exposure to diesel PM from ships by over 80
18 percent.

19 Because it is a clean fuel requirement, the
20 benefits of the regulation begin immediately upon
21 implementation. And over the past two years, the use of
22 cleaner fuels has reduced emissions of sulfur dioxide,
23 which I'm going to short cut as SOx through the rest of my
24 presentation, by 73 tons per day; PM, which is particulate
25 matter, by 8 tons per day; and NOx by 8 tons per day.

1 This translates to about 6,000 tons of both PM
2 and NOx and 50,000 tons of SOx reduced over the last
3 two years.

4 While about 90 percent of the emissions benefits
5 are realized with the Phase 1 fuels, the Phase 2 fuel
6 requirement will also provide additional benefits of about
7 2 tons per day PM and 17 tons per day of SOx.

8 When you approved this regulation, it was the
9 first comprehensive ship fuel requirement in the world.
10 And as I'll discuss a little later, since that time
11 federal and international fuel requirements have been
12 adopted.

13 California's regulation is a critical bridge to
14 these federal requirements that will be equivalent to our
15 Phase 2 0.1 percent requirement in 2015.

16 --o0o--

17 STAFF AIR POLLUTION SPECIALIST SORIANO: Now I'll
18 discuss the proposed amendments.

19 --o0o--

20 STAFF AIR POLLUTION SPECIALIST SORIANO: Overall,
21 the implementation of this regulation has been going very
22 well. We estimate that there have been over 19,000 ship
23 visits since July of 2009, and we are seeing well over a
24 95 percent compliance rate. However, we have encountered
25 some challenges that warrant the need for amendments.

1 One of the things that has happened is that the
2 traffic patterns have changed in southern California.
3 This is because many vessel operators have elected to use
4 a route outside the regulatory zone where they're not
5 required to use the cleaner fuel. This has resulted in a
6 significant increase in traffic through the Navy's Point
7 Mugu Sea Range and according to the Navy has increased the
8 potential for vessels to interfere with naval testing and
9 operations.

10 There have also been some operational challenges
11 that have resulted in a small number of temporary loss of
12 propulsion incidents, mainly related to the lower
13 viscosity of the clean fuel.

14 And, last, as I mentioned before, there are new
15 federal and international requirements. While this is not
16 necessarily a challenge, it does present an opportunity to
17 better align the California program with federal
18 requirements, which we think will facilitate successful
19 implementation of both programs.

20 --o0o--

21 STAFF AIR POLLUTION SPECIALIST SORIANO: Over the
22 past two years, we have worked closely with the maritime
23 industry, the Navy, the U.S. Coast Guard, and local
24 districts in implementing the regulation and in developing
25 the proposed amendments to address the issues that I have

1 described.

2 Our objectives in proposing the amendments are:

3 To minimize the impacts on the Point Mugu Sea
4 range;

5 To facilitate a more successful transition to the
6 cleaner .1 percent sulfur fuel; and

7 To make other minor adjustments to the regulation
8 that we believe will help with implementation.

9 In the next few slides, I will describe the
10 amendments we are proposing and our rationale.

11 --o0o--

12 STAFF AIR POLLUTION SPECIALIST SORIANO: First,
13 we think that it is very important to do what we can to
14 minimize the potential impacts to the Navy's Point Mugu
15 Sea Range from the increased vessel traffic. To do this,
16 we are proposing to expand the clean fuel zone in southern
17 California. By expanding the clean fuel zone, we
18 eliminate the cost advantage of using routes through the
19 Point Mugu Sea Range. If this is done, we believe that
20 the vessels will return to the historical routes they used
21 before the regulation was implemented, lessening the
22 potential for vessels to interfere with the military
23 operations.

24 In addition, because the vessels will be using
25 the cleaner fuel, the emission reductions originally

1 anticipated in this region will be regained.

2 And now I'll provide you with some background on
3 the need for this amendment.

4 --o0o--

5 STAFF AIR POLLUTION SPECIALIST SORIANO: In this
6 slide, I will walk you through the changes in traffic
7 Patterns in southern California. So I'm starting here
8 with the region, which is about from the tip of Santa
9 Barbara to the ports of Los Angeles and Long Beach. The
10 Channel Islands are shown. And the large overwater areas
11 shown in bright blue are the Navy's Point Mugu Sea Range.

12 The Santa Barbara Channel route is now shown as
13 the dark blue double line. This route is a long-standing
14 traffic separation scheme that extends the length of the
15 Santa Barbara Channel and is listed on NOAA and nautical
16 charts. It is the only International Maritime
17 Organization-approved routing measure in this area. And
18 it was established to reduce the risk of collisions by
19 separating arriving and departing traffic.

20 This route is also typically the shortest route
21 for both traffic arriving from Asia on the Great Circle
22 route and traffic to and from northern California.

23 As shown in the gray area, the current clean fuel
24 rule extends out to about 24 nautical miles off the
25 coastline. Vessels operating in this zone must use the

1 As you will hear in their presentation, the U.S.
2 Navy has raised concerns about the higher number of
3 vessels transiting in the sea range, as it has increased
4 the potential for vessels to impact exercises and
5 operations that take place in the sea range.

6 --o0o--

7 STAFF AIR POLLUTION SPECIALIST SORIANO: In this
8 map, I will describe the proposed amendments to the clean
9 fuel zone. So we are starting here at the same place we
10 left off in the last map slide. And this shows the
11 current clean fuel zone in gray, the channel route in the
12 double line in blue, and the outer route in red.

13 We propose to expand the zone out past the
14 Channel Islands in southern California. The expanded zone
15 is consistent with the contiguous zone, which is a well
16 realized zone on nautical charts.

17 We also propose to exclude a small area of the
18 contiguous zone from the clean fuel requirement. We have
19 referred to this area as a window.

20 The purpose of the window is to equalize the
21 distance that the clean fuel is required for the two
22 routes and correspondingly equalize the fuel costs.

23 With these changes to the boundary in southern
24 California, we believe vessel operators will return to the
25 Santa Barbara Channel route and lessen the potential

1 impacts on the Point Mugu Sea Range.

2 --o0o--

3 STAFF AIR POLLUTION SPECIALIST SORIANO: The
4 second amendment I will discuss is a proposal to extend
5 the Phase 1 fuel requirement by two years and to begin
6 Phase 2 in 2014. While we are fully committed to reaching
7 the Phase 2 limit of .1 percent sulfur and believe it to
8 be technologically and operationally feasible and cost
9 effective, we do think that there are valid reasons to
10 adjust the timing for the implementation of the Phase 2
11 requirements.

12 We believe that taking a little longer will help
13 facilitate a successful transition to the cleaner 0.1
14 percent fuel and still allow us to meet our SIP
15 commitments. It will simplify integration of state and
16 federal requirements and provide additional time to
17 address operational and fuel issues.

18 --o0o--

19 STAFF AIR POLLUTION SPECIALIST SORIANO: Since
20 the adoption of the OGV rule, as I mentioned before,
21 federal and international standards have been established.
22 And just to give you some idea of these standards, in
23 March of 2010, a North American Emission Control Area - or
24 I'll call this the ECA - was approved. The ECA requires 1
25 percent sulfur fuel, and it can be either heavy fuel or

1 distillate, beginning in August 2012 and then a 0.1
2 percent sulfur fuel beginning in January of 2015. The ECA
3 zone is about 200 nautical miles from the U.S. And
4 Canadian coastline.

5 --o0o--

6 STAFF AIR POLLUTION SPECIALIST SORIANO: Moving
7 the Phase 1 out by two years will more closely align our
8 Phase 2 implementation date with the ECA Phase 2
9 requirement, and also it will help to avoid having vessel
10 operators manage different federal and state fuel
11 requirement changes in 2012.

12 The extension will also allow time for
13 coordination with the U.S. EPA, U.S. Coast Guard, and
14 others during the transition to the 0.1 percent sulfur
15 fuel requirement.

16 The extension will not impact the significant
17 benefits that are achieved with the Phase 1 fuels. And as
18 a reminder, over 90 percent of the emission reductions
19 from the regulation are realized with the Phase 1 fuels.

20 The two-year extension is also consistent with
21 our 2014 SIP commitment for South Coast.

22 --o0o--

23 STAFF AIR POLLUTION SPECIALIST SORIANO: The
24 proposed Phase 2 extension also provides additional time
25 to address operational issues such as temporary loss of

1 propulsions. And I'll call those LOPs. With about 19,000
2 successful vessel visits since the regulation began, the
3 Coast Guard has reported that a small number of vessels -
4 and this is about 2 percent of all vessel visits or about
5 38 vessels - have experienced loss of propulsion incidents
6 related to the use of distillate fuel.

7 During the last two years, ARB has worked closely
8 with the Coast Guard, Harbor Safety committees, the Office
9 of Spill Prevention to address these operational issues.

10 Under contract to the Air Resources Board, the
11 California Maritime Academy investigated the LOPs and
12 identified primary areas of concern. CMA identified that
13 an area of concern was low fuel pressure related to the
14 low viscosity of the distillate fuel.

15 The extension in Phase 1 provides additional time
16 to investigate causes and determine solutions for the loss
17 of propulsion incidents prior to implementing more
18 restrictive fuel requirements.

19 The extension also provides more flexibility to
20 find fuels with higher viscosity levels since Phase 1 is
21 less restrictive, and provides more time for recent
22 viscosity related enhancements to the fuel specifications
23 to more fully reach the marine fuels market.

24 And that leads me on to our third objective.

25 --o0o--

1 STAFF AIR POLLUTION SPECIALIST SORIANO: To
2 further assist implementation, we are also proposing other
3 minor amendments, such as the incorporation of a revised
4 fuel standard that has enhanced viscosity and lubricity
5 specs, that I just mentioned in the last slide, and an
6 updated nautical chart.

7 We are also proposing changes to the
8 noncompliance fee provision, which I'll discuss more in
9 the next slide.

10 --o0o--

11 STAFF AIR POLLUTION SPECIALIST SORIANO: The
12 noncompliance fee provision allows vessel operators to pay
13 a fee instead of direct compliance. And it is limited to
14 very special circumstances that are beyond the master's
15 reasonable control, such as unplanned redirection at sea
16 or purchase of defective fuel. This provision is not a
17 fine or a violation, and it has only been used five times
18 since the rule began. It also requires ARB approval prior
19 to use.

20 We are proposing to restructure the fees to
21 encourage purchase of a compliant fuel on arrival to
22 California by having the fee in that situation.

23 We propose to retain the same fee for a single
24 port visit, but adjust the fee structure for multiple port
25 visits.

1 Staff believes that the proposal is a more
2 reasonable fee structure. And even with these proposed
3 amendments, all noncompliance fees are at least one and a
4 half times higher than the cost of direct compliance would
5 be if the vessels were using the fuel.

6 We do not think that these changes will result in
7 increased use of this provision, as we are not proposing
8 any changes to the criteria that specify when the
9 noncompliance fee can be used. And these criteria are
10 very restrictive.

11 --o0o--

12 STAFF AIR POLLUTION SPECIALIST SORIANO: So now
13 I'll go over the impacts of the proposed amendments.

14 --o0o--

15 STAFF AIR POLLUTION SPECIALIST SORIANO: The
16 charts on this slide show the projected PM on top and the
17 SOx emissions on the bottom until 2015. The base line
18 with no rule is shown in green, the current regulation is
19 shown in blue, and the proposed amendments in red.

20 As you can see from the charts, the proposal
21 retains the emission reductions projected for the current
22 rule for both PM and SOx, and emissions continue to
23 decline in subsequent years.

24 --o0o--

25 STAFF AIR POLLUTION SPECIALIST SORIANO: We also

1 the Board.

2 --o0o--

3 STAFF AIR POLLUTION SPECIALIST SORIANO: I will
4 now cover our proposed 15-day change.

5 --o0o--

6 STAFF AIR POLLUTION SPECIALIST SORIANO: We have
7 identified one 15-day change that will help further
8 integrate our regulation with the ECA. To align
9 California's Phase 1 with the ECA Phase 1 sulfur
10 requirement, we propose to include a 1 percent fuel sulfur
11 limit for our Phase 1 marine gas oil. We propose that
12 this requirement begins August 1, 2012, to coincide with
13 the ECA Phase 1 implementation date.

14 We do not expect this change to impact the
15 regulated industry since Phase 1 compliant marine gas oil
16 averages .3 percent, well below the one percent proposed
17 limit. And inspection records show that 98 percent of the
18 Phase 1 compliant fuels sampled by our enforcement staff
19 are below 1 percent sulfur.

20 --o0o--

21 STAFF AIR POLLUTION SPECIALIST SORIANO: In
22 conclusion, we believe the proposed amendments will assist
23 in the successful transition to 0.1 percent sulfur fuel.
24 The amendments will lessen the potential for impacts on
25 the Point Mugu Sea Range by removing the economic

1 advantage that drives the route changes in southern
2 California.

3 The amendments will also provide the benefits of
4 additional time to address operational issues that have
5 been encountered and better integrate state and federal
6 programs.

7 The amendments before you today also continue to
8 fulfill our 2014 SIP obligation and are cost effective.

9 --o0o--

10 STAFF AIR POLLUTION SPECIALIST SORIANO: We
11 recommend that the Board adopt the proposed amendments
12 with the suggested 15-day change.

13 We also recommend that you direct staff to work
14 with the Navy to monitor vessel traffic trends through the
15 Point Mugu Sea Range, and also to continue to work with
16 the U.S. Coast guard and the maritime industry to monitor,
17 investigate, and evaluate any fuel-related issues.

18 This ends our presentation. And I would now like
19 to thank you for your attention.

20 And now Richard Corey will introduce the U.S.
21 Navy's personal.

22 STATIONARY SOURCE DIVISION CHIEF COREY: Yes, now
23 we're asking Tony Parisi, Randy Friedman, and Captain
24 Cudnohufsky to join us for a presentation on the Point Mugu
25 Sea Range.

1 And it will be Captain Sinofsky with the Naval
2 Air Systems Command that will give the presentation.

3 CHAIRPERSON NICHOLS: Thank you. Welcome.

4 CAPTAIN CUDNOHUFISKY: Good afternoon. How are
5 you?

6 CHAIRPERSON NICHOLS: Good afternoon.

7 CAPTAIN CUDNOHUFISKY: So what I'll be doing this
8 afternoon is just talking about our mission as NAWCWD as
9 well as the sea range and how this is impacting our
10 operations.

11 (Thereupon an overhead presentation was presented
12 as follows.)

13 CAPTAIN CUDNOHUFISKY: So the first slide shows an
14 overview of the Point Mugu Sea Range. And it's part of
15 the NAVAIR West Coast ranges systems, a very integral
16 part. The connecting part is what we call the IR 200
17 corridor that we can activate at different times to
18 support missions when required.

19 The sea range provides safe, operational, and
20 realistic environment for us to test and training --
21 testing and training for mainly naval air systems, but we
22 also cater to all weapon systems for DOD and our allied
23 countries as well.

24 Our core mission is mainly testing, training, and
25 experimentation associated with primarily air warfare

1 systems.

2 --o0o--

3 CAPTAIN CUDNOHUFISKY: So as I said, it's
4 primarily providing a realistic open-air-range
5 environment. It's 36,000 square miles of sea range. And
6 it can be expanded as required to accommodate additional
7 testing. For example, the Missile Defense Association
8 when we work with some of their programs requires a much
9 larger range. So we'll expand the range to accommodate
10 those type of tests.

11 We have operations and range control complexes
12 that support the operation of the sea range and we have
13 extensive instrumentation throughout the sea range. The
14 TSPI is time, space, and position instrumentations.

15 We have sophisticated data processing and display
16 systems, as well as air and sea targets that we can
17 incorporate throughout the range.

18 Range safety and security and environmental
19 support is extensive throughout the range complex systems,
20 and we have a whole host of support aircraft for our
21 missions.

22 --o0o--

23 CAPTAIN CUDNOHUFISKY: We're the nation's largest
24 and most capable instrumented sea range. We're ideally
25 suited for our missions that we perform out there to

1 provide the nation with its air and sea weapons to defend
2 our nation.

3 It's ideal location where we are supported by the
4 natural features such as the islands, San Nicolas Island,
5 Santa Rosa Island, the Laguna Peak where our
6 instrumentation is elevated well above the sea level, over
7 a thousand feet, and look well into the range.

8 Supports a broad array of testing and training
9 scenarios. And I'll talk a little bit more about that
10 later. But, again, primarily we're supporting the
11 research, development, acquisition, testing and evaluation
12 of our weapons, our nation's weapons.

13 Not only do we support and test and train our
14 Navy's weapon systems, but also all of DOD - Air Force,
15 Army, Marine Corps as well as other international
16 countries that are our allies.

17 --o0o--

18 CAPTAIN CUDNOHUFISKY: This cartoon provides you a
19 little bit of insight into the type of -- a typical type
20 of a mission we would do out on the sea range. We'd have
21 the flight test vehicle performing out in the range and
22 we'd have multiple instrumentation that would track it.

23 And the TM is telemetry. That provides us the
24 health and welfare and safety aspects of that vehicle.
25 And that's all sent back to our range control back at

1 Point Mugu and then San Nicolas Island. And then through
2 fiber optics and microwave connections, we're completely
3 integrated with all of the instrumentation and sensors.

4 --o0o--

5 CAPTAIN CUDNOHUFISKY: This depicts a little bit
6 of a typical type of a hazard pattern that would be
7 associated with a test or a mission that we would do out
8 there. So different colors would indicate different type
9 of tests that we would do. So when we're testing a
10 particular air vehicle perhaps, launching it from Point
11 Mugu, there would be an associated hazard pattern that
12 would be associated with that weapon. So before the
13 launch of that weapon, we'd clear that air zone and the
14 sea zone, make sure it's completely clear of ships,
15 nonparticipants, and ensure that it would be cleared for
16 however long the window that our mission would take place.

17 So, you know, a ship typically moves 12 to 15
18 knots. We'd go out -- if it was a two-hour window, we'd
19 go out 30 miles beyond the hazard pattern and make sure
20 that no ship would be able to move within that pattern as
21 we had cleared it.

22 So some of them are smaller hazard patterns.
23 Some are quite large and extensive.

24 --o0o--

25 CAPTAIN CUDNOHUFISKY: This is a depiction of the

1 type of operations that we would do it out on the sea
2 range. We'd typically have about 17,000 events per years.

3 The red is training events. The blue,
4 operations. And green is RTD&E, research, test,
5 development, and experimentation. And the yellow would be
6 maintenance, maintenance of our sea range boats or
7 aircraft that we'd need to do out on the sea range.

8 --o0o--

9 CAPTAIN CUDNOHUFISKY: Of course with any type of
10 an operation we'd do out there, safety is paramount, and
11 we're very serious about that and have a very good safety
12 record.

13 And it's very -- we take great pains to make sure
14 that the evolution is safe. And part of that is clearing
15 that range with our aircraft, making sure no one -- no
16 nonparticipants are within there. And if we do happen to
17 get what we call an interloper, somebody that doesn't
18 belong in there, we'll cease all operations until we can
19 clear the range and make sure we have a safe environment
20 to conduct our tests.

21 And we have extensive instrumentation to be able
22 to help us do that and monitor what's out there and what
23 should and should not be out there.

24 --o0o--

25 CAPTAIN CUDNOHUFISKY: So this is very similar to

1 the chart you had seen in the previous presentation, with
2 the channel in green. And then what we've been observing
3 with the red alternate shipping route that we've seen that
4 interferes with the operations that the Navy does out on
5 the sea range. As the ships divert out of the channel,
6 they transit across the sea range, which then impacts our
7 operations, causing either delays or cancellations in our
8 operations.

9 --o0o--

10 CAPTAIN CUDNOHUFESKY: And to that extent, this
11 next chart shows, again very similar to the chart you'd
12 seen on the previous presentation, what we've observed on
13 that behavior. So on the far left what we are seeing is
14 one inbound and one outbound ship per day. And since that
15 time of 1 July in 08 until present it is now up to seven
16 to seven and a half times what we had seen historically.
17 So a significant increase in shipping across the sea
18 range.

19 --o0o--

20 CAPTAIN CUDNOHUFESKY: To help mitigate some of
21 this, we've done extensive coordination with the shipping
22 industry through L.A. and Long Beach, a marine exchange
23 from our Ops conductors.

24 Through our surveillance of the sea range, we
25 have redirected the ships that were in the area. And that

1 typically results in quite a delay into the mission.
2 Ships moving at 12 knots, it takes sometime to transit
3 across the sea range. They can't just turn around or, you
4 know, accelerate there. So typically it's an hour or
5 several hours of delay into a mission, which represents a
6 significant cost.

7 And we tried to minimize operational impacts.
8 But to that extent there's only so much we could do to
9 mitigate that.

10 --o0o--

11 CAPTAIN CUDNOHUFISKY: And our concerns obviously
12 in the future, what we see if we're unable to get the
13 shipping behavior back into the channels, we're going to
14 see increased transits through the sea range, which
15 obviously have impacts into our mission.

16 As hopefully our economy recovers, I think it
17 will be more incentive perhaps if we don't get this
18 regulation in place, that these ships will continue to
19 divert the channel.

20 Some of the delays and cancellations will be
21 inevitable, will increase costs to the programs. As the
22 economy and our budgets are all shrinking, that's a
23 significant impact into our programs and our ability to
24 bring these needed weapons online.

25 And the perhaps intangible costs are the training

1 events that are taking place out there for our military
2 are unable to be completed. So we deploy our military
3 without the really benefit of the needed training that
4 would have been accomplished, if they're impacted and are
5 unable to do their training due to ships through the sea
6 range.

7 --o0o--

8 CAPTAIN CUDNOHUFISKY: And, in summary, again
9 Point Mugu Sea Range and the missions that we complete out
10 there and the testing and evaluation, support that
11 acquisition programs for the weapon systems that we bring
12 online, it's critical that we are able to conduct those
13 tests and evaluations and training on time and when
14 needed.

15 As an example, the Joint Strike Fighter Program
16 operates at a burn rate of about \$30 million a day. So
17 every day that they're unable to collect the needed data
18 to continue to progress the program, it essentially will
19 cost the program \$30 million. Obviously not every program
20 is such a substantial program. But all programs have a
21 limited budget in order to operate and complete their
22 programs and bring these weapons online. So it is a
23 significant impact.

24 Increase in ship traffic through the sea range is
25 impacting our ability to test and train. We've been

1 working with the shipping industry and there's significant
2 coordination that's been taking place to try and mitigate
3 these impacts. But as you can see, the data says that it
4 still is an impact for us.

5 And as the economy improves, the shipping
6 industry will probably -- we'll see more and more traffic.
7 And if we're unable to keep them in the channel, the
8 results will be more impact into our mission.

9 So our recommendation is to approve the
10 modification to the low sulfur regulation.

11 CHAIRPERSON NICHOLS: Thank you very much.

12 CAPTAIN CUDNOHUFASKY: More than happy to take my
13 questions you might have.

14 CHAIRPERSON NICHOLS: Thanks.

15 I want to express my appreciation. I understand
16 this has taken a lot of time and effort on your part, on
17 the Navy's part, as well as on our staff. And the fact
18 that you were willing to work together with us to try to
19 achieve our mutual objectives here is really much
20 appreciated. I know that in the past sometimes we've
21 seemed like the two agencies were just not able to get on
22 the same page. And I really appreciate how hard you've
23 worked to try to make sure that that can happen.

24 I know it was really tough for the staff to face
25 the possibility of a loss of the emissions benefits from

1 this rule. And the fact that I think we've been able to
2 design a way to do this that does not involve a sacrifice
3 there is really terrific. It's a great outcome.

4 So I don't know if anybody has any questions now
5 or we can just hear from the witnesses. If that's okay,
6 we'll just go straight to the witnesses.

7 We do have a number of people who've signed up to
8 testify.

9 And you're welcome to stay up here if you would
10 like.

11 We'll start with Michael Villegas from Ventura
12 County APCD and then Kathy Long and Jonathan Sharkey.

13 And we do have your written, Supervisor Long.

14 MR. VILLAGES: Chair Nichols, members of the
15 Board. I'm Mike Villegas, Air Pollution Control Officer
16 for Ventura County.

17 Ventura County APCD staff is pleased to support
18 the California Air Resources Board staff proposed changes
19 to the regulations for oceangoing vessel fuels. These
20 proposed amendments will achieve nearly all the emission
21 reductions that were envisioned when this rule was
22 originally adopted in 2008.

23 The 83 percent reduction in toxic diesel
24 particulates will provide a significant health benefit to
25 Ventura County residents. Further, we will be achieving

1 reductions in sulfur dioxide and nitrogen oxides.

2 In addition, the proposed amendments will do away
3 with the economic incentive for vessels to pass through
4 the Navy's test range. And this should prevent disruption
5 of the Navy's operations.

6 We've also reviewed the rationale for the delay
7 in the Phase 2 sulfur standards. And we believe the delay
8 is reasonable based on the fact it will better harmonize
9 CARB's requirements with the ECA requirements. Also will
10 give time for the development of additional fuels that
11 will comply with the new ISO standards, which are going to
12 address viscosity and lubricity for those engines, which
13 should help with loss of power.

14 In addition, we reviewed the proposal to reduce
15 the noncompliance fees. And we believe this proposal once
16 again makes sense. These provisions have been used only
17 five times in over 18,000 port visits. Further, there's
18 is no cost advantage to using the noncompliance fees
19 versus complying with the rules, so we believe it makes
20 sense.

21 Lastly, I need to note that the Air Pollution
22 Control board for Ventura County has submitted a letter of
23 support for these regulations.

24 CHAIRPERSON NICHOLS: We have that.

25 MR. VILLEGAS: Thank you.

1 CHAIRPERSON NICHOLS: Thank you very much.

2 Supervisor Long.

3 SUPERVISOR LONG: Yes, good afternoon. And thank
4 you, Madam Chair and Board members.

5 It is my pleasure to be here to speak to this and
6 to certainly support the staff recommendation strongly on
7 behalf of Ventura County. I thank the staff, applaud them
8 for their efforts in working with the stakeholders. I
9 believe we have a win-win recommendations with the
10 amendments.

11 I'm here representing as Co-chair of the Regional
12 Defense Partnership for the 21st Century, RDP-21. It's a
13 community-based organization in Ventura County that has
14 been around for over ten years supporting our naval base
15 in Ventura County for the many assets, both the military
16 strategic importance of the base, but also for the
17 economic driver that the base is for all of us, and the
18 environmental stewards that they are.

19 And so the RDP-21 represents both public and
20 private. It has all ten cities in the county. It has
21 other electeds, such as Senator Fran Pavley is very
22 supportive, and our Congressmen, both Capps and Gallegly.

23 And certainly our goal is to provide and educate
24 our community, engage them in understanding what the
25 values of the base are. And as the base has been, and as

1 all bases in prior BRACs have been, threatened with
2 closure for a variety of reason, the reason that we've
3 been able to stand so strong with our base is the sea test
4 range and the value that it brings both again for the
5 military importance but also the economic engine that it
6 is for all of our county.

7 We have more than 19,000 personnel, military and
8 civilian, who are working at that base. So you can
9 understand what the multiplier of that is to our local
10 economy: Over 20,000 at least jobs and the multiplying
11 benefit of \$1.2 billion in goods and services, and the
12 fact that it continues to be such an important part in
13 bringing new business to the base. And that does occur
14 with the test range.

15 RDP-21 is very supportive of the oceangoing
16 vessel fuel rule. We certainly are supportive of
17 everyone's goal to have clean air. And as I said at the
18 beginning, this is a win-win to be able to carry this
19 amendment through with the good work and the cooperation
20 of the stakeholders to applaud that effort and to ask for
21 a strong "yes" vote in support of this.

22 Thank you for your time and your work on this.
23 We appreciate it. Thank you.

24 CHAIRPERSON NICHOLS: Well, thank you for coming.
25 Jonathan Sharkey, a council member from Port

1 Hueneme.

2 Welcome.

3 MR. SHARKEY: Yes, good afternoon, Madam Chair,
4 members of the Board. I'm Jon Sharkey, Port Hueneme City
5 Council, member of the Ventura County Air Quality Control
6 Board, and a member of the Regional Defense Partnership.

7 And coming third in the group, it's all been
8 said. But I would like to personally thank the staff
9 here, who's done a marvelous job in solving a problem.
10 Clearly the previous rule did not achieve its objectives.
11 We believe this new rule will achieve the air quality
12 objectives and will reduce the impacts on naval base,
13 Ventura County, a large part of which sits in my city.

14 So thank you all.

15 CHAIRPERSON NICHOLS: Thanks for coming.

16 Henry Pak from Hanjin Shipping, followed by
17 Martin Schlageter and Henry Hogo.

18 MR. PAK: Good afternoon, Chairwoman Nichols and
19 all the Board members.

20 First of all, on behalf of our company, Hanjin
21 Shipping Company, I'd like to thank you for allowing us to
22 express our concern. And it's going to be very short.

23 We are not opposing to anything else but the
24 implementation date of Phase 2. I understand that it's
25 been pushed back to 2014 January from the initial starting

1 date of 2012 January. But we believe that -- or we feel
2 that the implementation date should be conformed with the
3 further requirement, which is 2015 January, which allows
4 one more year -- or one additional year for carriers to
5 prepare.

6 And in line with that, considering fuel suppliers
7 comment and our company's research, there is no fuel
8 supplier that can supply 0.1 percent sulfur distillate
9 fuel in the region of eastern Asia and in America. In
10 this regard, be advised that sufficient market surveys and
11 technical verifications should take precedence in order to
12 confirm the possibility and availability of the low sulfur
13 fuel in those regions by 2014.

14 And, in addition, we need to ensure that there is
15 sufficient infrastructure to supply low sulfur fuel
16 without difficulties. And that is our concern, and I
17 would appreciate it if you give second thought to that.

18 Thank you.

19 CHAIRPERSON NICHOLS: Thank you.

20 I'll ask staff to respond later.

21 Martin, Welcome.

22 MR. SCHLAGETER: Thank you so much. Martin
23 Schlauggeter with the Coalition for Clean Air. Thank you,
24 Madam Chair and Board members and staff for considering
25 this today.

1 This ship fuel rule since it was initiated a few
2 years ago is one of the most impactful things this Board
3 has done in my view, in part because it has helped shape
4 globally shipping practices. And there's been a lot of
5 reference here to aligning with ECA standards. I don't
6 want to lose sight of the fact that one of the main
7 reasons we have this ECA adoption is because of what
8 California's been doing under your leadership.

9 So I'm very much in support of the extension of
10 this clean fuel zone and appreciate the fact that staff
11 acted so promptly in addressing the issues of carriers
12 avoiding that zone.

13 This change will, we expect, help bring into --
14 essentially bring into compliance and gain the emissions
15 reductions that were expected from carriers who are now
16 skirting this zone, interfering with the Navy, and
17 unnecessarily polluting.

18 Certainly, we are not excited about a delay to
19 2014. We and the public health and environmental
20 community are impatient. We like to see emissions
21 reductions that are on the table and that we had hoped
22 would be achieved immediately. What I -- sort of the
23 lemonade that I'd like to suggest we make out of that
24 delay, if we could, is to complete the rulemaking of which
25 initial steps were taken back in 2008 on vessel speed

1 reduction. By setting speed limits on ships, we can
2 control some of the unnecessary pollution, we can optimize
3 fuel use and reduce greenhouse gas pollution and indeed
4 hopefully minimize some of the whale strikes that was also
5 referenced here today.

6 It's my belief that if we get to work on that -
7 and this has been something languishing over the past
8 couple of years - it's my belief with Board direction, if
9 we can complete this rulemaking on vessel speed reduction,
10 then at 2014 when carriers comply with fuel rules, they
11 can also plan simultaneously for their timelines, their
12 ship speeds, their logistics in that regard. And much was
13 referenced by Ms. Berg in the last presentation, be giving
14 a clear and concise package of instruction to carriers.

15 And I thank you so much. I encourage your action
16 on that.

17 I have already submitted to the clerk a petition
18 of more than 450 signatures that we've gathered over the
19 past month out of interest in this speed limits issue.

20 So thank you so much.

21 CHAIRPERSON NICHOLS: Thank you.

22 All right. Henry Hogo, followed by Cooper
23 Hanning and Diane Bailey.

24 MR. HOGO: Good afternoon, Chairman Nichols and
25 members of the Board. I'm Henry Hogo, Assistant Deputy

1 Executive Officer of the South Coast Air Quality
2 Management District.

3 I'm here to express the South Coast AQMD staff's
4 support for the extension of the regulatory boundary
5 beyond the current 24 nautical miles to ensure that
6 oceangoing vessels use the cleanest fuel possible. And we
7 would encourage you to adopt that today.

8 Relative to the delay in the use of .1 percent,
9 we just want to express caution in this delay. We would
10 want to encourage that marine vessel operators use the .1
11 percent as early as possible so we can understand some of
12 the issues related to it and closely monitor it. But we
13 don't want to see this delay go beyond 2014 because it is
14 a critical element of our 2007 AQMP.

15 Thank you.

16 CHAIRPERSON NICHOLS: Thank you. I appreciate
17 that. And it's just useful to observe that we've had
18 examples in the past of at least one major shipper that
19 introduced lower sulfur fuel long ahead of a requirement.
20 So it is possible for that to happen or to be encouraged,
21 and we should try to make that happen.

22 MR. HOGO: Thank you.

23 CHAIRPERSON NICHOLS: Okay. Mr. Hanning.

24 MR. HANNING: Good afternoon, Chairman Nichols
25 and members of the Board. My name is Cooper Hanning and I

1 represent the Natural Resources Defense Council.

2 We thank the Air Resources Board for acting to
3 reduce emissions from oceangoing vessels by expanding the
4 clean fuel zone beyond the Channel Islands and for
5 providing incentives for ship operators to bunker with
6 clean fuel as soon as possible upon arrival at a
7 California port.

8 We also encourage the Board to consider
9 additional regulations such as vessel speed reduction,
10 which can reduce pollution in our communities and protect
11 residents' health while decreasing California's greenhouse
12 gas emissions.

13 Oceangoing vessels account for a tremendous
14 amount of toxic pollution in our state. In 2006 ships
15 were estimated to contribute 18 percent of diesel
16 particulate matter in California. Diesel particulate
17 matter is associated with a growing list of adverse health
18 outcomes, and these outcomes are most common in children
19 and the elderly. The negative health impacts are
20 concentrated in neighborhoods closest to the ports and
21 these communities are disproportionately bearing the
22 burden of pollution from oceangoing vessels.

23 This pollution can be considerably reduced via
24 vessel speed reduction. The Board should promulgate a
25 regulation to limit ship speeds to 12 knots within 40

1 nautical miles of shore for all ship traffic in California
2 waters. Slower ship speeds will reduce harm to marine
3 life, cut greenhouse gas emissions, and reduce toxic air
4 pollution in California.

5 In 2009, Air Resources Board staff estimated
6 emissions reductions for a 12 knot speed limit applied to
7 all vessels within 40 nautical miles of shore. Such a
8 regulation would decrease diesel particulate emissions by
9 5.2 tons per day. California would also see daily
10 reductions of 40 tons of nitrogen oxides and 43 tons of
11 sulfur oxide.

12 The Board should combat this pollution by
13 preserving existing regulations and adopting further
14 measures such as vessel speed reduction.

15 CHAIRPERSON NICHOLS: Thank you.

16 Ms. Bailey.

17 MS. BAILEY: Good afternoon, Chairwoman Nichols,
18 members of the Board, and staff. My name is Diane Bailey.
19 I'm a senior scientist with the Natural Resources Defense
20 Council. And as my colleague Cooper noted, we're here
21 today in very strong support of the clean shipping fuel
22 regulation and particularly the amendment to extend the
23 clean fuel zone.

24 As you know, NRDC has been to court with you to
25 help defend these very important regulations several

1 times. And we're happy to say that the courts
2 resoundingly agree that California has the right to
3 protect its coastal residents from the major health
4 hazards associated with oceangoing vessels and the toxics
5 laid in bunker fuel that has been used in the past.

6 California's clean fuel zone for international
7 ships is one of the cornerstones of statewide emission
8 reductions from this shipping sector, and it's really an
9 important step to curb the pollution that comes into our
10 state with the shipping to our ports, our rail yards, our
11 distribution centers. This was really one of the biggest
12 steps in reducing premature deaths from exposure to the
13 pollution. And so we applaud the effort to extend the
14 clean fuel zone and stem the 50 percent or so of ships
15 that were evading this requirement in the past entering
16 the ports of L.A. and Long Beach.

17 I want to note that we do have some concerns over
18 the proposed amendments. The tier delay of course does
19 carry somewhat of a penalty in terms of lost emission
20 reductions and health benefits. And I don't want to
21 exaggerate that, but I think that there are ways to make
22 up for it, as my colleague Martin offered that there are
23 ways to make lemonade today. And I really encourage you
24 to look at other measures. As Martin noted, the vessel
25 speed reduction measure has really languished. This is a

1 measure that can deliver tremendous environmental benefits
2 from significant greenhouse gas reductions to marine
3 mammal and wildlife protections, avoiding whale strikes
4 and such. And I encourage this Board to take up that
5 measure and really get it going.

6 We look forward to working with staff on further
7 implementation of the clean shipping fuel zone as well as
8 vessel speed reduction.

9 Thank you very much.

10 CHAIRPERSON NICHOLS: Thank you.

11 Randall Friedman, did you wish to testify again?

12 And Dan Krokosky and Bonnie Holmes-Gen.

13 MR. FRIEDMAN: Madam Chairman and Board members.

14 Randall Friedman on behalf of the Navy Region Southwest.

15 The Navy's long-standing position has been that
16 shipping regulation in the Santa Barbara Channel would
17 move ships into the sea range and threaten its mission
18 capability.

19 Today we are supportive of your staff's
20 recommendation to amend this rule and take action to
21 protect the Point Mugu Sea Range, as you indicated in the
22 final statement of reasons you would do in the initial
23 regulation.

24 We ask for ARB's continued commitment to work
25 with all stakeholders, for example, the ports of Los

1 Angeles and Long Beach, to take all feasible measures to
2 further support the return of shipping to the Santa
3 Barbara Channel.

4 Finally, just a quick comment in response to the
5 vessel speed reduction. I would just strongly urge you
6 that in any consideration of this, please remember that if
7 you only do this in the Santa Barbara Channel, we'll be
8 right back here with the same problem. Anything to do
9 with regulation of shipping needs to be done globally and
10 consistently and take full accounting of the economics of
11 shipping, the time, and the value; and needs to not create
12 any sort of incentive that would make a transit through
13 our sea range more attractive than staying in the Santa
14 Barbara Channel where we all believe they belong.

15 Thank you. And again thanks to your staff for
16 all the work they've done.

17 CHAIRPERSON NICHOLS: Thank you. You could have
18 said, "I told you so."

19 (Laughter.)

20 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE: He
21 has said that to us.

22 CHAIRPERSON NICHOLS: It was very nice.

23 (Laughter.)

24 MR. FRIEDMAN: I thought that was privileged.

25 CHAIRPERSON NICHOLS: It was appreciated.

1 All right.

2 MR. KROKOSKY: Good afternoon. I'm Dan Krokosky
3 from Chevron Shipping. I'm the global bunker fuel and
4 efficiency manager for the fleet.

5 Chevron Shipping has a wide variety of ships that
6 are operating in and out of the zone on ultra-low sulfur
7 diesel. We've been doing this in order to develop the
8 lubricants and technical expertise in order to be running
9 on this fuel.

10 We're in favor of all of the changes you're going
11 to make and we've been in support of the fuel change for
12 the entire time.

13 The one comment we'd like to add is to move this
14 change from 2014 out to 2015. One of the reasons is for
15 practicality of using this sort of three-fuel scheme,
16 which is really practically hard to deal with both in and
17 out of the zone.

18 It's also unlikely that anybody's going to sell
19 this 1 percent fuel. So that -- we'd also like you guys
20 to take a strong look at this idea of viscosity of fuel.
21 This is a very important safety aspect and ones that not
22 all shipping companies have the expertise that we do in
23 order to ensure they have the right viscosity. This could
24 lead to a lot of problems with reliability of the ship,
25 especially when you're maneuvering the ship. One of the

1 big dangers is the ship will not start. And of course the
2 starting and stopping of the ship is what gives the ship
3 its brakes. So again we'd really like to see a good look
4 at this viscosity issue.

5 The other comment is, to overcome some of the
6 shortfall in that one year is -- use this idea of virtual
7 arrival, where you actually don't let any of the ships in
8 to wait around the port. We found this to be very
9 effective in just our own energy efficiency program. And
10 by actually timing the ship's arrival all in so that the
11 berths are open, you can save a lot of energy and fuel on
12 that.

13 So please take these comments under
14 consideration. Thanks again.

15 CHAIRPERSON NICHOLS: Thank you.

16 Just one question before you leave.

17 BOARD MEMBER D'ADAMO: Can you explain what you
18 are looking for in viscosity of fuels. Are you saying
19 that this additional time will give you the ability to
20 look into that, or is there something more that you think
21 that staff needs to do on this?

22 MR. KROKOSKY: I think you have an opportunity to
23 set a viscosity. You set the sulfur level. You could
24 also set a viscosity -- a safe viscosity level.

25 We use -- you know, I like 2.8 is a good

1 viscosity. Anything below that, you know, it's out of my
2 comfort range. And I think by setting this standard, you
3 could, you know, do a lot to ensure the safety of the
4 ships themselves. Because not everybody -- you know,
5 whatever limit you set or don't set, they will use it
6 anyway, right?

7 BOARD MEMBER D'ADAMO: Thank you.

8 CHAIRPERSON NICHOLS: Okay. Bonnie Holmes-Gen.

9 MS. HOLMES-GEN: Good afternoon, Madam Chair,
10 Board members. Bonnie Holmes-Gen with the American Lung
11 Association in California.

12 And the American Lung Association strongly
13 supported this oceangoing vessel regulation when it was
14 first adopted. We appreciate your hard work on this. We
15 believe this regulation is extremely important to address
16 the public health impacts from exposure to diesel ship
17 emissions. And we're very pleased with the success that
18 has been achieved to date, and we appreciate that 90
19 percent of the emission reductions have been achieved.

20 And we wanted to again thank you for the work
21 that you've done in coordinating with the Navy and the
22 Coast Guard and achieving some consensus and moving
23 forward.

24 Three quick points. That we strongly support the
25 proposal for the extended fuel zone -- clean fuel zone to

1 regain lost emission reductions. And I appreciate the
2 presentation. It's made extremely clear how important
3 that is. So that's a very positive step forward.

4 And as with some of our colleagues with Coalition
5 for Clean Air and NRDC, we are strongly supportive of
6 implementing the .1 percent standard as soon as
7 possible -- the .1 percent sulfur.

8 And in light of the proposed delay, we would
9 encourage the Air Board to do everything possible to work
10 with the Coast Guard to address these loss of power issues
11 as soon as possible to make sure we can get back on track.

12 We do agree with the proposal to move ahead
13 quickly with the vessel speed reduction regulation. And I
14 think that is another very positive step we can take to
15 move forward, because it does look like there are
16 significant benefits from that regulation.

17 And I appreciate you, Madam Chair, raising again
18 that the vessels certainly comply early. And we would
19 certainly like to work with you and do everything possible
20 to promote early compliance with the .1 percent sulfur
21 standard to get these early health benefits. So I think
22 that was also a very important suggestion, and we would
23 like to look at ways we can try to encourage that early
24 compliance to move ahead.

25 Thank you again for your hard work. And this is

1 a critical part of the Diesel Risk Reduction Program.

2 CHAIRPERSON NICHOLS: Thank you.

3 That concludes the list of witnesses that I have.

4 And so I think we can close the record at this point.

5 Just remind people that the record will be reopened when

6 we issue a 15-day notice of public availability. And at

7 that time we will be again accepting comments. But in

8 between there won't be any comments after this hearing

9 date. And when the record is reopened, then there'll be

10 an opportunity for more comments on the proposed changes

11 that will be addressed in the final statement of reasons.

12 Before we move to a vote on this item, I do just

13 really want to say how proud I am that the staff has been

14 able to successfully navigate, if I may, a very, very

15 difficult issue here. I understand that our friends in

16 the environmental and public health community do not

17 lightly come to support this kind of a change. And I

18 really appreciate it, because they are tough critics and I

19 think they have realized that we've actually done a pretty

20 good job here of making, as somebody said, lemonade out of

21 lemons.

22 But I also -- I do want to ask the staff to just

23 briefly address a couple of the points that we've heard

24 more than one time. One is the question of whether the

25 fuel will be available on the time frame that we're now

1 projecting. Another is the question of whether we're
2 looking at this issue of vessel speed reduction in a
3 serious way and if there's a plan to bring that forward.

4 Also, I know you are looking at the fuel
5 viscosity issue. But maybe you'd like to report a little
6 bit more on where that's at, what kind of work is going
7 on.

8 And then, finally, on the last point that was
9 raised by Mr. Krokosky, this issue about vessels waiting
10 for berths and running their engines offshore. I know
11 that's been addressed in some ports as a -- I mean it's
12 like the air traffic control, a scheduling issue was an
13 important issue. And I don't know that we have any
14 jurisdiction on it. But I'd be interested to hear if
15 there's anything going on or anything that we could do.

16 So I'm not quite sure who would like to address
17 these, but --

18 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE: Let
19 me kind of -- this is Dan Donohoue. Let me kind of
20 orchestrate that.

21 On the virtual arrival, Peggy, could you kind of
22 talk to that at least as far as that is part of the T6
23 goods movement area that we can look at. We've not been
24 involved in it, but that's an area that there probably are
25 opportunities that would fall into the work that we're

1 doing on the overall freight transportation thing.

2 TECHNICAL ANALYSIS SECTION MANAGER TARICCO: Yes,
3 as part of the measure in our climate change plan to try
4 to improve the efficiency of freight operations in the
5 state, we will be looking at a broad range of measures to
6 see, you know, how to implement them and working with, you
7 know, the ports and the maritime industry to see which
8 ones make the most sense.

9 Seeing if we can move things quicker through the
10 ports is clearly one aspect of that, and we will look at
11 the virtual arrival aspects as well.

12 CHAIRPERSON NICHOLS: Okay. So you'll add that
13 to the list of things that are part of the discussion or
14 part of the review?

15 TECHNICAL ANALYSIS SECTION MANAGER TARICCO: Yes,
16 uh-huh.

17 CHAIRPERSON NICHOLS: Okay. Good.

18 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE: And,
19 Bonnie or Paul, on the issue of what we're doing and what
20 we have done with respect to viscosity, would you all like
21 to respond to that one?

22 STAFF AIR POLLUTION SPECIALIST SORIANO: I'll
23 start with that one. And then if Paul has some additions
24 to it, he can add them at the end.

25 In my presentation, I did mention that viscosity

1 is one of the key issues in the distillate fuel. And it
2 does have significantly lower viscosity than the heavy
3 fuel oil. And so we have been looking at it -- we've
4 looked at it a number of ways, in terms of we have -- our
5 Enforcement Division, we have gotten all their records,
6 which is over, at the time, 4 to 500 samples, and we
7 looked at the viscosity of all those samples. And that
8 was one of the things that led us to propose this
9 extension, because we did find that the viscosity levels
10 of the fuels from .1 to .5 percent sulfur were 25 percent
11 higher than the viscosity for the fuel at .1. So that's
12 one of the issues.

13 Also, I talked about that enhanced fuel
14 specification. And I continued to give the wrong number
15 for the fuel specification, because I work on a testing
16 spec too. But there's a new fuel grade called DMZ, and it
17 has a three centistoke minimum fuel viscosity.

18 So we believe that this viscosity issue is being
19 addressed in a number of different ways by our Phase 1
20 extension and by these enhanced fuel specifications.

21 We also -- I think we would have to be very
22 careful in specifying a minimum viscosity level. It's
23 very dependent -- the engine manufacturers do have a
24 minimum that they specify for their engines. But it's
25 very -- the fuel viscosity is very specific on temperature

1 and operation. And so for us to provide a minimum, I just
2 think it's too specific to the type of vessel.

3 So I think in terms of extending the Phase 1 and
4 the enhanced fuel specifications are two prongs that have
5 been used to approach that issue.

6 CHAIRPERSON NICHOLS: Well, obviously this is of
7 great interest to the shippers, to every -- it's a safety
8 issue. You know, loss of power is not something to take
9 lightly.

10 It seems to me that everybody's sort of converged
11 on viscosity as the answer or the problem. Are we clear
12 that that's the only thing that could be responsible for
13 the problems that have been experienced?

14 STAFF AIR POLLUTION SPECIALIST SORIANO: It is
15 one of the key issues. When California Maritime Academy
16 did the study, they found some other -- training, whether
17 the vessels operated in an automatic kind of setting or
18 whether there's an engineer that's actually down at the
19 engine. That can change some parameters.

20 But viscosity is one of the key fuel issues.

21 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOU: But
22 as we've talked about this whole thing, there's a need to
23 continue to investigate this closely. That's one of the
24 reasons why it makes so much sense to have a delay right
25 now and not have another change within that. As we look

1 at this more closely, we do think there may be other
2 things that will come up. But as we have, all these
3 people together, the experts both from the fuel, from the
4 engine side and all that, we think we can work through
5 this issue and certainly address the issues of both the
6 loss of propulsion and other operational issues that
7 they're seeing. And that's why we just think it makes
8 sense.

9 We from here -- you know, we have in place a very
10 concerted effort with all of the effected things,
11 particularly with the Coast Guard on working very closely
12 on these. We have a lot of additional things that we are
13 going to be requesting and following up on to see, as we
14 can delve deeper into this issue, to make sure that we
15 really are addressing it, particularly before we make the
16 next step down to the .1 sulfur fuel.

17 CHAIRPERSON NICHOLS: Well, Any time there's a
18 change in fuel, there's always a need for a very careful
19 rollout. So I'm glad to hear that you're working on that.

20 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE: Now,
21 would --

22 TECHNICAL ANALYSIS SECTION MANAGER TARICCO: I
23 just wanted to add one more thing.

24 The Coast Guard has been very helpful in this
25 matter. And we do have someone here today, Michael

1 Boyce -- Do you want to raise your hand, Michael. He's
2 been excellent to work with. And they've been working to
3 get the word out too. As they learn things when they
4 investigate, like loss of propulsions, you know, they get
5 that information back out to the industry. And they have
6 a vested interest in making sure this works too, because
7 the ECA is right around the corner. And, you know, we
8 have the benefit now of we're learning. We're kind of the
9 pilot here. And the more we can understand this, the more
10 successful the ECA will be too, and I think we all want
11 that to happen.

12 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUE: The
13 next one with respect to the VSR issue, Peggy, can you
14 respond to that one?

15 TECHNICAL ANALYSIS SECTION MANAGER TARICCO:
16 Yeah, I'll try to respond, and then you can add things
17 that I might miss.

18 Well, I think the Chairman is very familiar with
19 this, because I think the concept of slowing vessels down
20 has been around for a long time. I think we first started
21 looking at this back in the 90s. So we did make a
22 commitment to do a technical evaluation of vessel speed
23 reduction programs in the AB 32 Scoping Plan in our SIP
24 and a diesel risk reduction plan, that we would see, you
25 know, if it can work, how to implement it. Because of

1 resource issues that's been delayed a little bit.

2 The good news is that even though it's been
3 delayed, there's a very successful program being
4 implemented at the two largest ports in the state, the
5 Port of Long Beach and Los Angeles, where they are slowing
6 vessels down. They have a very high rate of compliance in
7 part because they've incentivized the Vessel Speed
8 Reduction Program, that vessel operators will get a
9 reduced dockage fee if they slow their vessels down.

10 So I think a big chunk of the benefits that we
11 could get from a VSR program here in California is already
12 occurring, thanks to the ports.

13 We will still complete the technical report.
14 We've committed to do that, and we'll get going on that
15 later again this year. There's going to be some really
16 tough questions to answer though as we look at this.
17 Because, you know, what's the best way to implement this
18 type of a program? Is it voluntary? Is it regulatory?
19 Is the state the best agency to be mandating speeds for
20 ships? Or is another agency, an international body or the
21 Coast Guard? Are they in a better position to establish
22 those ship speeds?

23 The other thing we need to keep in mind here is
24 that what we're asking today is to try to keep the vessels
25 out of the sea range and get them back in the channel. A

1 Vessel Speed Reduction Program could undo that work here
2 today and incentivize vessels to go back through the sea
3 range. So we need to keep that in mind.

4 We also have to keep in mind our longer term air
5 quality goals. As you look to the future, we know we're
6 going to have to get more reductions from ships. So we're
7 going to have to look at -- when we look at VSR, kind of
8 look at it in the context of a broader range of measures,
9 what's going to be the best way to get the next set of
10 reductions from vessels? And we will do that. We think
11 it's a little premature at this point to commit to
12 adopting a regulation to mandate vessel speed reductions,
13 but we do think there's merit in continuing to look at it
14 as a one way to reduce emissions, and we will do that as
15 we look at our program.

16 CHAIRPERSON NICHOLS: I understand the
17 explanation and I think it makes good sense. I just
18 think, you know, it would make also sense to include the
19 advocacy groups that have been working with us on trying
20 to defend this regulation and our authority in a very
21 difficult area to, you know, have them involved in looking
22 at the same kinds of analyses that you are. So I think
23 that will help us come up with something more sustainable
24 in the long run.

25 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOUÉ: We

1 certainly will.

2 I think there's just two real short questions
3 left. One had to do with the .1 sulfur fuel availability.
4 And there were some comments made about early compliance.
5 About 40 percent of the samples that we've done so far is
6 at or less than .1 fuel. So there is a fair amount out
7 there. There are people using it. Looking at the
8 regional basis from where these came, we are seeing .1
9 fuel available in most of those regions, probably in
10 fairly limited quantities. Except for South Africa, we're
11 not seeing too much come out of there.

12 So we're doing pretty well on that. We are going
13 to follow this .1 sulfur fuel availability very closely,
14 because it's also linked to other fuel properties that
15 we're concerned about. So that's something that we're
16 going to be following. And if there is an issue on that,
17 we're certainly going to, you know, bring that back to you
18 all and let you know what's happening.

19 Then the final one was really why not go out to
20 2015. That does make a lot of sense from actually
21 dovetailing with the ECA. The issue is, as you saw in the
22 previous presentation, these reductions are very critical
23 SOx reductions. These are, as we talked about, essential
24 for achieving the PM SIP commitments, which come in in
25 2014. This regulation has provided about -- as is has

1 provided about 50 percent of those reductions needed. So
2 that's -- you know, originally we looked at that as the
3 most practical way. But we have some air quality
4 requirements that we need to meet. And so that's why
5 we're recommending 2014.

6 CHAIRPERSON NICHOLS: All right. Thank you.
7 Dr. Balmes.

8 BOARD MEMBER BALMES: I just wanted to echo your
9 comments about the vessel speed reduction issue. I
10 appreciate from staff the complexity of this issue. And I
11 also appreciate from the Navy they don't want to see -- if
12 we're hoping to get the vessels through the channel
13 corridor not to reverse that by vessel speed reduction
14 concept that's not well thought through.

15 But I would encourage staff along with the
16 Chairman to try to navigate this difficult issue with the
17 various agencies. And, you know, maybe we're not the
18 right agency to spearhead this. But I think it would be
19 useful if we could figure out a way to amplify what's
20 already being done by the ports in Long Beach and L.A.

21 EMISSIONS ASSESSMENT BRANCH CHIEF DONOHOU: Just
22 one final comment on that. We are seeing additional
23 movement on the international level to look at greenhouse
24 gas reductions from shipping. In fact, at the July IMO
25 meeting coming up, they are going to initially start

1 looking at the idea of is it reasonable to try and get
2 emission reductions by some type of international vessel
3 speed reduction. So at least they're beginning right now
4 to start looking at that. I know the time line is
5 probably longer than what we usually like. But at least
6 it's up there for consideration, which is a good thing.

7 CHAIRPERSON NICHOLS: Considering how long it
8 took to get the IMO to address the sulfur issue, it's
9 practically warp speed.

10 BOARD MEMBER BALMES: I would just encourage us
11 to be actively engaged in those discussions.

12 CHAIRPERSON NICHOLS: We should be encouraging
13 that.

14 If there are no further questions -- we've
15 already closed the record. I should ask for any ex partes
16 communication. Yes, down here.

17 BOARD MEMBER BERG: I did have one phone call
18 with Coalition for Clean Air with Candice Kim and Martin
19 Schlageter. I should say that was on June 20th.

20 BOARD MEMBER BALMES: And I also had a phone call
21 on June 20th with Candice Kim, Coalition for Clean Air,
22 and John Kaltenstein, Friends of the Earth.

23 BOARD MEMBER D'ADAMO: Same phone call, June
24 20th, but adding Steven Sanders.

25 CHAIRPERSON NICHOLS: All right. Thank you all.

1 May I have a motion to approve Resolution 11-25
2 which contains the staff recommendation?

3 BOARD MEMBER D'ADAMO: So moved.

4 BOARD MEMBER RIORDAN: Second.

5 CHAIRPERSON NICHOLS: All right. All in favor
6 please say aye.

7 (Ayes)

8 CHAIRPERSON NICHOLS: Any opposed?

9 Great. Thank you all very much. Good work.
10 Successful.

11 We are not quite done, although I think we may
12 lose a quorum. That doesn't prevent us from finishing
13 what we need to do.

14 We do have several persons who have requested to
15 testify during the open comment period, most of whom are
16 here to talk about the drayage truck regulation, although
17 Martin Schlageter had asked to talk to us about economic
18 benefits of the regulation.

19 So I'm going to ask our Vice Chair Ms. Riordan to
20 take the gavel such as it is. To take charge and thank
21 everybody for their attendance. And she and/or our
22 counsel will explain if we need to what the status of
23 these public comments is. Thank you.

24 ACTING CHAIRPERSON RIORDAN: Thank you, Madam
25 Chairman.

1 First of all, let me invite people that are going
2 to speak under public comment, Martin Schlageter, Gloria
3 Stockmyer, Miguel Silva, Bill Aboudi, Dominick Lee, and
4 Ron Light to come down to the front row, please, and then
5 we will proceed.

6 Those of you who have participated under public
7 comment, remember that you do have our traditional
8 three-minute rule, just as we do during the hearings. And
9 so I'm going to ask that you observe that with the lights
10 as we have them.

11 And also to remind you that under public comment,
12 these are items that the Board has jurisdiction over but
13 that are not on the agenda. And we cannot take any formal
14 action today as a result of your testimony.

15 However, we can ask staff to investigate or work
16 with you or make some disposition perhaps of those issues
17 that you bring to us. Some are simply informational, and
18 I would assume that our first speaker is going to be more
19 of an informational one. And others may have some
20 requests. And we will handle it that way.

21 Martin, I'm going to begin with you. If you'd
22 give us your name, as all of you who are testifying, if
23 you would begin with your name. And if you're
24 representing an organization or a company, if you would
25 give us that information as well.

1 So, Martin, let's start with you.

2 MR. SCHLAGETER: Thank you so much.

3 Martin Schlageter with Coalition for Clean Air.
4 I submitted through the Clerk to you an executive summary
5 of a paper the Coalition for Clean Air recently released.

6 ACTING CHAIRPERSON RIORDAN: We have that.

7 MR. SCHLAGETER: I wanted to share that with you
8 because it's a series of case studies showing business and
9 economic benefits from greenhouse gas and other pollution
10 regulations that have been initiated here at CARB.

11 The shipping clean, growing green, how companies
12 are earning more by polluting less at California ports.
13 Goes through a wide variety of sources in the ports of
14 freight transportation sector and gives case studies where
15 economic benefits are being achieved, efficiencies are
16 being found, new markets are being opened up, and green
17 technologies are being developed. And that is the vision
18 of greening the economy that is I know a part of our
19 California mandate here, of which CARB is so important.

20 One of the findings I want to highlight there in
21 this report to you is that it is a call for us
22 collectively to be resilient and committed to the
23 deadlines that we set when we set forth regulation.
24 Emerging companies and investors and green technology
25 developers and workforce training programs are all reliant

1 upon the commitment you make when you set clean air
2 regulations. These clean air regulations are creating
3 markets. They're improving efficiencies, as I said. And
4 they're creating jobs here in California.

5 And so to stay committed to your deadlines and
6 stay committed to your standards allows investors and
7 emerging companies to plan and to be assured of the
8 marketplace that they are planning for and gaining
9 investment around. As we came across today, certainly
10 there are necessary changes that occur.

11 But know that to stay committed to your
12 regulations is one way of helping ensure that the green
13 economy continues forth. And these emerging companies,
14 which are feeding companies that are trying to comply with
15 your regulations, they need to be protected by a
16 commitment to those regulations. Companies that are
17 investing to comply need your continued vigilance in
18 rooting out companies that are trying to skirt compliance.

19 So these are -- this is a report that I think
20 you'll find useful and encouraging and I wanted to share
21 with you today as a way to raise my pom-poms as the
22 cheerleader for clean air regulations.

23 Thank you.

24 ACTING CHAIRPERSON RIORDAN: Thank you very much,
25 Martin. And we do have that and we will keep that.

1 Okay. Next speaker will be Gloria Stockmyer.

2 MS. STOCKMYER: Good afternoon. My name is
3 Gloria Stockmyer, Stockmyer Trucking.

4 I'm here today to comment on the Board's decision
5 in December to dismiss staff's recommendations to offer
6 the same concessions and delayed rules to drayage trucks
7 that you have given to trucks governed by the truck and
8 bus regulations. Your decision shows your failure to
9 acknowledge the substantial investments made by many of
10 the 5400 drayage trucks that visit the Port of Oakland
11 regularly.

12 Based on information that CARB published, a lot
13 of the trucks went and purchased 2004, '05, and '06 engine
14 model trucks with the plan of retrofitting them. And now
15 they're being told that there are no certified filters or
16 retrofit devices. So these men and women are stuck with
17 trucks that are worthless. And they're stuck with
18 payments and they can't sell them. And if they were able
19 to sell them, they couldn't go buy a 2007 model truck. But
20 because they've been de-valued by this decision, they're
21 going to be jobless.

22 And, you know, I really ask that you reconsider
23 and revisit this issue. Very important to a lot of
24 drivers. Thank you.

25 ACTING CHAIRPERSON RIORDAN: Thank you very much

1 for your presentation. I think we'll take it all. And
2 because all of the speakers are on this subject, then
3 we'll respond at the end.

4 The next one speaker will be Miguel Silva.

5 MR. SILVA: Hi, members of the Board. My name is
6 Miguel Silva, and I work with Horizon Freight Systems in
7 the port of Oakland.

8 First of all, I wanted to thank you for
9 responding to my comments regarding your decision not to
10 send Phase 2 of the drayage truck rule back in December.
11 Unfortunately, the letter that I received from the Board
12 was extremely disappointing, not only because you denied
13 my request to reconsider your decision, but because the
14 reasons were inadequate. It failed to justify the
15 decisions to potentially put thousands of port drivers out
16 of business for minimal environment benefit, while
17 granting relief to non-port truckers.

18 You tell us that the Board found it necessary to
19 retain Phase 2 requirements to protect residents of the
20 impacted communities from exposure to diesel PM and ozone.
21 Yet, you failed to recognize the cleanest trucks in those
22 communities currently are the drayage trucks.

23 A 2010 air district study found an anticipated 40
24 percent in reduction in NOx emissions at the port due to
25 the replacement of many older polluting trucks that had

1 occurred in Phase I implementation. But yet you continue
2 to allow significant emissions from non-port trucks
3 through those same communities and freeways.

4 The balance of emissions today has changed. And
5 there is no valid justification for widening the disparity
6 between the trucking rules. If the goal is to protect
7 communities like West Oakland, Phase 2 will not achieve
8 that goal.

9 You also say that the Board concluded that
10 retaining existing Phase 2 requirements would provide
11 fairness within the drayage truck industry to the truck
12 owners who have made greater investments in new trucks;
13 that delaying Phase 2 requirements would have favored
14 truck owners who have not yet invested in pollution
15 controls and penalizes the owner/operators of fleets
16 driving cleaner trucks.

17 This statement is elitist. It favors wealthy
18 companies and punishes the poor. Every truck that
19 currently serves the port of Oakland has made investments
20 in pollution control, be it by retrofitting the trucks or
21 by purchasing newer year model trucks that they could
22 afford. All have made sacrifices commensurate to their
23 economic situation. Phase I already has played a heavy
24 financial burden on port truckers. To ignore that seems
25 to be deliberately contemptuous of the plight of the

1 working class. Many have gone out of business. Many have
2 incurred high interest rate loans and large amount of
3 debt. Port truckers have done their share and more to
4 meet State clean air regulation at a great personal cost.

5 Not delaying Phase 2 to favor a handful of
6 wealthy companies at the expense of thousands of
7 owner-operators made up of mostly low income minorities is
8 discriminatory. The Civil Rights Act of 1964 requires
9 your agency under State law to conduct your program,
10 policies, activities in a manner that ensures the fair
11 treatment of people of all races, cultures, and income
12 levels, including minority populations and low-income
13 population of the state.

14 I think it would be inappropriate and unlawful to
15 proceed to implement these policies without mitigating or
16 even looking at the impending devastating impact of your
17 decision.

18 Thank you for the time.

19 ACTING CHAIRPERSON RIORDAN: Thank you Mr. Silva.
20 Mr. Aboudi.

21 MR. ABOUDI: We've been here since 9:00. And my
22 name is Bill Aboudi. I'm with AB Trucking. I work at the
23 port of Oakland. I've been there since 1988.

24 And I've learned over the years that before you
25 punch somebody because they're stepping on your toe, you

1 better tell them. So I want to tell you, you guys are
2 stepping on all of our toes at the port of Oakland. We've
3 had enough.

4 I've gone from 13 trucks to six trucks. We've
5 been suffering for the last three years. The promises
6 that were made to us are not kept. The money didn't come.
7 Then you call us something like an actor that came late to
8 the show, that we didn't apply early. It's bull. We
9 applied when the outreach was done. The money ran out.
10 Didn't run out for one or two. It ran out for 1300
11 people; 1300 people that stood in line day and night to
12 try to go through this process.

13 You've overcomplicated the system. I've attended
14 every drayage workshop that was in Oakland. We've
15 participated in everything. We tried to do everything.
16 This is not the way it was supposed to go. We were going
17 one year ahead of on-road rule. We're being backed by the
18 money, because we're the guinea pigs. And we're being
19 slaughtered right now.

20 And you have to look at it. This is a very
21 dangerous situation. You can talk to Cynthia Marvin. You
22 can talk to Diane Bailey from NRDC. We have done our best
23 to comply with everything. We want to reduce pollution.
24 We live in those communities. We interact with that
25 community.

1 But your decisions and what you're doing is not
2 correct. The 2004, '05, and '06, that rule was changed
3 after people were led to believe that that's an option
4 that they had. The years were shortened. Then we were
5 told that we didn't promise you that there was going to be
6 a DPF that would reduce NOx. We had hoped. What does
7 that mean? How do you make a law hoping that somebody was
8 going to do something? You have to make sure. Just like
9 with the earlier regulation, you're mandating. You're
10 watching. You're adjusting. You've adjusted it for
11 on-road rule. Why not adjust it for the port drayage
12 trucks that reduce the pollution by 50 percent, NOx by 40
13 percent?

14 We did that already. We upgraded our trucks. We
15 upgraded it on our own dime; 2700 of us upgraded on our
16 own dime. Didn't take a penny. 1300 got -- instead of
17 20,000, we got 5,000.

18 So we can always ask the military to go ahead and
19 give them some efficiency so they can do their test a
20 little faster and give us that \$30 million that they burn
21 in one day. If you have that kind of money, we'll buy
22 brand-new trucks or the two-million-dollar bus.

23 ACTING CHAIRPERSON RIORDAN: Thank you.

24 Dominick Lee.

25 MR. LEE: Members of the Board, my name is

1 Dominick Lee. I'm with VA Transportation in Oakland,
2 California. There's about 90 owner-operators working
3 there.

4 As you can probably already tell, we are a little
5 bit upset in Oakland at this decision that was made in
6 December. We are all, of us here, work in Oakland. We
7 are not one-time visitors. Especially like my guys, 90
8 owner-operators, 80 percent of my guys stay at the port
9 all day.

10 If you want to talk about emissions to problem
11 that were there previously and the correction that was
12 done is largely due to the community of truckers like me
13 and me colleagues here based in Oakland itself.

14 I also had the pleasure the past year to be on
15 the Truckers Work Group in Oakland where you sent your
16 staff members down on a monthly basis to talk about
17 amendments to be made to the drayage rule based on the
18 affects of the economy.

19 And I'm kind of a little bit -- not upset -- I
20 don't know if you were misinformed, but some of the basis
21 that we got from Mr. Goldstene on behalf of Chairman
22 Nichols was based upon drayage industry or the port
23 industry is rebounding. I don't know where you really got
24 that. We haven't responded or rebounded at all. I went
25 from having about 170 trucks in about 2006 to running

1 about 80 trucks in the port of Oakland. There's about
2 half of that.

3 Now, if you look at Journal of Commerce, we may
4 have rebounded last year, but all steamship lines -- and I
5 believe my customers estimate money for us to trickle down
6 and be economically better. They've all lost hundreds of
7 millions of dollars in the first quarter. They're all
8 bracing for another 2009 where some steamship lines have
9 lost over a billion dollars. If there is to be any relief
10 made to the trucking community, it should come to the
11 drayage. It should come to the guys that have already
12 invested house payments and are seriously looking for
13 relief.

14 The gentleman here earlier talked about you need
15 to keep deadlines and technology and all that. I think
16 sometimes we jump ahead of the schedule and propose
17 deadlines when don't have technology. There is these guys
18 that went out there and bought 05-06 trucks with the
19 promise of technology to keep on working until 2020. You
20 don't have that available. And at this point, you're
21 proposing options for them that are just not viable at
22 this point.

23 It's a promise. If it's not there, then some
24 changes need to be made to make accommodations for these
25 truckers that want to stay at work. It's about fairness.

1 And I think sometimes we all sit here and play a zero sum
2 game. I think there could be compromises that could be
3 made and keep everybody working.

4 I am seriously asking you guys to reconsider and
5 keep Oakland's port drivers working. Thank you.

6 ACTING CHAIRPERSON RIORDAN: Thank you, Mr. Lee.

7 Mr. Lee, the Committee that you mentioned just
8 briefly, how many are on that Committee that you just
9 mentioned?

10 MR. LEE: You're talking about the Truckers Work
11 Group?

12 ACTING CHAIRPERSON RIORDAN: Yes.

13 MR. LEE: Well, Truckers Work Group is a monthly
14 meeting put on the trucking community in the Port of
15 Oakland and is open to all terminal operators, steam ship
16 lines, and all trucking companies that serve the port of
17 Oakland, including truckers who come in from the valley as
18 well.

19 ACTING CHAIRPERSON RIORDAN: But individual
20 truckers can be there?

21 MR. LEE: Yes, ma'am. And actually, that's
22 really been the misinformation. I mean, for a year, you
23 sent staff down saying there's going to be amendments
24 made, extensions made to the filters, extension made to
25 their trucks. And, you know, within ten minutes, you guys

1 change your mind as to take that away from them. That's
2 what I'm asking you --

3 ACTING CHAIRPERSON RIORDAN: But the group
4 represents pretty fairly all of the interests in the area?

5 MR. LEE: All of Oakland truckers, yes.

6 ACTING CHAIRPERSON RIORDAN: Thank you.
7 Appreciate that.

8 Mr. Light.

9 MR. LIGHT: Good afternoon, Madam Vice
10 Chairman -- is it -- and Board members. My name is Ronald
11 Light. I'm Executive Director of West State Alliance,
12 which is the Port of Oakland Truckers Trade Association.
13 I'd like to try to hit a few high points, if I may.

14 Our organization over the past six months has
15 submitted comments to Chairman Nichols, to the Board
16 members individually, to the Board collectively during the
17 last 15-day open comment period. We can only hope that
18 you avail yourselves of our written comments where we go
19 into great detail and analysis and documentary support of
20 our various positions.

21 I was coming here, I raised the question -- I
22 posed the question to myself what would be the best course
23 of action at the point in which to address all of you
24 today? What I believe that it is, is to question what
25 your intentions were on December 17th and whether or not

1 the Board was fully aware and fully apprised of the
2 consequences of their actions and of their intentions when
3 you made the decision not to enact the delay to the Phase
4 2 NOx regulation, which would have postponed the rule from
5 2014 to 2020. So it's within that vein that I would like
6 to continue.

7 As a couple of my colleagues have alluded, a
8 research scientist at U.C. Berkeley, Dr. Rob Harley, was
9 commissioned by the ENAQMD to conduct a study this last
10 year to determine to what extent there had been emission
11 reductions from 2009 to the advent of the Phase I PM
12 regulation in January 1st -- or actually, it's more like
13 June of last year.

14 And as my colleagues have alluded, there was a
15 50 percent reduction in PM diesel emissions and an
16 unanticipated 40 percent reduction in NOx. And that's
17 extremely significant, because what it reflects is the
18 fact that as older trucks were phased out and newer
19 trucks were purchased largely at the expense of the port
20 truckers themselves, it's created a vast unanticipated
21 improvement in NOx reductions, thereby eliminating the
22 need to remain consistent with the implementation schedule
23 for Phase 2 that had been adopted.

24 And in fact, staff had proposed, as you well
25 know, a delay in implementation of the Phase 2 rule until

1 2020, in part to reflect the fact that there were far
2 fewer emissions being emitted into the atmosphere during
3 this period.

4 As my colleagues also have intimated, one of the
5 big issues was the fact that when the Phase 2 rule was
6 originally adopted by this Board, it was predicated on the
7 existence of not only PM filters, but of NOx reduction
8 filters. And in the case of vehicles of 2004, '05, and
9 '06 engines, the idea was that as those trucks required
10 diesel filtration that a dual purpose diesel and NOx
11 emission reduction filter could be purchased and
12 retrofitted. In fact, that does not exist. It has not
13 been developed. It's not been submitted to the CARB
14 Board. It's not been approved. It's not on the market.

15 So all of those 2700 truck owners have no option
16 when it comes time for them to retrofit their trucks.
17 They would do so -- this is with PM emissions filters.
18 They would do so with the fore knowledge that on January
19 1st, 2014, that their trucks would no longer be compliant
20 due to the NOx emissions rule. That means they need to
21 purchase a \$20,000 filter and keep them in compliance for
22 perhaps one year.

23 I'm sorry I've gone over. I did have a few more
24 points to make.

25 ACTING CHAIRPERSON RIORDAN: I felt that because

1 you represented a larger group, you could have 15 seconds
2 extra.

3 Mr. Light, I appreciate your comments. And I
4 thank you. And I'm going to have to tell you I have to
5 review your submittals. And maybe other Board members
6 will have some questions.

7 And I'm sorry, Board members, I didn't ask if
8 there were any questions on your behalf for any of the
9 other speakers. But this would be the time. And then I'm
10 going to ask staff to perhaps make some remarks and make a
11 suggestion about where we might go from here.

12 But first let me just invite any questions, if
13 there are any, Board members.

14 BOARD MEMBER BERG: I'd be interested in what
15 staff has to say.

16 ACTING CHAIRPERSON RIORDAN: Mr. Goldstene.

17 EXECUTIVE OFFICER GOLDSTENE: Thank you, Ms.
18 Riordan.

19 We'll ask Cynthia Marvin to provide a brief
20 overview and provide context of where we are. She can
21 respond to some of what you just heard.

22 ACTING CHAIRPERSON RIORDAN: And then perhaps
23 some direction what the next step might be. Why don't do
24 you the overview and response.

25 ASSISTANT DIVISION CHIEF MARVIN: Thank you.

1 We certainly are very well aware of the level of
2 concern in Oakland. Have spent a fair amount of time
3 listening to those concerns, looking ourselves at what was
4 possible from the system standpoint, and also trying to
5 assess what the impact is in terms of the number of
6 trucks.

7 So the letter that Chairman Nichols had sent back
8 to Miguel Silva and the West State Alliance on behalf of
9 many of the truckers who spoke today really attempts to go
10 through each of the substantive issues that they raised
11 and provide the facts as we understand them.

12 I think in terms of overall context, we
13 absolutely are making progress, and happily so, in
14 reducing diesel pollution at west Oakland.

15 As Dr. Harley's study confirms, I think it's
16 important to note those improvements are due to a
17 combination of cleaner trucks, cleaner ships, cleaner ship
18 fuel, cleaner cargo handling equipment, really the whole
19 spectrum of sources that operate in that community. So
20 many of those are cleaner due to the Board's regulations,
21 but it's not solely trucks that are driving that
22 improvement. We're certainly happy for it, regardless.

23 In terms of where we go in the future, many of
24 these folks did submit comments in the 15-day comment
25 process on the changes to the drayage rule. So staff will

1 be going through the prescribed process to evaluate and
2 respond to those comments.

3 Separate from the regulatory process, I've been
4 in some discussions with the city counsel member from
5 Oakland who has raised many of the same financial concerns
6 and expressed an interest in looking at how we can find
7 new ways to help finance additional upgrades at the port
8 of Oakland. And what we've talked about doing is trying
9 to combine the State's loan and loan guarantee programs
10 that are expanding right now, as Ms. Berg is well aware,
11 and perhaps combine those with funds generated or
12 developed by the city of Oakland so that there is a
13 stronger financing program available.

14 In the letter back from Chairman Nichols to the
15 West State Alliance, we did note the recovery or the
16 rebound at the Port of Oakland. That was not in the
17 analysis of any one company's economic state. It was a
18 statistical look at the amount of cargo that's flowing
19 through the Port of Oakland. And what we see by the Port
20 of Oakland's own statistics is that the cargo volumes have
21 returned to the pre-recessionary levels. So that tells us
22 that there is a need to stay vigilant in terms of
23 requiring cleaner trucks and also that ultimately that
24 business will provide a source to help finance those
25 cleaner trucks.

1 ACTING CHAIRPERSON RIORDAN: Mr. Goldstene.

2 EXECUTIVE OFFICER GOLDSTENE: I think at this
3 point we are in the middle of the process of the 15-day
4 process where we will respond to the comments we've
5 received.

6 I agree with Cynthia that the letter from
7 Chairman Nichols already responded to the issues raised
8 here. And what we can do is make sure we distribute that
9 to the Board so you have that information.

10 ACTING CHAIRPERSON RIORDAN: Yes, Dr. Balmes.

11 BOARD MEMBER BALMES: Well, I appreciate your
12 comments, Cynthia.

13 But being from Berkeley, I know that the City of
14 Oakland is in a great financial straits. When you talk
15 about partnering with the city to try to generate some
16 more funds, is there any reality there on the city side?
17 Not to mention the State budgetary issues.

18 ASSISTANT DIVISION CHIEF MARVIN: Excellent
19 question. And that was part of my discussion with the
20 city counsel member.

21 I think I'm realistic enough not to expect the
22 city itself to provide funding. But what she was talking
23 about was looking at some of the economic development
24 funds that may be available for the city or some of its
25 subsidiaries, non-profits to apply for as a financing

1 mechanism.

2 So I can't answer the question. I can just tell
3 you that there is a local elected official who wants to go
4 for that, try it, and we committed to work with her.

5 EXECUTIVE OFFICER GOLDSTENE: I've been corrected
6 by Mr. Fletcher. We did send the letter that Mary sent to
7 the Board already, but we can re-send it.

8 MR. ABOUDI: Can I have a rebuttal?

9 ACTING CHAIRPERSON RIORDAN: No. I think based
10 on fairness --

11 MR. ABOUDI: But there's wrong information being
12 dished out.

13 ACTING CHAIRPERSON RIORDAN: I realize there's a
14 disagreement --

15 MR. ABOUDI: It's not a disagreement. It's
16 inaccurate information that's been dished out to the
17 Board.

18 EXECUTIVE OFFICER GOLDSTENE: We'll finish the
19 rule making process. In that forum and in that context,
20 we will reply to the comments.

21 ACTING CHAIRPERSON RIORDAN: And I think, Mr.
22 Goldstene, then what -- after you've done that, I think
23 because of the interest shown by the speakers that then
24 the -- it would be helpful if you then made that
25 information available to us. Lots of times after the

1 15-day comment period is over or the period is over, then
2 we just -- that moves on. I think in this case perhaps
3 we'd like to be a little bit more aware of the response.

4 In terms of looking at opportunities for funding,
5 realistically, cities are in straits now. State is in a
6 straight.

7 If the port has come back financially -- well,
8 not financially. Let's say the trade or the commerce
9 there has come back, is the port doing anything to help in
10 this regard at all? No. All right. No.

11 ASSISTANT DIVISION CHIEF MARVIN: Unfortunately,
12 no. But that would certainly be another potential source
13 of funding to help the sort of financing program.

14 ACTING CHAIRPERSON RIORDAN: Have we contacted --
15 forgive me, because you probably have told me this and I
16 just don't remember.

17 Have we contacted them? Have we asked them?
18 Have we worked with them at all to see if there was any
19 interest in helping?

20 ASSISTANT DIVISION CHIEF MARVIN: We've certainly
21 had that discussion, both the Air Resources Board staff
22 and the Bay Area Air Quality Management District staff
23 have had that discussion repeatedly with the port of
24 Oakland. But we are willing to have that again.

25 ACTING CHAIRPERSON RIORDAN: I think it would

1 bear, you know, doing it again.

2 I think sometimes if people are presented as we
3 have been today with some of the individual stories, you
4 know, maybe there would be an interest.

5 I don't know if there is a model to follow in the
6 ports of Long Beach and L.A. Maybe there is a model
7 there. Do I not remember they did something?

8 ASSISTANT DIVISION CHIEF MARVIN: Down in
9 southern California, the two big ports were very
10 aggressive in both setting their own requirements for
11 access to the port for cleaner trucks. They established a
12 dirty truck fee. They raised money by allowing those
13 dirty trucks to come to the port prior to the ARB
14 regulation. And they took that money, and then a number
15 of port operators revenues and greatly subsidized the
16 transition to cleaner trucks.

17 The port of Oakland contributed \$5 million to the
18 overall funding program that was implemented in 2009 and
19 2010. But it is a much smaller contribution proportional
20 than the southern California ports. They considered doing
21 a gate fee and a similar program to the L.A. and Long
22 Beach situation, and the Oakland Port Commissioners
23 declined to pursue that approach.

24 ACTING CHAIRPERSON RIORDAN: Are they governed
25 similarly -- the three ports -- in other words, is there

1 any difference in the governance and the way it's set up?

2 ASSISTANT DIVISION CHIEF MARVIN: I think there
3 are some technical differences. But from a general sense,
4 I would say each of the ports are run by an appointed
5 Board of Commissioners or the Port of Harbor Commissioners
6 generally appointed by the cities where those ports are
7 located. So in Oakland, the Mayor appoints the Boards of
8 Port Commissioners.

9 BOARD MEMBER BERG: But they do run
10 independently.

11 ACTING CHAIRPERSON RIORDAN: But I'm trying
12 decide where to put the -- I mean, we obviously need to
13 have a discussion, we and Bay Area and all. But I'm
14 looking at those who are in the audience and I'm thinking
15 where would their time be best spent if we were looking
16 for some additional resources that would mirror what's
17 happening down in the other two ports.

18 And I'm going to make a suggestion -- not knowing
19 the exact governance and how they're set up. But usually
20 the Port Commissioners or Board members, however this
21 governance is designed, they need to hear from you. And
22 you may have been there many times. But if we go and
23 talk, you go and talk, maybe something can happen based on
24 our belief that commerce has returned to that port.

25 Now, if it hasn't, then that's a different story.

1 But if it has, then I think the case could be made that
2 you need to be there along with us, not physically in the
3 same room at the same time, but there at their public
4 meetings and we at our meetings. And that's what I'm
5 going to suggest to everybody.

6 But I would like our staff -- if the Board agrees
7 with me -- to go back and have another conversation with
8 them and explain to them what has happened in the other
9 ports and that there is a real interest on our part to see
10 some effort being made to help with the finances.

11 EXECUTIVE OFFICER GOLDSTENE: We'll talk to the
12 port and the air district. And we'll also keep the Board
13 informed as we move forward on completing the 15-day
14 process.

15 ACTING CHAIRPERSON RIORDAN: Thank you. Thank
16 you, Mr. Goldstene. Any other comments, Board members?

17 With that, then we'll adjourn our meeting. And I
18 thank you very much.

19 (Thereupon the California Air Resources
20 Board meeting adjourned at 3:43 p.m.)

21
22
23
24
25

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25