

MEETING  
STATE OF CALIFORNIA  
AIR RESOURCES BOARD

JOE SERNA, JR. BUILDING  
CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY  
BYRON SHER AUDITORIUM, SECOND FLOOR  
1001 I STREET  
SACRAMENTO, CALIFORNIA

THURSDAY, MAY 24, 2012

9:12 A.M.

TIFFANY C. KRAFT, CSR  
CERTIFIED SHORTHAND REPORTER  
LICENSE NUMBER 12277

CALIFORNIA REPORTING, LLC  
52 LONGWOOD DRIVE  
SAN RAFAEL, CA 94901  
(415) 457-4417

APPEARANCES

BOARD MEMBERS

Ms. Mary Nichols, Chairperson

Dr. John Balmes

Ms. Sandra Berg

Ms. Doreene D'Adamo

Mr. Hector De La Torre

Mr. Ronald Loveridge

Dr. Daniel Sperling

Supervisor Ken Yeager

STAFF

Mr. James Goldstene, Executive Officer

Mr. Tom Cackette, Chief Deputy Executive Officer

Mr. Richard Corey, Deputy Executive Officer

Ms. Lynn Terry, Deputy Executive Officer

ALSO PRESENT

Dr. Marc Fischer, Lawrence Berkeley National Laboratory

Dr. Mark Jacobson, Stanford University

Dr. Alan Lloyd, International Council on Clean  
Transportation

Dr. V. Ramanathan, UC San Diego, Scripps Institution of  
Oceanography

Dr. Erika Sasser, United States Environmental Protection  
Agency

Mr. Durwood Zaelke, Institute for Governance and  
Sustainable Development

INDEX

PAGE

Item 12-3-1	
Chairperson Nichols	3
Motion	3
Vote	4
Item 12-3-2	
Chairman Nichols	4
Executive Officer Goldstene	5
Panel Presentation	12
Item 12-3-3	
Chairman Nichols	95
Adjournment	108
Reporter's Certificate	109

PROCEEDINGS

1  
2 CHAIRPERSON NICHOLS: Good morning, ladies and  
3 gentlemen. And welcome to visitors, as well as to our  
4 distinguished panel of presenters this morning.

5 The May 24th, 2012, public meeting of the Air  
6 Resources Board will come to order.

7 We customarily begin our meeting with the Pledge  
8 of Allegiance to the flag. It's been moved this morning  
9 for photo purposes I guess, but it's right up here. So  
10 would you all please stand with me.

11 (Thereupon the Pledge of Allegiance was  
12 Recited in unison.)

13 CHAIRPERSON NICHOLS: All right. The Clerk will  
14 please call the roll.

15 BOARD CLERK MORENCY: Dr. Balmes?

16 BOARD MEMBER BALMES: Here.

17 BOARD CLERK MORENCY: Ms. Berg?

18 BOARD MEMBER BERG: Here.

19 BOARD CLERK MORENCY: Ms. D'Adamo?

20 BOARD MEMBER D'ADAMO: Here.

21 BOARD CLERK MORENCY: Mr. De La Torre?

22 BOARD MEMBER DE LA TORRE: Here.

23 BOARD CLERK MORENCY: Mayor Loveridge?

24 Mrs. Riordan?

25 Supervisor Roberts?

1 BOARD MEMBER ROBERTS: Here.

2 BOARD CLERK MORENCY: Dr. Sherriffs?

3 Professor Sperling?

4 BOARD MEMBER SPERLING: Here.

5 BOARD CLERK MORENCY: Supervisor Yeager?

6 BOARD MEMBER YEAGER: Here.

7 BOARD CLERK MORENCY: Chairman Nichols?

8 CHAIRPERSON NICHOLS: Here.

9 BOARD CLERK MORENCY: Madam Chairman, we have a  
10 quorum.

11 CHAIRPERSON NICHOLS: Thank you very much.

12 On behalf of all of us, I want to send our  
13 greetings and best wishes to Barbara Riordan, who had  
14 planned to be with us this morning, but her husband had a  
15 health setback so she wasn't able to join us today.  
16 She'll be watching us on video. We all send her our very  
17 best.

18 I have a couple of announcements, which are  
19 mandatory here.

20 First of all, that anyone who wants to speak on  
21 this or any other item is asked to fill out a request to  
22 speak card. They're available in the lobby outside the  
23 auditorium, and it needs to be turned into the Clerk.

24 The Board will impose a three-minute time limit  
25 for this particular hearing on members of the public who

1 want to add something to this discussion. This is not an  
2 item that we're going to be taking action. We're not  
3 planning to take action this morning on the informational  
4 item, although we do have one consent item I guess on the  
5 schedule.

6           And I'm also supposed to point out the emergency  
7 exits for the room for safety reasons. In the event of a  
8 fire alarm, we are required to evacuate this room and to  
9 go down the stairs and out of the building and to wait  
10 until the all-clear signal resumes. So I think that's it  
11 for official announcements.

12           The first item on our agenda is a consent item  
13 number 12-3-1, the public hearing to consider approval of  
14 the proposed South Coast State Implementation Plan  
15 provision for the Federal Lead Standard. And because this  
16 one has been in such good shape, I think we believe that  
17 it could go on consent.

18           But I need to ask the Clerk if there have been  
19 any witnesses who have asked to testify. There have not.

20           Are there any Board members who want to see this  
21 item removed from the consent calendar?

22           Seeing none, then we have Resolution 12-20 before  
23 us. And we have to ask for a motion and a second.

24           BOARD MEMBER BERG: Move adoption.

25           BOARD MEMBER BALMES: Second

1           CHAIRPERSON NICHOLS:    Second.  All in favor,  
2 please say aye.

3           (Ayes)

4           CHAIRPERSON NICHOLS:  Great.  Thank you very  
5 much.

6           The second item on the agenda is a special  
7 presentation on short-lived climate pollutants.  This is  
8 an especially timely meeting, considering last week's  
9 announcement that the G-8 countries have joined the  
10 Climate and Clean Air Coalition for reducing short-lived  
11 climate pollutant.  This is a Coalition that was initiated  
12 by the United States and five other countries earlier this  
13 year.

14           California has been regulating these pollutants  
15 as part of our air quality and climate programs for some  
16 time, and I'm really looking forward to hearing from our  
17 panel of experts to give us the latest findings and to  
18 update us on policy efforts for dealing with these  
19 pollutants.

20           California's focus on reducing the health impacts  
21 of particulate pollution has had a wonderful added benefit  
22 of reducing black carbon, which although we didn't know it  
23 at the time we started or at least we weren't focused on  
24 this, is a very important short-lived climate pollutant.  
25 ARB has also adopted several measures to reduce other

1 short-lived climate pollutants, including  
2 hydroflourocarbons and methane, which are becoming  
3 increasingly interesting as we focus in on issues of  
4 distributed generation and agricultural waste management  
5 and so forth. I think that the stars are aligning, if you  
6 will, towards trying to develop a more wholistic policy  
7 about dealing with methane.

8           Before we hear from our speakers, our Executive  
9 Officer James Goldstene is going to begin a brief staff  
10 presentation to set the stage and then he's going to  
11 introduce our distinguished panel.

12           So Mr. Goldstene.

13           (Thereupon an overhead presentation was  
14 presented as follows.)

15           EXECUTIVE OFFICER GOLDSTENE: Thank you, Chairman  
16 Nichols. I'll take just a few minutes to introduce the  
17 subject of short-lived climate pollutants and our actions  
18 to reduce these pollutants.

19   --o0o--

20           EXECUTIVE OFFICER GOLDSTENE: Carbon dioxide is  
21 the main climate pollutant, remains in the atmosphere for  
22 about a century. Since carbon dioxide presents the  
23 majority of greenhouse gas emissions and is long-lived,  
24 reducing carbon dioxide emissions is essential to meeting  
25 the climate program goals.



1           The benefit of reducing carbon dioxide will take  
2 time to be realized, because this pollutant persists so  
3 long in the atmosphere.

4           In contrast, the short-lived climate pollutants  
5 have a relatively short lifetime in the atmosphere, from a  
6 few days to a few decades. As a result, near-term actions  
7 to reduce these pollutants can have a more immediate  
8 impact. These short-lived pollutants include black  
9 carbon, the black soot portion of health-damaging PM2.5,  
10 methane, and hydroflourocarbons, industrial chemicals used  
11 in refrigeration and air conditioning.

12                           --o0o--

13           EXECUTIVE OFFICER GOLDSTENE: From a global  
14 perspective, the category of short-lived climate  
15 pollutants is responsible for 37 percent of total climate  
16 pollutant emissions. Black carbon alone is 23 percent of  
17 the total. Methane is another 13 percent. And  
18 hydroflourocarbons are one percent, but growing fast.

19           This compares to carbon dioxide at 56 percent of  
20 the total nitrous oxide, another long-lived pollutant that  
21 contributes about seven percent.

22           The primary difference in California is the  
23 greater proportion of carbon dioxide emissions and  
24 relatively less black carbon and methane.

25           Some of this difference is the result of

1 California's air quality programs. Also, developing  
2 countries have a different mix of sources such as coal  
3 cookstoves or a large number of rice paddies that  
4 contribute relatively more black carbon and methane.

5 --o0o--

6 EXECUTIVE OFFICER GOLDSTENE: This slide  
7 highlights actions that we take in California that reduce  
8 emissions of black carbon, methane, and hydroflourocarbon.  
9 Over the past decade, the cleanup of diesel engines has  
10 been the focus of our efforts to meet air quality  
11 standards and reduce community toxics risk. The Board's  
12 recent advanced clean cars rulemaking will further reduce  
13 fine particulate emissions, and California state law has  
14 phased out the majority of agricultural burning.

15 The Board has also put into place limits on  
16 emissions of hydroflourocarbons from large commercial  
17 refrigerant systems, car air conditioners, and smaller  
18 sources.

19 Methane sources that have been reduced include  
20 landfills and oil and gas operations. In addition, the  
21 Board's Cap and Trade Program includes an offset protocol  
22 to recognize methane reductions from dairies.

23 --o0o--

24 EXECUTIVE OFFICER GOLDSTENE: California's  
25 programs to reduce transportation emissions have

1 dramatically improved air quality and have had the added  
2 benefit of reducing black carbon. By 2020, there will be  
3 an 80 percent reduction from 1990 levels. This is being  
4 accomplished over a 30-year time period of growing fuel  
5 consumption.

6 --o0o--

7 EXECUTIVE OFFICER GOLDSTONE: The phase-out of  
8 rice, straw, and other agricultural burning in California  
9 has led to an 80 to 90 percent reduction in the number of  
10 acres burned. In addition, restrictions on residential  
11 burning are in place in most urban areas. These measures  
12 have been important contributors to progress in meeting  
13 air quality standards for particulate pollution.

14 --o0o--

15 EXECUTIVE OFFICER GOLDSTONE: As  
16 hydroflouorocarbons replace ozone-depleting substances  
17 banned under the Montreal protocol, emissions are expected  
18 to double by 2020.

19 ARB regulations require repair of leaks in large  
20 commercial refrigeration systems, such as those found in  
21 supermarkets. And ARB's advanced clean car regulations  
22 incentivizes alternatives to current refrigerants in  
23 automobile air conditioning. These efforts should achieve  
24 a 25 percent reduction in California's total  
25 hydroflouorocarbon emissions by 2020. Also, all major

1 California utilities participate in a U.S. EPA program to  
2 collect and destroy refrigerants when residential  
3 appliances are recycled.

4 --o0o--

5 EXECUTIVE OFFICER GOLDSTENE: While methane has  
6 been regulated in California for many years, there are  
7 still opportunities to do more. Landfill gas emissions  
8 are regulated to reduce both ozone-forming emissions and  
9 greenhouse gases.

10 Livestock emissions are currently the largest  
11 source of methane in California and provide some of the  
12 greatest opportunities for further reductions.

13 In 2011, the Board adopted an offset protocol for  
14 dairy projects under the Cap and Trade Program.

15 We are also planning a 2013 rulemaking to reduce  
16 methane emissions from oil and gas production.

17 --o0o--

18 EXECUTIVE OFFICER GOLDSTENE: Although California  
19 continues to reduce ozone pollution generated by in-state  
20 source, global background ozone is increasing. While  
21 methane reacts too slowly in the atmosphere to effect  
22 the formation of regional ozone, on a global scale, it  
23 contributes to the formation of background ozone. As air  
24 quality standards tighten and regional ozone controls are  
25 implemented in California's non-attainment areas, global

1 background ozone will become an increasingly important  
2 factor.

3 --o0o--

4 EXECUTIVE OFFICER GOLDSTENE: Now let me  
5 introduce our six speakers.

6 Professor Mark Jacobson of Stanford University  
7 will talk about short-lived climate pollutants on a global  
8 scale. For more than a decade, Dr. Jacobson has examined  
9 the effects of particles on global warming, cloud  
10 formation, and local weather. His early studies were the  
11 first to look quantitatively at the various ways black  
12 carbon can impact climate.

13 Professor Ramanathan of U.C. San Diego's Scripps  
14 Institution of Oceanography will provide an overview of  
15 his California studies. Dr. Ramanathan has been one of  
16 the foremost scientists bringing the need for action on  
17 short-lived climate pollutants to the attention of policy  
18 makers and leads a multi-campus team investigating this  
19 issue for ARB.

20 Dr. Mark Fischer, a staff scientist with Lawrence  
21 Berkeley National Laboratory, will present his research  
22 findings on methane emissions in California. As part of  
23 ongoing work for ARB and the California Energy Commission,  
24 Dr. Fischer and his colleagues are quantifying the sources  
25 of California's greenhouse gas emissions and their trends

1 over time.

2 --o0o--

3 EXECUTIVE OFFICER GOLDSTENE: Dr. Erika Sasser, a  
4 Senior Policy Advisor for the U.S. Environmental  
5 Protection Agency, will talk about the EPA's report to  
6 Congress on black carbon and recent developments within  
7 the International Climate and Clean Air Coalition for  
8 reducing short-lived climate pollutants. Her work focuses  
9 on the design of policies and strategies that integrate  
10 public health and environmental goals with climate  
11 mitigation efforts.

12 Durwood Zaelke is the Founder and President of  
13 the Institute for Governance and Sustainable Development  
14 and the Director of International Network for  
15 Environmental Compliance and Enforcement. His  
16 presentation will address the growth in hydroflouorocarbons  
17 and an international effort to use the Montreal Protocol  
18 to reduce and eliminate them by 2050.

19 And finally, Dr. Alan Lloyd, our former Chairman  
20 and Cal/EPA Secretary, will conclude the presentations  
21 with a policy perspective on reducing short-lived climate  
22 pollutants. Dr. Lloyd is the President of the  
23 International Council on Clean Transportation, and his  
24 work focuses on the viable future of advanced technology  
25 and renewable fuels, with attention to urban air quality

1 issues and global warming.

2 Dr. Jacobson is the first speaker. So without  
3 any questions, we can just ask him to begin.

4 CHAIRPERSON NICHOLS: Thank you.

5 DR. JACOBSON: Thank you for the introduction and  
6 thank you for having this meeting.

7 So my goal is to talk about the global impacts of  
8 black carbon and a little bit about brown carbon, which  
9 goes along with black carbon, but also methane, the  
10 effects on climate and atmosphere composition and health.

11 --o0o--

12 DR. JACOBSON: So I want to start with what are  
13 the overall impacts of black carbon. Why do we care about  
14 it?

15 There is a health impact that we all know about.  
16 But on the worldwide scale, about one-and-a-half million  
17 or more people die prematurely from exposure to soot,  
18 which is the main component of which is black carbon and  
19 the three main types of soot. There is open biomass  
20 burning soot, biofuel burning soot, and fossil fuel. And  
21 these death rates are primarily the result of biofuel and  
22 fossil file. The biofuel burning causes six to seven  
23 times more deaths because most of these deaths be in  
24 developing countries. But still, in the U.S. overall air  
25 pollution causes about 50- to 100,000 deaths from air





1 Arctic than other latitudes. And its moderate lifetime,  
2 eight to twelve years, allows it -- if we control that, we  
3 can also help to save the Arctic.

4           The reason we want to save the Arctic from  
5 melting entirely is because the Arctic is reflective. And  
6 if it disappears, we uncover the dark ocean below. And  
7 that allows more sunlight to get absorbed by the ocean,  
8 triggering a faster warming of the ocean and subsequently  
9 the air and the global climate. So in fact, some people  
10 think there could be a tipping point if the Arctic ice  
11 disappears, you will get this rapid warming of the entire  
12 climate faster than currently is occurring.

13           And methane also produces ozone globally. And  
14 natural gas is a source -- a major source of methane. And  
15 I'm going to talk about that later in this presentation.  
16 But that's really growing, especially in shale gas through  
17 hydrofracking, which is -- there is a big potential growth  
18 of hydrofracking in California, which I think is relative.

19   --o0o--

20           DR. JACOBSON: So I just want to spend a couple  
21 minutes saying why does black carbon have a strong climate  
22 effect and how does it impact the climate?

23           It has impacts on the clear sky within clouds and  
24 on surfaces. So in the clear sky, it's a strong absorber  
25 of solar radiation. Greenhouse gases absorb red radiation

1 primarily. The black carbon is important because it  
2 absorbs sunlight directly. The black carbon heats up and  
3 radiates heat radiation to the air around it.

4           And, in fact, it's -- well, then when it gets  
5 coated by other pollutants that form a shell around it,  
6 the particle is larger, so more sunlight gets refracted  
7 into the particle that is eventually absorbed by the black  
8 carbon. So, in fact, on a global scale, the coating due  
9 to the aging of black carbon in the atmosphere can double  
10 the heating rate of black carbon.

11           So black carbon per unit mass causes over a  
12 million times more warming than carbon dioxide, but there  
13 is a lot more carbon dioxide in the air, which is why  
14 carbon dioxide is more important.

15           But in terms of clouds, black carbon can effect  
16 clouds in several ways. It gets incorporated inside of  
17 cloud drops. When that happened, the water in the cloud  
18 drop actually is a shell already. So you get this  
19 enhanced focus, optical focusing that heats the cloud  
20 drops directly. So you can start to burn off the cloud  
21 just by incorporating black carbon in the cloud drops.  
22 I'll show in a picture of this in a minute.

23           Also, the black carbon between cloud drops can  
24 heat the cloud because there's light bouncing around in  
25 the cloud, and eventually that gets absorbed by the black



1 DR. JACOBSON: This is a plot showing how the  
2 Arctic sea ice is declining. And it's declining rapidly.  
3 It's actually expected to decline even faster. As you get  
4 close to the Arctic, almost totally disappearing. The  
5 whole thing is expected to collapse the Arctic sea ice.  
6 So this is estimated to occur in the next 20 to 30 years  
7 or so.

8 --o0o--

9 DR. JACOBSON: In terms of the clouds, I  
10 mentioned that black carbon causes clouds to disappear if  
11 it's incorporated in them.

12 This is a satellite image over southeast Asia,  
13 China which indicates all that brown stuff is pollution.  
14 And the clouds have disappeared effectively in the  
15 presence of the pollution and when we started off-shore  
16 where the pollution is starting to end.

17 So you can actually just burn off clouds over a  
18 large region. This allows sunlight to pour to the  
19 surface, causing rapid heating of the surface. So this is  
20 one of the strong feedbacks of black carbon.

21 --o0o--

22 DR. JACOBSON: Globally, as I mentioned, there  
23 are three main sources of black carbon. There's open  
24 biomass burning which causes about 37 percent of the  
25 source of black carbon. And then there's road transport

1 and non-road transport. Well, there's fossil fuels which  
2 include transportation, other types of fossil fuels and  
3 also residential biofuels.

4 --o0o--

5 DR. JACOBSON: I just want to show a couple  
6 slides how black carbon is distributed. This indicates  
7 the emissions of all sources of black carbon in  
8 South America and Africa, a lot of it is on biomass  
9 burning. In southeast Asian, a lot of it is biofuels.  
10 And in Europe and in the U.S., a lot of it is fossil  
11 fuels. In Asia, you also have fossil fuel as well.

12 But as the black carbon ages and transports in  
13 the atmosphere and spreads globally, including over the  
14 Arctic and hemispherically, so we get a larger spread of  
15 the actual concentrations in the air compared with the  
16 emissions. And then some of it gets absorbed in clouds or  
17 a lot of eventually -- in fact, all of it gets absorbed in  
18 clouds because that's the main removal mechanism. About  
19 90 percent is removed by precipitation.

20 This shows a distribution of these clouds and the  
21 concentration of the black carbon in the clouds. And then  
22 finally it gets positive to snow and sea ice. And there,  
23 it can reduce the reflectivity the snow and/or sea ice  
24 that has climate effects.

25 Now, there's brown carbon -- I mentioned also is

1 basically dark matter that can absorb. It's not so  
2 strongly absorbing as black carbon, but it can absorb  
3 really strongly in the UV wave lengths and visible wave  
4 lengths, in particular, but it may be causing a  
5 significant portion of warming as well, but not quite so  
6 much as black carbon. And it's distributed globally and  
7 has some of the similar sources.

8 --o0o--

9 DR. JACOBSON: In terms of health effects, this  
10 shows that a lot of the health effects, including  
11 mortality, are over southeast Asia, but there are  
12 mortalities in the U.S., California, and worldwide. Over  
13 a million and a half people are estimated to die from soot  
14 from fossil fuel and biofuel carbon, about 200,000 are  
15 from fossil fuels and the rest from biofuels.

16 --o0o--

17 DR. JACOBSON: In terms of the global temperature  
18 response of black carbon versus carbon dioxide, this shows  
19 the 100-year climate effect of eliminating black carbon  
20 versus CO2 versus methane. And CO2 --

21 CHAIRPERSON NICHOLS: That is a ten-minute  
22 warning. You've got a couple more minutes.

23 DR. JACOBSON: CO2 causes a greater overall  
24 impact. If you control it, it reduces temperatures more,  
25 but black carbon is the fastest method of slowing global

1 warming. And methane is the second fastest, and CO2 is  
2 the third fastest but most important.

3 --o0o--

4 DR. JACOBSON: There are another perspective.  
5 Total net absorbed global warming is on the right. That's  
6 due to greenhouse gases, plus fossil fuels plus biofuel  
7 soot warming, and a little bit of urban heat island but  
8 offset by cooling. So the point here is if you clean up  
9 just the aerosol particles, mostly which cause cooling,  
10 you actually will increase warming rapidly, because most  
11 of the global warming that's occurring today is being  
12 masked by cooling particles.

13 --o0o--

14 DR. JACOBSON: And I'm almost done here. This  
15 shows greenhouse gas footprint of methane from shale  
16 gas -- methane carbon dioxide from shale gas, conventional  
17 goods versus coal over a 10 to 20-year time frame. Most  
18 people look at the 100-year time frame. But because the  
19 sea ice is disappearing rapidly, the 20-year time frame is  
20 probably most relevant.

21 And shale gas which is mined by the hydrofracking  
22 where you take water and put chemicals in to break up the  
23 rock, that causes more leakage. So these are each low and  
24 high estimates of the total potential CO2 equivalent  
25 emissions. Over the 20 year time frame, shale gas causes

1 slightly more warming overall due to the combination of  
2 CO2 plus methane than coal, either deep mine or surface  
3 mine coal and conventional gas is also on par.

4 I think these are really important to consider,  
5 because there is -- I think California has the largest  
6 shale oil reserve in the country. And so there's probably  
7 I think a lot of gas companies are -- and oil companies  
8 are buying up water rights to plan fracking in the near  
9 future.

10 --o0o--

11 DR. JACOBSON: Just to summarize, soot and  
12 methane are the second and third leading cause of global  
13 warming, respectively. Kills over a million and a half  
14 people world wide per year and methane increases ozone,  
15 which causes global warming impacts. Temperature  
16 increases due to both air pollution. And controlling soot  
17 and methane may be the only methods of preventing the loss  
18 of the Arctic sea ice and tipping points to more rapid  
19 global warming.

20 Thank you very much.

21 CHAIRPERSON NICHOLS: Thank you.

22 Does anybody have a question right now? If not,  
23 we'll probably hold them until the end. Okay. Thanks.

24 MR. RAMANATHAN: I first want to thank CARB for  
25 organizing this hearing. And I want to thank CARB for



1 inviting me. I'm truly honored to be here.

2 As Mark already informed you, about 40 percent of  
3 the total global warming is from the short-lived climate  
4 pollutants.

5 One of the most powerful argument in favor of  
6 getting rid of these pollutants is there are practical and  
7 proven ways to do so. And an equally powerful argument is  
8 that when you do mitigate the emissions, they are gone  
9 within few weeks, instead of 10, 15 years.

10 So the question is: Do we see this? Has any  
11 region in the planet done this? That's the focus of our  
12 investigation funded by CARB. It's a multi-institutional  
13 investigation by UCSD, Berkeley, and Pacific National Lab.

14 So what you are after is: What has California  
15 done in terms of getting rid of these pollutants and do we  
16 see their effects?

17 --o0o--

18 MR. RAMANATHAN: So I wanted to review some of  
19 the data we have collected in modeling studies. So these  
20 are some of the topics. Instead of spending my ten  
21 minutes on describing these topics, I go to the results.  
22 And honestly, this is the first of its kind study done on  
23 this problem. And so far, this whole short-lived  
24 pollutants is we have done this in our models. Believe  
25 us, if you get it, it will be gone. But now we have data

1 to show it is has really happened in California.

2 --o0o--

3 MR. RAMANATHAN: So we have over 50 to 60  
4 stations around California, both urban and remote  
5 locations. And what you see is that black carbon  
6 concentrations have reduced dramatically statewide both in  
7 urban and rural locations. This is not because of some  
8 accident or meteorology. This is because of the policies  
9 California has enforced to get rid of the soot.

10 --o0o--

11 MR. RAMANATHAN: So the next one -- the top one  
12 curve shows, so the black curve is actual concentrations  
13 of black carbon in rural locations. So you're not  
14 sniffing the plumes behind trucks. And we also show both  
15 in red and green curves the trends in the emissions.  
16 Those are your policies. Reduce those emissions, and we  
17 see the effects in the atmosphere. So this is exactly the  
18 point of short-lived pollutants. You take an action  
19 today; they are gone tomorrow. So are the climate  
20 effects.

21 And the bottom one shows the trends in various  
22 pollutants. They're not changing. It's just black  
23 carbon, which is changing. So this would remove the  
24 sceptics from the system. Natural change is happening.  
25 Okay.

1                   --o0o--

2           MR. RAMANATHAN: So the next one is the Berkeley  
3 study. That's part of our team. This is in urban  
4 locations. Over 60 stations. Goes back to 1960s. You  
5 see how dramatically there was a drop. And starting from  
6 80s to 2000, another 50 percent drop. Okay.

7                   --o0o--

8           MR. RAMANATHAN: So going on, the other major  
9 discovery of this study -- this is again a teamwork -- is  
10 there are two types of pollutants in soot. One is black  
11 carbon. That's the black stuff you see coming out of  
12 flames. The second one is when you have forest fires in  
13 the smoldering phase, you see whitish smoke; right? We  
14 think of them as cooling ourselves. This study shows  
15 they're not as white as we thought them to be. They are  
16 very brownish. And we show they're absorbing as much as  
17 20 to 30 percent of black carbon in all of the wavelengths  
18 where the sunlight is maximum. So there is heating going  
19 on, which the global ICCP models are not aware of. My  
20 distinguished colleague here, he's one of the few guys who  
21 uses modeling studies and some observations.

22                   --o0o--

23           MR. RAMANATHAN: So the next one is the same  
24 study -- independent study by the Berkeley group, sniffing  
25 flames, biomass smoke in San Luis Obispo, 150 fires. And



1 We take satellite observations. We take NASA's network  
2 over California and also California network and calculate  
3 what's called forcing. I'm not going to get into that.  
4 It's basically how much energy is trapped by this soot  
5 over California.

6 --o0o--

7 MR. RAMANATHAN: So the top one shows this unit  
8 might not make sense to you. Soon I talk to you in  
9 metrics, which is more understandable to general public.  
10 But just shows that our retrieval of the heating of black  
11 carbon over California is sort of consistent with what the  
12 emission inventory suggest in terms of spacial pattern.  
13 And, you know, for example, the units go from over one to  
14 two-and-a-half. The energy trapped by carbon dioxide is  
15 on the order of one-and-a-half. So it's sort of locally a  
16 large effect.

17 --o0o--

18 MR. RAMANATHAN: So here we summarize this energy  
19 heating trapped over California by the soot and this other  
20 brown carbon. And these would have been at least twice as  
21 large 20 years ago. So thanks to our policies, we already  
22 cut down this force. But what does that mean to our  
23 temperatures and precipitation? So that's the next part  
24 of our study.

25 --o0o--



1 effects are, unless you measure them.

2           So that's why I'm so grateful to the state for  
3 collecting this data. I have nothing to do with this  
4 collection of data. We are just using it.

5           So what did we find? So, statewide, black carbon  
6 is being reduced by as much as 50 percent since the 1980s.  
7 Okay. We still adding up various numbers how much of it  
8 is due to diesel and how much it is cutting down open  
9 biomass. Also issues we will go after in the next three  
10 to four months.

11           And then the second is this study, so far we have  
12 model studies such as Dr. Jacobson suggests about the  
13 brown carbon. I think this is the first time we have  
14 actual numbers of this forcing directly from measurement.  
15 So we know brown carbon adds a significant amount. So  
16 this is a new thing we have to factor in.

17           And then I give the statewide reduction of the  
18 forcing. This means to a scientist what per square foot  
19 means, but we soon convert into metrics, which policy  
20 makers can understand. So that's coming soon.

21           I, again, want to conclude California's  
22 successful policies for reducing black carbon. Our intent  
23 was not on climate, more as health effects, that's the  
24 beauty of the short-lived climate pollutants. They have  
25 such huge health effects. In fact, we can do it for

1 health effects just like California did. And climate  
2 could be the beneficial in the sense you push down the  
3 so-called dangerous climate warming at least by 30 to 40  
4 years down the road. So you get time to effectively cut  
5 down other pollutants. Thank you so much.

6 CHAIRPERSON NICHOLS: Thank you. We'll continue  
7 on.

8 MR. FISCHER: Good morning. Thank you,  
9 Chairwoman Nichols and Director Croes, for inviting me.

10 Also many thanks to Nizad Motolibe (phonetic) who  
11 helped organize all of this.

12 I'm going to say a little bit about air quality  
13 and climate-forcing from methane, and in particular, the  
14 increases in methane from the pre-industrial era have had  
15 an effect on not only background ozone but also climate  
16 that it is now something that California is taking  
17 seriously in terms of estimation and control in the  
18 future. And say something about our work to quantify the  
19 emissions today, and then conclude with some of the  
20 benefits for mitigating methane.

21 --o0o--

22 MR. FISCHER: The first slide shows some global  
23 trends in methane. The top graph shows methane from 1000  
24 to 2000 AD. And you see in the advent of the industrial  
25 era a very sharp rise in methane. This is most likely due



1 to human activity. There isn't any known natural process  
2 that would lead to this.

3           The recent trends through blue detailed  
4 measurements performed by the National Oceanographic and  
5 Atmosphere Administration show that rise through the 70s  
6 and 80s, but a leveling in the more recent decades. And  
7 this is unlikely to be something to do with atmospheric  
8 removal of methane. It is -- which is primarily by OH  
9 radicals but more likely due to a leveling in emissions  
10 globally.

11                           --o0o--

12           MR. FISCHER: The next slide shows a depiction of  
13 the estimated anthropogenic emissions globally. You can  
14 see Dr. Jacobson said something about this before. Large  
15 emissions from enteric transformation, which translated to  
16 the everyone is livestock breathing out methane as part of  
17 their metabolic cycle. And then additional processes,  
18 emissions from agriculture, from fossil fuel, production  
19 and use, and from the disposal of solid waste.

20                           --o0o--

21           MR. FISCHER: Turning now to the air quality  
22 impact of methane globally, methane is a hydrocarbon  
23 which, like more complex and more reactive hydrocarbons,  
24 if interest present in the atmosphere long enough will  
25 react with sunlight and NOx to form ozone. Methane has a

1 long lifetime in the atmosphere. Translated, that means  
2 it doesn't react very quickly compared to other VOC, but  
3 there is enough of it in the atmosphere it's responsible  
4 for about the half of the global background ozone.

5 --o0o--

6 MR. FISCHER: If we look at ozone concentrations  
7 over time, they are in general increasing globally from  
8 the pre-industrial. There are significant variations with  
9 space, different places on the planet see different  
10 increases. But these are not directly attributable to  
11 variations in methane. It is sort of producing a smooth  
12 background on ozone in some sense.

13 However, if methane and other species change over  
14 time, ozone is expected to change with those species. And  
15 there are predictions that by 2100 if controls on species  
16 are not put in place that ozone could exceed and the  
17 background levels could exceed air quality standards. So  
18 this is of some interest and concern.

19 --o0o--

20 MR. FISCHER: Conversely, the next slide shows  
21 what would happen if we started to mitigate -- that is,  
22 reduce methane emissions. It would have a benefit in  
23 terms of reducing the background levels of ozone. And the  
24 figure shows a model depiction of what might be expected.  
25 And I think this is going to be a subject of future

1 research to verify. As Ram pointed out, there is no  
2 substitute for measurement.

3 --o0o--

4 MR. FISCHER: Now turning to California's methane  
5 budget, I'm showing a depiction of greenhouse gas  
6 emissions as a function of time from the CARB inventory.  
7 It shows that with a very truncated scale, CO2 is by far  
8 the largest source of greenhouse gas, but methane, nitrous  
9 oxide, and high global warming potential or  
10 hydroflourocarbon gases are also present in that mix.

11 Something this slide does not show but I want to  
12 emphasize is that the emissions of these non-CO2 species  
13 are very uncertain. And this is something that is very  
14 hard to get one's hand around, because there are sources  
15 that are not readily metered in the same way that fossil  
16 fuel emissions are metered. Things like the amount of  
17 methane coming from livestock or landfills is something  
18 that one can measure in specific locations, but it is not  
19 trivial to extrapolate to a large geographic region.

20 And the National Research Council conducted a  
21 sort of overview study of the uncertainties in these  
22 emissions and found that they could often be as high as  
23 100 percent, particularly in the developing world. But I  
24 think some of these same problems apply here.

25 I'm now going to say something about using the

1 atmosphere effectively as a test tube to look at what the  
2 likely emissions from California are.

3 --o0o--

4 MR. RAMANATHAN: And what we're doing here is  
5 combining measurements of methane, both here in  
6 California -- the figure in the top center shows a tower  
7 south of Sacramento where we're taking these measurements.  
8 And then both global background methane, which is  
9 important for this problem, a meteorological model which  
10 give us the representation of how sensitive the  
11 measurements are to emissions from California, a model for  
12 the emissions which has to have spacial resolution that  
13 allows us to identify the regions that our towers are  
14 studying in a specific matter. And then what's labeled  
15 here Bayesian emissions. And for everyone, what that  
16 should mean is essentially a statistical comparison  
17 between the measurements and the model prediction of what  
18 we ought to see that allows us to say something about  
19 whether the emission model is correct or needs to be  
20 modified. And the result of that combined process is an  
21 improved estimate of the emissions.

22 --o0o--

23 MR. FISCHER: So what we've done in order to  
24 start this work -- and this is something that's been going  
25 on since the early 2000s -- is to build spatially explicit

1 models of the emissions from different sources. And this  
2 slide shows the methane emissions from a variety of  
3 different sources. And these are -- this is not work that  
4 we have done by ourselves. This is very collaborative.

5 It includes sources like landfills, livestock,  
6 natural gas, petroleum production and use, wastewater  
7 management, mobile sources, landfills, wetlands, and  
8 agriculture. So we try to represent all the sources that  
9 can readily be identified. And it is conceivable there is  
10 an unidentified source, but I think the chance is  
11 relatively low.

12 We've then taken these maps, summed all of those  
13 emissions by different sector and scaled them to the  
14 current CARB inventory to produce a map that is shown here  
15 as a first estimate of what we would expect.

16 --o0o--

17 MR. FISCHER: Then, as Ram pointed out, no  
18 substitute for measurements -- this is a measurement-based  
19 study. We make measurements in as many places and as much  
20 frequency as possible. Here, I'm going to focus on the  
21 sites which are being currently operated to measure  
22 methane. And for lack of a pointer, I would just say  
23 these include a site over San Francisco, Mount Sutro, a  
24 site south of here I mentioned before near Walnut Grove,  
25 and a series of sites in the Central Valley, including

1 Tuscan Butte, Sutter Butte, Madera, Arvin, and  
2 Tranquility. The other sites that are shown here are  
3 either coming into operation or will soon be operational  
4 for judging California's emissions.

5 I should add that La Jolla and Trinidad are  
6 long-term measurement sites that haven't been included in  
7 this particular study but may be relative for future work.

8 --o0o--

9 MR. FISCHER: To summarize the results from this  
10 initial study, the work in the sort of valley of  
11 California has shown that there is roughly 90 percent of  
12 the estimated emissions captured by the measurements that  
13 are now being made and that the emissions are through this  
14 inverse modeling process estimated to be about 50 percent  
15 higher than what the base line CARB inventory would  
16 suggest.

17 And so this suggests that there are either  
18 underestimates or additional sources that haven't been  
19 identified. And the additional towers will help constrain  
20 southern California. And I'm going to cut to the chase  
21 here.

22 --o0o--

23 MR. FISCHER: In terms of the summary of  
24 measurements, our initial work suggests that the emissions  
25 are somewhat higher than the current inventory. Some

1 additional work by CARB staff at Mount Wilson is in  
2 general terms sort of in the middle between current CARB  
3 inventory and what we're finding for northern California.

4           Recent work by NOAA is underway, and that is  
5 being prepared. And sort of hearkening to the work of  
6 Mark Jacobson mentioned, initial work by U.C. Irvine in  
7 southern California has shown using isotopic measurements  
8 that southern California air contains a significant  
9 enhancement in methane, which has the right signature for  
10 natural gas or petroleum modifications. So there is a  
11 question: What are the sources?

12                               --o0o--

13           MR. FISCHER: So to summarize, the co-benefits of  
14 reducing methane are: To improve public health, reduce  
15 mortality, improve the quality of crop production and  
16 forest health through reductions in ozone, that methane is  
17 also a strong forcing agent 70 times greater than CO2 on a  
18 20-year basis.

19           And what that's saying is while not as  
20 immediately effective as black carbon, it has the  
21 potential for improving our climate warming problem.

22           And then in conclusion, I will just say these  
23 have already been covered.

24                               --o0o--

25           MR. FISCHER: And I thank you very much.

1           In closing, I'd like to acknowledge the excellent  
2 work that's been done, not only by the Air Resources  
3 Board, but also by NOAA-ESRL Bolder, who have dedicated  
4 their efforts to long-term monitoring of climate-forcing  
5 agents and really deserve support and applause for that  
6 effort.

7           CHAIRPERSON NICHOLS: Thank you.

8           DR. SASSER: Thank you very much. I'm very  
9 pleased to be here today. I'm Erika Sasser from the U.S.  
10 EPA. And I have served as the Chairperson on our report  
11 to Congress on black carbon. I'm going to talk about that  
12 today and also cover some of the international  
13 developments in the other groups that are working on black  
14 carbon and short-lived climate pollutants.

15   --o0o--

16           DR. SASSER: Just to give you an overview of the  
17 key points, we feel the targeted reductions in black  
18 carbon can provide significant near-term climate benefits.  
19 And moreover, there are very substantial health and  
20 environmental cobenefits that would flow with those  
21 reductions. And I think in many cases, those health  
22 co-benefits may be the driver for decision makers. So  
23 they're very important here.

24           We certainly know there are a range of control  
25 technologies and approaches for reducing black carbon.



1 Those have been demonstrated to be quite effective. And  
2 in fact, U.S. black carbon emissions of been declining.  
3 And we expect that trend will continue over the next  
4 20 years, largely due to controls on diesel engines.

5 Controlling all direct fine particle emissions  
6 from sources is a very effective air quality management  
7 strategy, and we're going to talk a little bit about that  
8 strategy in comparison to other types of carbon controls.

9 And then as I said, I'll talk a little bit about  
10 the international picture and what UK is doing.

11 --o0o--

12 DR. SASSER: In October of 2009, the U.C.  
13 Congress requested that we issue a study on black carbon.  
14 And they asked us to cover both domestic and international  
15 emissions and mitigation options and then the health and  
16 climate benefits that would flow from those mitigation  
17 options.

18 We just finished this report in March, and I  
19 brought copies for the Board of the executive summary of  
20 that report so you can read those at your leisure.

21 And the report and all of its chapters are  
22 available online. EPA is continuing to be environmentally  
23 friendly and paperless. It's a pretty big volume.

24 --o0o--

25 DR. SASSER: I'm not going to cover all of this

1 because I think Mark Jacobson covered a lot of the  
2 features of black carbon. But I do want to point out some  
3 of the features of black carbon have significant  
4 implications for our mitigation strategies. In  
5 particular, the fact that they are directly emitted as  
6 particles means we're focusing on a specific kind of  
7 control that's a little different from what we might think  
8 of from an overall air quality management perspective  
9 where secondarily formed particles are also a big part of  
10 the picture.

11 Here, we're talking about direct PM emissions,  
12 and we're very much focused on the location of those  
13 emissions because this is a regional pollutant. It's not  
14 globally averaged or well mixed. Therefore, we have to  
15 think about where the reductions are taking place.

16 --o0o--

17 DR. SASSER: The health effects of black carbon  
18 in general are understood to be very similar to those of  
19 PM2.5 in general. I know the Board is very familiar with  
20 those health effects. So you're familiar with  
21 cardiovascular effects being the primary link to premature  
22 mortality. And also, of course, an array of respiratory  
23 effects associated with exposure to fine particles.

24 And on the international sphere, one of the big  
25 contributing factors to mortality is exposure to indoor

1 smoke from solid fuels. And Mark Jacobson mentioned this.

2 This is, in fact, in terms of total deaths  
3 probably the biggest factor, but certainly we also look at  
4 ambient pollution as well. And one of the interesting  
5 features of black carbon is that it tends to be located  
6 where people are. So that means when you reduce black  
7 carbon, you're reducing exposure very significantly.

8 --o0o--

9 DR. SASSER: In the U.S., the picture looks like  
10 this. So if you look at the scale on the right-hand side  
11 of this graphic, you will see that the total volume of  
12 elemental carbon black or carbon being shown is relatively  
13 small, 1.3 micrograms per cubic meter represented in red.  
14 That's an annual average, compared to a national standard  
15 of 15.

16 But you'll see also if you look at the map it's  
17 concentrated in major urban areas. That tells us these  
18 emission are affecting a very large number of people. If  
19 you looked at a global map, other countries would see  
20 potentially greater levels in urban areas. But of course,  
21 they also have greater people in urban areas. And there,  
22 we're talking more about residential exposures to the  
23 smoke from biomass and solid fuel burning.

24 --o0o--

25 DR. SASSER: In this terms of emissions, I think

1 we've already seen one graphic that shows global  
2 emissions. Let me just highlight here the side-by-side of  
3 U.S. versus global. You'll see the pie charts look a  
4 little different. They are not drawn to scale. The U.S.  
5 is actually only 12 percent -- eight percent of global  
6 emissions.

7 So in terms of the total volume of U.S.  
8 emissions, it's quite a bit smaller than the global total.

9 But you'll also see the U.S. pie chart has a very  
10 large segment of orange, which here represents transport  
11 global source emissions. And approximately 93 percent of  
12 that orange part of the U.S. chart is for mobile diesels.  
13 That's all different kinds of diesels, including on-road,  
14 off-road, locomotives, marines, and aircraft.

15 Globally, the pie chart is a little more  
16 distributed between different sectors. You see the  
17 residential sector, cookstoves are approximately 25  
18 percent of the global total as shown in blue. Industry is  
19 larger globally, shown in yellow. That's about 20  
20 percent. U.S. emissions have been declining and ambient  
21 concentrations have been declining as well.

22 --o0o--

23 DR. SASSER: Targeted strategies to reduce black  
24 carbon can provide near-term climate benefits. And in  
25 particular, as Mark Jacobson pointed out this may be very

1 important for sensitive regions such as the Arctic and the  
2 Himalayas. But the word "targeted" is very important  
3 here, because not all black carbon emissions reductions  
4 are created equal. So things like global diesel where you  
5 have sources that are rich in black carbon relative to  
6 other constituents are very fruitful opportunities. Some  
7 other sectors are potentially less fruitful or still more  
8 questionable.

9           We also would emphasize reductions in black  
10 carbon and greenhouse gas are complementary strategies.  
11 They are -- black carbon reductions are not a substitute  
12 for greenhouse gas reductions. And in fact, I would  
13 encourage us not to think about it as Dr. Ramanathan said  
14 buying time. In fact, we need to reduce CO2 immediately.  
15 But the manifestation of that will take several decades.  
16 Whereas, black carbon, the manifestation of benefit will  
17 occur sooner. It's very important that we pursue them  
18 simultaneously.

19           The health and environmental benefits of black  
20 carbon reductions are very large. The U.S. has done  
21 some -- U.S. EPA has done some estimates of the different  
22 kinds of particulate matter and how the different  
23 reductions would translate into public health benefits.  
24 And what we find is that directly emitted particles, such  
25 as black carbon, are among the most beneficial strategies

1 from an air quality management perspective. There are  
2 very strong benefits associated with reducing direct  
3 particle emissions. So that would include black carbon  
4 and other directly-emitted particles. And globally, of  
5 course, there are huge benefits, including hundreds of  
6 thousands of premature deaths potentially avoided each  
7 year. And that is a conservative estimate. Could be  
8 millions of deaths avoided.

9 --o0o--

10 DR. SASSER: As I mentioned earlier, we think  
11 it's very important to consider both the location and  
12 timing of emissions and to account for the co-emissions  
13 that go along with black carbon, because certainly many  
14 other components of the mixture, many other aerosols are  
15 cooling. And so teasing out exactly how that relationship  
16 works for an individual source is very important.

17 The control technologies are out there already.  
18 We know how to use them. In fact, many state and local  
19 areas have found these strategies to be very effective.  
20 We have seen some areas that have residual non-attainment  
21 problems turn to direct particle emission as a very  
22 effective strategies for bringing their area into  
23 attainment. And certainly the cost of many of the  
24 strategies are very reasonable.

25 --o0o--

1 DR. SASSER: Total U.S. black carbon emissions  
2 are going to be reduced significantly by 2030.

3 --o0o--

4 DR. SASSER: If you look at the mobile source pie  
5 chart here, you will see the actual projected trajectory.  
6 This is due to controls on new engines. So we project  
7 between the current -- which is 2005 -- and 2030 about an  
8 86 percent reduction overall in U.S. black carbon  
9 emissions -- I'm sorry -- from mobile sources. That's  
10 about a 40 to 50 percent reduction in overall black  
11 carbon. And this is coming largely from non-road and  
12 on-road diesel reductions.

13 I should point out here that retrofits would be  
14 in addition to the benefits that are shown in this slide.  
15 This is showing simply the results of new engine  
16 requirements as the engine fleet turns over.

17 --o0o--

18 DR. SASSER: Other categories in the U.S. are  
19 projected to stay more stable. In fact, stationary  
20 sources have already come down a lot, more than 70 percent  
21 since the early 1900s. Residential wood combustion is a  
22 category we're looking at closely, because we are in the  
23 process of reviewing the NSPS for residential wood  
24 heaters. And certainly open biomass burning is a global  
25 source and very important to consider.

1                   --o0o--

2           DR. SASSER: Let me briefly mention global  
3 opportunities. They are different because the source mix  
4 is different. Here, we see more emphasis on cookstoves  
5 and small industrial source. In sensitive regions like  
6 the Arctic, we see an emphasis on residential wood  
7 burning, partly because the Nordic countries are  
8 substantial. They have a large portion of their emissions  
9 in that category.

10                   --o0o--

11           DR. SASSER: Let me turn now just for a minute to  
12 of the other things going on globally.

13           In February, the Climate and Clean Air Coalition  
14 was launched. This has already been mentioned. The list  
15 of countries is growing substantially. And I think in  
16 particular, James mentioned the G-8 joining. I think this  
17 is really important because it includes Russia. And  
18 Russia is one of the biggest contributors globally. So  
19 it's a very important addition to the Coalition.

20           There are five initiatives that have already been  
21 announced as part of this coalition: Two of them focus on  
22 black carbon, and two of them focus on methane, and the  
23 last is HFC focused.

24                   --o0o--

25           DR. SASSER: In addition, there are a number of



1 other things going on internationally, including as of two  
2 weeks ago, the inclusion of black carbon among the PM  
3 measures that have been added to the Gothenburg Protocol.  
4 This is essentially the European Air Pollution Convention,  
5 the first negotiated air quality agreement to include  
6 black carbon. That's very significant.

7           There is a lot of work going on under the Arctic  
8 Council. I listed three of the groups working there.  
9 These are focused more on scientific study and policy  
10 recommendations to the ministers of the Arctic nations.  
11 But there are a lot of very important work coming out from  
12 these groups.

13                           --o0o--

14           DR. SASSER: The IMO is also considering adding  
15 black carbon requirements and considering whether this  
16 should be applied specifically in the Arctic, as shipping  
17 is expected to increase in this region.

18           And the Global Alliance for Clean Cookstoves,  
19 which has been in operation for almost two years now, has  
20 very ambitious goals for replacing large numbers of stoves  
21 with clean stoves. And they have climate as part of their  
22 overall program. And they're doing a lot of research  
23 looking at black carbon emissions from stoves.

24                           --o0o--

25           DR. SASSER: Since I'm out of time, I won't spend

1 any time really on the U.S. efforts of methane.

2 I do want to point out though we have a number  
3 of -- the EPA has a lot of involvement in global methane  
4 initiative and also in the variety of voluntary programs  
5 that are listed here. And in addition, we get a lot of  
6 methane co-benefits from our NSPS reductions, including  
7 our recent NSPS on oil and gas sector.

8 --o0o--

9 DR. SASSER: Similarly, on HFCs, we have a lot of  
10 programs and regulations in play. And we have recently  
11 proposed with Canada and Mexico to amend the Montreal  
12 protocol. I think Durwood is going to talk about that.

13 And we have a number of domestic programs, the  
14 SNAP program focusing on identifying alternatives to  
15 ozone-depleting substances and the responsible appliance  
16 disposal, RAD, program, which was mentioned earlier by  
17 James and which California is a strong participant in, in  
18 addition to our Green Shield Partnership.

19 So I will stop there. Thank you very much.

20 CHAIRPERSON NICHOLS: Thank you. Appreciate it.

21 (Thereupon an overhead presentation was  
22 presented as follows.)

23 DR. DURWOOD: Thank you very much for the  
24 opportunity to testimony with this distinguished panel  
25 this morning.

1           My name is Durwood Zaelke. I will indeed talk  
2 about the HFCs, specifically how we can reduce them on the  
3 Montreal Protocol.

4                           --o0o--

5           DR. DURWOOD: Climate protection today is as much  
6 about speed as it is scale. So it's important for us to  
7 focus on the short-lived climate pollutants in addition to  
8 the CO2.

9           Warming impacts are here, and we need to do three  
10 things to get back into a safe zone. We need to control  
11 CO2, which requires emission limitations. It requires  
12 that we learn how to capture and reutilize and safely  
13 store CO2 emissions. Stanford is setting up the Carbon  
14 Reutilization Institute, who's also started Colara  
15 (phonetic) which is capture CO2 at the Moss Landing Power  
16 Plant and turning it into carbonate building material.

17           We have to do the short-lived climate pollutants  
18 because we can do them so quickly and because we can get  
19 reductions in warming so quickly. Cutting just two of  
20 them, black carbon and the methane and ozone can cut the  
21 rate of warming in half globally and in the critical  
22 Arctic by two-thirds. When you add HFCs, we get even more  
23 than that. So speed and scale is the mantra.

24                           --o0o--

25           DR. DURWOOD: Now HFCs are different than the

1 other two short-lived pollutants we've been talking about  
2 because they're not air pollutants. These are  
3 factory-made gases. And right now, their contribution is  
4 very small. That's the good news. The bad news is  
5 they're the fastest growing greenhouse gas in the  
6 United States and in many other countries. The  
7 United States last year, they grew by nine percent between  
8 the -- actually 2009, 2010. That means they're going to  
9 double by 2020. Globally, they're growing even faster, 10  
10 to 15 percent. They'll double in less than five years.

11 If we don't constrain them, they can contribute  
12 as much warming as about 27 percent of CO2 by 2050. And  
13 if we succeed, as we must, in bending the CO2 curve to the  
14 450 PPM level that will keep us we hope below two degrees  
15 of additional warming and we don't constrain the HFCs.  
16 They'll be up to 45 percent of the climate-forcing of CO2.  
17 We cannot tolerate that.

18 --o0o--

19 DR. DURWOOD: Here's a chart that shows the  
20 growth from 1990, 2002, 2010, and the sectors.

21 --o0o--

22 DR. DURWOOD: This is another very interesting  
23 chart that shows one of the reasons that HFC demand is  
24 growing so fast because the demand for air conditioning is  
25 growing so fast.

1           Last year, it was record emissions for greenhouse  
2 gas by the U.S. 5.9 percent increase. And specifically  
3 when EPA announced these rather discouraging numbers, they  
4 said this was driven in part by excessive demand for air  
5 conditioning. The hotter it gets, the more air  
6 conditioning we need. The more air conditioning we need,  
7 if we don't constrain HFCs, the more HFCs we'll use.

8           This is the 50 largest cities in the world. And  
9 they're growing demand for air conditioning. If you look  
10 at the highest bar for Numbi, that city in India alone  
11 will have air condition demand that's about 25 percent the  
12 entire United States.

13           So the world is getting warmer. The world is  
14 getting richer. The world wants more air conditioning.  
15 That means more HFCs under business as usual.

16                           --o0o--

17           DR. DURWOOD: This is the curve that shows where  
18 CO2 is going. And it also shows where the HFCs are going.  
19 And it also has the stabilization curve for CO2 at 450.  
20 So the range of HFCs is going to be so high. As I said,  
21 27 percent under business as usual up to 45 percent, if we  
22 constrain CO2. And we can't win the climate protection  
23 battle unless we control the growing HFCs.

24                           --o0o--

25           DR. DURWOOD: Now, the good news for all of the

1 pollutants we're talking about today is that they are  
2 short lived. The mix of HFCs today and projected for the  
3 future is about the global average is 15 years. Fifteen  
4 years is not as short as black carbon. It's about the  
5 same as methane. But it is very short compared to CO2.  
6 So we think of CO2 as a century problem. But in fact, 20  
7 to 25 percent of CO2 stays in the atmosphere for  
8 millennium, a thousand years and beyond that. So we have  
9 a longer legacy problem that is going to require the  
10 carbon removal strategies that I mentioned.

11 --o0o--

12 DR. DURWOOD: This is the chart from Ramanathan's  
13 work is later interpreted by UNEP and the Shindel team.  
14 It shows that we can cut the rate of warming globally in  
15 half with just black carbon and the methane. And we can  
16 stay below two degrees out to past 27. That's a critical  
17 guard rail for us. 1.5 is much safer. That's the bottom  
18 line there. We can stay below that to 2045 probably,  
19 assuming we do the CO2 as well.

20 --o0o--

21 DR. DURWOOD: Now if we add the HFC -- and this  
22 is Ramanathan's work, you see the bottom black line allows  
23 us to stay below two degrees as long as we are doing the  
24 CO2 as well out past 2100. So these non-CO2 pollutants  
25 together are absolutely essential for climate protection.

1                   --o0o--

2                   DR. DURWOOD: Now more good news. HFCs can be  
3 taken out with the Montreal Protocol. This is the most  
4 successful treaty the world has ever created. We've taken  
5 out 100 similar chemicals by almost 100 percent in the 23  
6 years of this treaty. And we've gotten incredible climate  
7 collateral benefits. If you go back to the early warning  
8 from Molina and Roland in 1974, solving the fluorinated  
9 gas problem that otherwise today would equal the CO2  
10 contribution, it would otherwise have equaled the CO2  
11 contribution. So we've delayed climate forcing with our  
12 successful flourinated gas efforts by 41 years. We'd be  
13 that much deeper into the yogurt. And we've also built  
14 the capacity in every country to solve this problem,  
15 including with HFCs.

16                   --o0o--

17                   DR. DURWOOD: Here's a relative comparison what  
18 the Montreal Protocol has done. If you look at the graph  
19 on the far left, the blue one, you see we've got about 200  
20 billion tons of CO2 improvement. You look at what Kyoto  
21 is trying to do for us, our international climate treaty  
22 in the middle. It's very modest, five to ten billion  
23 tons. Very, very modest. And we're still struggling.

24                   And then you look at the orange bar on the far  
25 right and you see how much more do we get by reducing the

1 HFCs through the Montreal Protocol. We could get 100  
2 billion tons or more. That could be equal to about five  
3 to eight percent of the total mitigation the world needs  
4 to stay below two degrees. This is a very, very big  
5 piece. And it's true a treaty that has never failed to do  
6 its job.

7 --o0o--

8 DR. DURWOOD: So as we heard, there are  
9 proposals. The first proposal couple years ago to reduce  
10 the HFCs was from island states. Last night, I was giving  
11 a briefing to Island states at the New Zealand Embassy  
12 because they are experiencing sea level rise and increased  
13 storm surges. They want to know how to survive and they  
14 need fast mitigation. They know they can get it from the  
15 Montreal Protocol. We're facing some opposition from  
16 China and India, but I'm confident soon we will be able to  
17 overcome that.

18 Another very important point about the HFC  
19 mitigation under the Montreal protocol is that we can do  
20 it for pennies per ton of CO2 equivalent in mitigation.  
21 That's the public cost. We have a special funding  
22 mechanism, the multi-lateral fund. And we can pay  
23 globally with the U.C. contributing about 25 percent of  
24 that a couple of billion dollars and get this amount of  
25 mitigation. It's a very, very good carbon.



1                   --o0o--

2                   DR. DURWOOD: We heard about this new coalition.  
3 I think this is very important because it's bringing  
4 developed and developing countries together in a  
5 solutions-oriented approach.

6                   I went to the first ministerial meeting in  
7 Stockholm on the 24th of April. And the tenor of that  
8 meeting was completely different than the climate meetings  
9 that I also go to. Climate meetings, you feel like  
10 they're being guarded by the dementors from Harry Potter  
11 who sucked the hope out of everyone in had the room. You  
12 go to the Coalition for Climate and Clean Air and you feel  
13 optimism. We need optimism. We need success which will  
14 breed more success so we can avoid going from climate  
15 denial to climate despair. Despair that we don't know how  
16 to solve climate change.

17                   This is why it's fun to be in California. This  
18 is the optimistic place. This is the solution-oriented  
19 place. And what you do here, the world needs. Thank you.

20                   CHAIRPERSON NICHOLS: Thank you.

21                   DR. LLOYD: Good morning. It's a pleasure to be  
22 here. Thanks for organizing this. Pleasure to be before  
23 you, Chairman Nichols and fellow Board members and also  
24 taking part of this distinguished panel.

25                   Durwood gave a ringing endorsement of all the

1 work you've done. If that could be applied to the budget,  
2 we would be all in really good shape.

3 I will try to go through the slide in the order I  
4 have them. In some cases I'll skip them and keep an eye  
5 to the clock, knowing how rigorous the Chairman keeps us  
6 to the time.

7 --o0o--

8 DR. LLOYD: First slide basically summarizes here  
9 the key thing to look at in that case. If you just look  
10 at CO2 measures, then you can see we get into that over  
11 two degree limit. But by adding the bottom one, adding  
12 CO2, methane, and black carbon measures, then in fact you  
13 have a much greater impact, reinforcing what was said  
14 before and the importance of coupling the short-lived  
15 climate burdens. That does not include the HFC Durwood  
16 mentioned.

17 --o0o--

18 DR. LLOYD: Just want to mention here bring it  
19 back the California actions. We talked about the highly  
20 successful Diesel Risk Reduction Plan. I think there's  
21 still more to be done on that, I'll say later.

22 LEV III was an important milestone in recognizing  
23 black carbon as a climate warmer with the comprehensive  
24 report to do that. And again, you've gone ahead also and  
25 agree with previous speakers here the importance of

1 measurements. So you've got the measurements there and a  
2 very effective research problem.

3 I wrote this before I heard this morning the ways  
4 in which the research -- the farsighted research is coming  
5 back now and being able to translate it into regulatory  
6 programs. So kudos to the ARB. Tremendous example.

7 --o0o--

8 DR. LLOYD: Another piece of the LEV III I want  
9 to mention is the setting of the one milligram per mile PM  
10 standard, which is very important to address the concern  
11 that you develop ultra-fines from the new generation of  
12 technologies there. That may or may not materialize, but  
13 ARB is ahead of that. And I think that was the piece that  
14 we were talking about.

15 The other piece of that was the extension of  
16 credits for the low greenhouse gas global warming  
17 potential refrigerant and leak systems. Again very  
18 important piece of the family of technologies.

19 --o0o--

20 DR. LLOYD: Erika has mentioned this. Others  
21 have mentioned it. But I want to put this in the context  
22 to the California showing leadership on this for a long  
23 time, not all together from climate, but obviously  
24 starting off with regulating greenhouse gas from cars and  
25 then AB 32.

1                   --o0o--

2           DR. LLOYD: This is being coupled and I think  
3 Erika mentioned that.

4                   --o0o--

5           DR. LLOYD: Just want to highlight here  
6 accelerating reduction of methane from landfills. I think  
7 James mentioned a lot of is being done. I think the  
8 measurements you saw Dr. Fischer mentioned shows more can  
9 be done.

10                   --o0o--

11           DR. LLOYD: I think this -- also I want to  
12 highlight some of the challenges of the HFC, which I think  
13 is still playing out. And the Board based that in AB  
14 1493.

15           But I do, following that, the Commission delayed  
16 the enforcement of the mobile air conditioner rule  
17 two years until later this year. Recently, the courts  
18 rejected the patent claim of 1234 YF, which is the  
19 preferred refrigerant by the auto companies.

20           Also want to point out some of the European  
21 citizens and environmental groups are very concerned about  
22 the flammability and toxicity about 1234 YF. And they  
23 favor CO2. Those of you around 1493, we heard the same  
24 issue come up during that time. As I said the auto makers  
25 are committed to that.

1                   --o0o--

2           DR. LLOYD: I would say -- and I show a slide  
3 here, but I think again the U.S. policy of crediting is a  
4 better approach in light of the uncertainties in terms of  
5 global refrigerant supply.

6           But also alternatives to 1234 YF may be  
7 increasingly important. And I don't think the Board  
8 should rule out -- and maybe we go back and re-examine CO2  
9 although EPA has not issued a unique fitting rule that  
10 would permit CO2 systems, despite the SNAP approval and  
11 their lower life cycle cost.

12                   --o0o--

13           DR. LLOYD: And this shows an example of some  
14 work that we've commissioned ICCT, by ICF. And you can  
15 see the impact here business as usual for the base line.  
16 And then if you look how that turns over -- and all of  
17 those are about the same region. In fact, CO2, R-744 is  
18 basically the same as 1234 YF.

19                   --o0o--

20           DR. LLOYD: If you look at the cost here, just  
21 highlight the green, which is the CO2. That's less  
22 expensive in many areas. And compared to the blue, which  
23 is the 1234 YF, which could have a major impact. And  
24 recognizing CO2, if that leaks, you're getting more CO2.  
25 And you're not jeopardizing the potential for some huge

1 emissions in the developing countries. As Durwood  
2 mentioned, if you look at China and India, the number of  
3 people wanting air conditioning is just escalating.

4 --o0o--

5 DR. LLOYD: So some recommendations here in terms  
6 of leveraging what you're doing under AB 32, and that is  
7 to look at the report -- the statewide emissions -- with  
8 an eye to the short-lived climate pollutants here.

9 Look at the difference by regions, by sources,  
10 and then both near-term and long-term climate impacts.  
11 That's both the 20-year and the 100-year we talked about  
12 before -- and identify some of the greenhouse gas  
13 emissions targets for 2020 that includes some of the  
14 short-lived pollutants and maintain existing stringency on  
15 greenhouse gas.

16 Update the plan for achieving maximum technology  
17 feasible and cost effective reductions and take into  
18 account all the measures here.

19 And this is some feedback we've had, some  
20 environmental groups, when we talked about the black  
21 carbon issue. Keep the short-lived climate pollutants,  
22 particularly black carbon, out of the market-based  
23 mechanism. Real concern there about trading off something  
24 that is both a toxic as well as a climate pollutant.

25 --o0o--

1 DR. LLOYD: Lastly, to reinforce what we heard  
2 before. Stay committed to CO2. Another substitute that's  
3 got everything. And then treat the short-lived climate  
4 warming pollutants as complimentary.

5 Adopt explicit goals to limit the rate of climate  
6 change and near-term climate impacts. Very, very  
7 important.

8 And we heard on the black carbon of the Arctic.

9 Also recognize the snow pack in California is  
10 extremely important. Snow packs generally will be  
11 impacted by black carbon, which can actually lead to  
12 excessive melting.

13 Include the short-lived climate pollute in the  
14 statewide greenhouse gas inventory and the AB 32 planning  
15 process.

16 And review existing regulations that reduce  
17 short-lived climate pollutants and quantify their climate  
18 co-benefits.

19 Undertake an assessment of uncontrolled statewide  
20 sources of short-lived climate pollutants. That ties in  
21 with some of the G-8.

22 And I would say, I know you've done a lot with  
23 the on-road. My understanding, some of the construction  
24 retrofits, that's being delayed. A lot can be done to  
25 speed up those issues and prioritize those speed up

1 strategies that can rapidly be implemented. And we've  
2 said comments that consider more rapid phase-in of the one  
3 milligram per live LEV III PM standard. I know there is a  
4 review on that coming up in several years, so I know that  
5 will be taking part, as a matter of just reinforcing what  
6 we state.

7           And marine emissions that we heard before are a  
8 significant piece of the pie here. And I'm always showing  
9 now some reactions surprisingly coming up with lower  
10 sulfur diesel, making some real progress. I think  
11 California has identified this issue more from local  
12 pollution, but I think it can also build on this by being  
13 the home of a major marine black carbon den at a port,  
14 port of L.A., Long Beach, or Oakland where in fact you've  
15 got the tools and that can be used for the shipping. And  
16 I think you've got the resources. And I think it would be  
17 extremely worthwhile to do that and keeping with the type  
18 of work you've done before. So with that, take again and  
19 congratulations on holding this hearing and looking  
20 forward to follow up. Thank you.

21           CHAIRPERSON NICHOLS: Thank you very much, Alan.

22           Did you have any remarks?

23           I'm going to turn it over to the Board for some  
24 further discussion. I just want to say thank you so much  
25 to the members of the panel who've taken the time to come



1 and talk to us this morning. And thank you for your kind  
2 words. Obviously, it's always gratifying to be praised.  
3 But I'm particularly interested in talking about how we  
4 can use this kind of thinking to do a better job of  
5 focusing our efforts and making sure that as we face the  
6 next round of AB 32 implementation, which is going to be  
7 upon us next year when we have to produce a new Scoping  
8 Plan -- it will be five years since the first Scoping  
9 Plan.

10 And I'm looking at Alan Lloyd because he played a  
11 critical role in the advisory panel on that one.

12 But we need to not only build on and take credit  
13 for what we've done, but also to really think about  
14 whether there are new and better ways to go about  
15 achieving the kind of long-term results that we are all  
16 looking for that may not have presented themselves through  
17 the laundry list of regulatory measures that we've been  
18 dealing with to date.

19 So I think you've given us a number of  
20 interesting suggestions of things that we could be  
21 thinking about, but we may want to flush them out a little  
22 bit more and also just to perhaps to ask a few additional  
23 questions. So I'll start with anyone who cares to jump  
24 in.

25 Yes?

1           BOARD MEMBER D'ADAMO: Well, ditto to what you  
2 just said.

3           And of course, we've got the Scoping Plan coming  
4 up and I'm sure that staff is busy thinking of ideas to  
5 present to the Board. But it sure would be terrific if  
6 this distinguished panel could help us to brainstorm. So  
7 I know you all followed remarks that compared that you  
8 felt comfortable with.

9           But just looking outside the box, if you could  
10 get us to be thinking beyond broad terms in terms of  
11 reducing the emissions, but also some specific control  
12 strategies.

13           Alan, I think I heard you correctly; the focus  
14 you're suggesting ought to be regulatory strategies. And  
15 that's what we're in the business of doing. So anything  
16 that we could do to tweak the existing regulations -- the  
17 speed-up strategy, I think I understand where you're going  
18 with that. But anything beyond regulatory measures that  
19 we have already taken.

20           MR. JACOBSON: The way I view it is there are two  
21 ways to control. Either you can control the emissions of  
22 existing sources by improved technologies or you can  
23 replace existing sources with new technologies, such as  
24 vehicles, put particle traps on existing vehicles, or you  
25 can go to different types of vehicles, like more electric

1 vehicles or hydrogen fuel cell vehicles.

2           So I think -- I don't know whether it's in the  
3 purview of the Board in terms of the control, but I in the  
4 long-term, you really do want to go to a more clean fleet.  
5 And one way to accomplish that is through these one  
6 milligram per mile emission standards that encourage more  
7 use of electric vehicles, for example, than passenger  
8 diesel or gasoline vehicles.

9           But that I think is really the way that you have  
10 to move forward is by doing this large scale convention.  
11 So anything can you do to encourage a large scale  
12 conversion to clean renewable energy including electric  
13 power and transportation and heating and cooling will go a  
14 long way, especially because there is going to be a, as I  
15 mentioned, large growth of natural gas use in California.  
16 And because there is a large natural gas resource and the  
17 price has gone down.

18           So I think in order to prevent that -- the  
19 effects of that, like the enhanced leak methane, might  
20 need to take some proactive -- do something proactive to  
21 prevent it in advance -- stronger regulations in advance,  
22 seeing that there is going to be this huge growth and this  
23 huge additional methane release, for example.

24           So anyway, I think there are two strategies are  
25 to increase the controls on the existing black carbon

1 emissions and methane emissions, but also try to do the  
2 large scale conversion to clean and renewable energy  
3 systems and electric power to really eliminate this  
4 problem entirely.

5 CHAIRPERSON NICHOLS: Comments?

6 Yes, I'm sorry. Was there another response?

7 Yes.

8 DR. LLOYD: I was just going to respond to  
9 DeeDee's suggestion.

10 I think one thing which I got out of this morning  
11 is the -- again, the reservoir of tremendous research  
12 capabilities within California and the networking with  
13 national. But knowing the process where research programs  
14 are set above, usually then there is two to three years  
15 from the time everything is cleaned up.

16 I would suggest, as we heard this morning, there  
17 is some results already coming out, so maybe some more  
18 alerts, rapid response, that these are sufficiently  
19 certain that now you might consider some action being  
20 taken rather than the research program and the reports  
21 come to you in maybe three years time and then you lose  
22 maybe some of the urgency.

23 Obviously, that's all the caveats and academics  
24 want to make sure of everything. As we've seen with clean  
25 air, you don't have to know with 100 percent certainty.

1 But you can know and take action. That would be one  
2 suggestion.

3 CHAIRPERSON NICHOLS: Okay. Thanks.

4 BOARD MEMBER SPERLING: I do want to complement  
5 the panel. I thought they were all excellent  
6 presentations. Really helped us understand better the  
7 problems and the opportunities and emphasize how important  
8 these short-lived climate pollutants are.

9 And I look at it -- up here, we're looking at it  
10 from the control of California and what we can do and/or  
11 should do. And we do have this leadership role we've  
12 already taken on.

13 In this case, I look at that graph that James  
14 Goldstene put up. And California does have much more --  
15 its emission inventory is much more weighted towards CO2  
16 than the others. So it does raise the question how do we  
17 proceed on some of these other short-lived pollutants.  
18 And clearly, we should and can and are.

19 So you know, one is -- I guess I have three  
20 thoughts/questions.

21 One is regarding the vehicles. And I'm wondering  
22 with the air conditioners in the vehicles -- mobile air  
23 conditioners, there are incentives built into the new  
24 rules we just voted on to reduce -- to emphasize the use  
25 of pollutant gases that are less climate-forcing.

1 I guess it's for Tom Cackette.

2 Are those incentives strong enough, do you think?  
3 Do you see if there is a role or opportunity or value in  
4 doing something stronger in that area?

5 CHIEF DEPUTY EXECUTIVE OFFICER CACKETTE: Well, I  
6 think there was one comment about how the performance  
7 approach we took does send the continually unstable signal  
8 to the industry versus let's ban this refrigerant or favor  
9 that refrigerant. And obviously, what's happened in  
10 Europe seems to be -- and with the suppliers seems to be a  
11 problem getting the 1234 out there in the volumes we need.  
12 So I think the structure of what we did still makes sense.

13 As to whether there should be greater credit in  
14 some way or something else to force it, I guess I would  
15 tend to resist that a little bit, because I think it's  
16 better to have the actual incentive tied to the  
17 environmental impact where you have the climate change  
18 more closely than trying the favor one over the other.

19 So I think we're okay for right now. But I think  
20 ultimately it's going to be whether the industry produces  
21 1234 or whether we have to go back to ground zero and  
22 provide enough time for the CO2 approach for that to work.

23 Under our rule, what that means is if we can't  
24 reduce the HFC emissions enough, they're going to have to  
25 increase the efficiency of the car to make up for it. So

1 we kind of adjust for this. I think there's certainly  
2 room to do that because the standard -- the tailpipe  
3 standard we adopted were certainly not the absolute  
4 maximum feasible standards. So there is room to switch  
5 from one to the other while this air conditioning thing  
6 sorts out.

7 BOARD MEMBER SPERLING: One little question and  
8 one big one. Just so I understand. We worked the black  
9 carbon. Can you add to that?

10 DR. LLOYD: My comment from the graphs that I  
11 showed, there is no reason to rule out CO2. But unless  
12 EPA adopts a unique fitting rule, it cannot be used. So  
13 that's an impediment.

14 DR. DURWOOD: I'll add to this by saying that I?  
15 agree with Dr. Lloyd that we should use regulatory  
16 measures when we know something is as bad as HFCs are,  
17 wherever we can.

18 And the current rule seems like a reasonable way  
19 to start giving credit for. But you might look very  
20 carefully what the European rule is to set the GWP limit  
21 at 150 GWP right now. That's under review. Could go  
22 down.

23 So we do need more pressure. Is the supply of  
24 the HFC 1234 YF enough yet? Alan mentioned that patent  
25 challenge has been successful in Europe so far, and that

1 will presumably lower the price when the other competitors  
2 who have patents on production, but not the use are able  
3 to get into the field.

4           So I wouldn't give up on the opportunity to look  
5 at further restrictions. It's a factory made gas. It's  
6 bad. We should have a plan to eliminate it over an  
7 appropriate period of time.

8           CHAIRPERSON NICHOLS: That's a key factor, both  
9 the time and the plan.

10           You've got the floor, and then Ron Roberts and  
11 Dr. Balmes.

12           BOARD MEMBER SPERLING: Just a little bit and  
13 then a big one.

14           The little one is just understanding the black  
15 carbon, we look at it -- we've looked at it from a health  
16 perspective, and it's very -- there's small particles,  
17 small one micron or less than 2.5 has a much bigger health  
18 effect.

19           I'm wondering -- this is a technical science  
20 question. And that is that as we think about the  
21 regulation of PM, as we focus more to size as opposed to  
22 mass, does that strategy make sense also from climate  
23 perspective? In other words, if you have one gram, is it  
24 worse with a lot of little particles or a few big  
25 particles? Or does it matter? I would think a lot of



1 small particles is worse; right? So that's good, because  
2 that means our strategy for health effects is going to be  
3 well aligned with climate.

4 CHAIRPERSON NICHOLS: I see some head nodding.  
5 But maybe Mark and --

6 DR. JACOBSON: Well said.

7 Diesel exhaust and the size of most black carbon  
8 particles are less than .1 micron, like 75 nanometers. So  
9 it's much smaller.

10 But then they grow by condensation and  
11 coagulation. Or they become larger and coated and this  
12 increases their warming effect.

13 So they're naturally very small particles when  
14 they're emitted. When they grow, they actually get into  
15 the optically -- optimal size range which is like 1.3  
16 microns. And once they get into that range, then they  
17 have the maximum potential. But they're not -- black  
18 carbon itself is not usually that large. It's usually a  
19 coating of other material on top of it that increase the  
20 light in the particle that increase.

21 So it is consistent, in other words, with the  
22 health -- same particles that are causing health problems  
23 are the same particles causing climate problems.

24 BOARD MEMBER SPERLING: This is the really big  
25 concern I have is that what we're seeing in the oil and

1 gas industry is there is a lot of gas -- shell gas being  
2 produced as a few of you have referred to. But it's now  
3 turning out that probably from a carbon perspective, the  
4 greater problem or challenge is that a lot of those rigs  
5 and a lot of the production is moving away from the shell  
6 gas to exploiting oil out of the shale. What's happening  
7 is that oil is mixed with gas, and the gas doesn't have  
8 much value and the oil has lots of value.

9           What's happening is now really for the first time  
10 in decades, in the U.S., they're starting to not only let  
11 a lot of this gas just leak out, but they're burning it  
12 and flaring it. And the data I saw from last year from  
13 DOE says that the amount of flaring dramatically increased  
14 in the U.S. because the oil companies -- the oil and gas  
15 companies have very little incentive to do anything but  
16 flare its gas. And it's not going to get better because  
17 oil prices are likely to stay high. There's problems  
18 collecting the gas.

19           So this is something that I think -- and it's  
20 probably -- looking at the data is probably going to be  
21 the biggest source of increase of short-lived pollutants  
22 into the foreseeable future, unless something is done  
23 about it.

24           And California, I don't know exactly the role of  
25 California here, because we don't really have that much

1 shale. We have some in Monterey, but not nearly as much  
2 as other parts of the country, but it still is -- could be  
3 significant.

4 This is partly a question of: Am I on the right  
5 path here?

6 And number two is: This is something that should  
7 be coordinated with EPA much more so. And can we hope for  
8 some leadership out of EPA on this issue? And if not,  
9 what do we do here in California? So that's both a  
10 technical as well as a policy.

11 DR. SASSER: That is an excellent point. This is  
12 something that the Arctic Council has been increasing  
13 focused on in their search for answers for that region as  
14 well. Knowing that oil and gas exploration is increasing,  
15 that the flaring as you pointed out is increasingly common  
16 mechanism of getting rid of this unwanted gas. In that  
17 case, of course, the flaring is occurring in a region  
18 where the black carbon is ending up where we don't want  
19 it, which is on snow and ice.

20 I don't think we have the answers yet in terms of  
21 exactly what the relationships are and exactly what the  
22 trajectory is in terms of projected increases. I think  
23 this lot of this is developing very real time very  
24 quickly.

25 I think it's a very important area. And anything

1 that we can do or you can do collaboratively to  
2 investigate this would be really welcome.

3 I know Canada is also extremely interested this,  
4 and they have some research going on right now looking at  
5 the actual emissions from these flares and how much of it  
6 is black carbon. And I think there is also a lot of  
7 unintended methane release going on at these facilities.

8 DR. FISCHER: I'd like to comment.

9 With regards to emission the flaring with the  
10 black carbon and pollutants that are normal, there is also  
11 this leakage that's not captured by the flaring when you  
12 have shale and just methane pops up, it also gets into the  
13 groundwater. So there are places in Pennsylvania, for  
14 example, that the groundwater methane content is huge.  
15 Not everyone. About 10 to 15 percent of the groundwater  
16 samples that were collected had methane in them in higher  
17 concentrations than the UK allows. And some people have  
18 probably seen like on the water on fire, but that's more  
19 rare from the sink as a result.

20 So there is a leakage source, and there is also  
21 the flaring off source. But from my understanding -- I'm  
22 not an expert on the resources -- but California actually  
23 has the largest oil shale reserve in the country and  
24 especially in the Central Valley. And so that's probably  
25 where the next ground zero or hydrofracking is going to

1 occur for oil.

2 BOARD MEMBER SPERLING: At some later time, I'd  
3 like to hear -- that's not my understanding, so I'd like  
4 to hear more on that.

5 My last closing thought on this is we do -- at  
6 the risk of making our low carbon fuel standard more  
7 challenging, we do have a mechanism in place with a low  
8 carbon fuel standard to handle these flaring and  
9 emissions. And so that's just a comment.

10 I don't really think you need to get into,  
11 unless -- I know Richard's cringing down there.

12 CHIEF COREY: This is Richard Corey. I'll be  
13 brief on this.

14 But that is correct. One of the intents of the  
15 low carbon fuel standard is to count for the carbon  
16 intensity of oil. Part of that is the work that we are  
17 doing with Adam Stanford to account for EOR and flaring  
18 and fold in fracking elements. There is much more work to  
19 be done in that as that plays out. That was touched on  
20 here. But that work is underway.

21 And I want to raise this because I think it's  
22 also relevant. It was touched on here. The reference to  
23 the Monterey shale. That's a very large formation, in the  
24 billions of barrels and is anticipated to go the  
25 additional fracking for that oil.

1           So California, we really don't see natural gas  
2 fracking. We certainly have oil fracking. And we have  
3 been working with the Department of Conservation Division  
4 of Oil and Gas and Division of Thermal Resources and their  
5 work and regulation for enhanced reporting of fracking  
6 activities and fracking materials and so on. So that is  
7 work that's underway as well.

8           CHAIRPERSON NICHOLS: It turns out that wasn't an  
9 area that was being followed through California. It came  
10 up in a rather surprising way. So I don't want to cause  
11 there to be undue controversy, but I was just interested  
12 in that last exchange between you and Dr. Jacobson about  
13 the flaring issue. Can you explain a little bit more  
14 about what it is you disagreed about?

15           BOARD MEMBER SPERLING: Well, I don't -- the only  
16 thing question is how much of this shale rock is in  
17 California and exploitable for gas and oil. And you know,  
18 the analyses I've seen suggest -- well, there might be a  
19 huge number, but compared to other places in the U.S. and  
20 the world, it's not huge. Although that can still be a  
21 big number for us. It can still be important. And I  
22 guess there probably should be an assessment of industry  
23 plans industry California.

24           CHAIRPERSON NICHOLS: I see. Thanks.

25           Supervisor Roberts.

1 BOARD MEMBER ROBERTS: I'll try to be quick.

2 First of all, thank you for the report. The  
3 group of you -- you've actually left me a little bit  
4 optimistic, especially over the short-lived things.

5 I just recently spent some considerable bit of  
6 time in China, and I saw those clouds, Dr. Jacobson, that  
7 you referred to and up close. In fact, I don't think I  
8 saw a blue sky the whole time I was there. And I was in  
9 all parts of the country -- 13 different cities as part of  
10 our visit.

11 And it was where they were moving the coal from  
12 the mines to the shipping points using these 40-ton diesel  
13 trucks that had no visible systems on them to reduce. So  
14 they were getting not only the -- what is happening  
15 because of the coal they're burning for power, but also  
16 the transportation of that to the various places where  
17 they did.

18 And I was kind of depressed, but you made me feel  
19 a little bit better about this. Thank you.

20 Last night, Sandy and I and Tom were on a  
21 presentation from the manufacturers of emission control  
22 systems. And not surprisingly, as many of you have been  
23 in the past presentations, they were encouraging us to  
24 take regulatory actions and then showing us what  
25 technologies may or may not be there. Their call for the

1 regulatory efforts were such stronger than their optimism  
2 over the technological systems that are there essentially  
3 in the short term.

4           But one of the things that did come up about  
5 might merit some discussion -- and I think maybe ties in  
6 somewhat is that in some cases -- in this case in the  
7 diesel exhaust where we put the regulatory effort in  
8 place, but that it sounded like that our efforts in  
9 enforcement maybe are not measuring up to the regulatory  
10 effort. And we're seeing far less of the benefit than we  
11 might if maybe we had a more aggressive enforcement  
12 effort.

13           It may be the enforcement is also based on  
14 technologies on measuring things that aren't quite there.  
15 So it's with a lot of enthusiasm that you go into the  
16 regulatory effort, but there is a whole series of things  
17 that has to happen to make that effective, I think as was  
18 presented to us last night. There's some things left to  
19 us to do. It's real easy to adopt rules, but really I  
20 think our success has come because we adopt rules that are  
21 effective over time. And it isn't just driving innovation  
22 blindly, but trying to understand what practically can be  
23 done.

24           CHAIRPERSON NICHOLS: We have heard I think from  
25 some of the companies that we're not quite as far along as



1 we should be in terms of actual enforcing some of our  
2 retrofit requirements. And it sounds to me like they have  
3 a point to be made.

4 I'm sure the other issues are resource allocation  
5 and all that. But I don't know, James, if you want to  
6 comment on that, or Tom.

7 EXECUTIVE OFFICER GOLDSTONE: I'll ask Tom to  
8 comment.

9 CHIEF DEPUTY EXECUTIVE OFFICER CACKETTE: I think  
10 the whole issue that some of the retrofit manufacturers  
11 raised with us caused us to go back and look at the rule,  
12 how it's being implemented. The first deadline was last  
13 January. So with our reporting requirements, we have some  
14 data and we have some anecdotal information. We kind of  
15 combine it together to look at what is really happening in  
16 the field. And I think there are two factors possible.

17 Number one is that a number of the provisions  
18 that we put into the rules reflect the economy did, in  
19 fact, reduce the number of retrofits that were expected to  
20 occur from when we had the original rule out there. So  
21 that's one factor. And the first year that reduction is  
22 quite large. It will be less than in the next two or  
23 three years.

24 The second thing is whether there are people just  
25 ignoring the rule. And we know that there are because we

1 already have some enforcement cases underway, and we plan  
2 to publicize those when they're completed.

3           But the extent of non-compliance I don't think we  
4 really know. We always expect it would be some. But  
5 whether it would explain the much lower market for  
6 retrofits, we don't believe that's the only explanation,  
7 by any means. So we're jumping on this to make sure we  
8 understand and sharing data with the retrofit  
9 manufacturers and agree to share their in-the-field  
10 experience so we have a clear picture we can share with  
11 you.

12           CHAIRPERSON NICHOLS: I think that is a very good  
13 response and is also very important to remind ourselves  
14 that I know we disappointed some people when we made the  
15 decision to slow down the pace of implementation of some  
16 of these rules when we were faced with the worst economy  
17 that anyone could remember, particularly in terms of its  
18 effect on construction industry and other people who are  
19 big users of diesel equipment. So there is no question  
20 there is a balance here.

21           But even so, it sounds like there is at least  
22 something worth investigating to see if people are paying  
23 attention to these rules that there is no point in  
24 adopting them otherwise.

25           Dr. Balmes -- I'm sorry, Dr. Ramanathan, you had

1 a comment.

2 DR. RAMANATHAN: Just a quick comment on what  
3 Supervisor Roberts said.

4 The same situation exists in India, vast  
5 improvements of brown cloud. We were discussing what more  
6 can California do, I'm really excited about that. But I  
7 think equally exciting is how to put our knowledge into  
8 action in the field. And I think I know India is  
9 tremendously interested how do we cut down our diesel  
10 pollution.

11 I talked to the Minister of Environment in India.  
12 So I think this is something CARB may need to think about,  
13 communicating that knowledge to the international group.  
14 There are going to be communities for collaboration and  
15 industries.

16 And so I know, Chairman Nichols, you travel  
17 abroad and major meetings. This is an issue worth  
18 thinking about. I know China will be interested. We know  
19 cookstoves is a problem, but we want to cut down our  
20 diesel issues. So there is an opportunity here from for  
21 California to reach out.

22 CHAIRPERSON NICHOLS: I agree. I've been very  
23 pleased both the past and the current Governor have been  
24 very supportive of the idea that California is not an  
25 island and that what we should be exported where it makes

1 sense and we should be looking for ways that we can  
2 participate.

3           And recently, we've been approached in a much  
4 more proactive ways than I've ever experienced by people  
5 from the U.S. State Department to be of assistance to  
6 them, as they also are working in both China and in other  
7 forums to see where we can provide technical support and  
8 analytical support. I think it's maybe somewhat  
9 surprising to some that we have such a large presence and  
10 involvement.

11           But clearly, once you venture into the realm of  
12 global pollutants, you are, in fact, in a global  
13 environment. So it really behooves us to pay attention to  
14 these things and take advantage of the opportunities that  
15 we've been given.

16           Okay. You had a different comment?

17           BOARD MEMBER BALMES: Yes. But I'm happy to stay  
18 in the global arena.

19           So several of you to my -- first of all, I want  
20 to say this was really a pleasure and great education for  
21 me to hear such a distinguished group of scientific  
22 panelists. And I have to say, even though I've been  
23 interested in black carbon from stove emission for a long  
24 time, I learned as a part of this process about brown  
25 carbon from my briefing from Bart Croes last week. So

1 that alone is worth the entire workshop for me -- or the  
2 entire hearing.

3           But several of you mentioned the issue of biomass  
4 burning in residential settings. And there is this Global  
5 Alliance for Clean Cookstoves which Dr. Sasser mentioned.  
6 And it is an area where there is a tremendous cobenefit in  
7 terms of health, as you've mentioned. In fact, you all  
8 were siting the last version of the World Health  
9 Organization's Bureau of Risk Assessment Global Burden of  
10 Disease. As probably some of you know, there is a new one  
11 coming out, which shows more deaths attributable, more  
12 disability just of life year attributable to biomass  
13 burning because cardiovascular disease is now going to be  
14 considered in addition to respiratory disease and lung  
15 cancer.

16           So it's a tough issue, cookstoves in the  
17 developing world. And where does CARB fit in?

18           I'm not a big fan of offsets in general. And in  
19 the past, I've been concerned about offsets staying as  
20 much as possible in California.

21           But on the other hand, cookstoves are not a  
22 California problem. And to address the issue of  
23 cookstoves, I'm wondering where CARB has a role, because I  
24 think it would be helpful if we could move in a direction  
25 of trying to identify an offset mechanism that was

1 verifiable, which is always the trick with regard to  
2 cookstoves in the developing world.

3           And, you know, some of my colleagues at U.C.  
4 Berkeley are actually working on verifiable mechanisms to  
5 make sure cookstoves are actually being used. Because you  
6 can distribute cleaner cookstoves, but they have to be  
7 used and that has to be monitored. But there are  
8 increasingly promising ways one can do that with cell  
9 phone technology, for example.

10           So I just want to throw that out there. I don't  
11 have a ready answer how we can have a role. But the  
12 Global Alliance for Cookstoves is well intentioned as it  
13 is and with Secretary Clinton be being supportive --  
14 actually being sort of a founding energy of that Alliance  
15 and Julia Roberts being the spokesperson, it's still a  
16 small minuscule effort in terms of resource.

17           And India, for example, hasn't really signed onto  
18 the Global Alliance for Clean Cookstoves for whatever  
19 reasons.

20           So, again, I would encourage us to sort of think  
21 how we might be able to contribute to this, if not coming  
22 up with an offset mechanism, a way we can contribute to  
23 research to help develop ways to verify use of clean  
24 cookstoves.

25           CHAIRPERSON NICHOLS: I can hear all over the

1 blog-asphere people thinking right now about ways to  
2 create an offset program verifying the news of a new kind  
3 of cookstoves. I think that's a really good idea.

4 Dr. Sasser.

5 DR. RAMANATHAN: I'm so happy that you raised  
6 this issue. We are doing a cookstove project in U.C. San  
7 Diego in India. And the compliance issue was an issue not  
8 anymore. For example, in our project we have a 50 cent  
9 temperature monitor attached to the cookstove. And then  
10 it transmits the information to cell phone. And then it's  
11 transmitted to Climate Exchange Commission to keep track  
12 of how long they use.

13 And the second question you asked what is it  
14 California can do? We have found that what's called four  
15 stroke cookstoves. I think of it as a five dollar  
16 solution, a smaller fire for oxygen cuts down the black  
17 carbon emissions by almost 80 percent. So these  
18 technologies are really developing in the US and parts of  
19 Europe. So there are ways, but we need to understand the  
20 local culture, because it can't be developed here in  
21 isolation and collaboration as people are trying to do.

22 I know Berkeley has done work a lot of cookstove  
23 has done. So I think we're filling the U.C. Campuses,  
24 Stanford --

25 CHAIRPERSON NICHOLS: Spread this around.

1 DR. RAMANATHAN: There is tremendous work going  
2 on on the cookstove issue, both on the science and the  
3 technology side.

4 CHAIRPERSON NICHOLS: Thank you.

5 Did you have your hand up, Dr. Sasser

6 DR. SASSER: Let me add a couple points to that.

7 I think I would echo the basic point a lot of the  
8 research that's happening at California Universities is  
9 very important. And particularly I would point to the  
10 health research going on. I think one of the  
11 contributions of the new global burden of disease study  
12 will be it attempts to integrate both the outdoor ambient  
13 exposure with the indoor exposures and to give us a more  
14 complete picture of what exposure in particulate matter in  
15 all environments does to public health. I think that will  
16 be an enormous advance for the health community. And it's  
17 very, very important for application in these contexts  
18 where we're talking about an indoor source that a lot of  
19 the emissions end up outdoors in ambient air. And the  
20 exposures are affecting the entire community. And that's  
21 really important.

22 BOARD MEMBER BALMES: That's why we switched from  
23 indoor pollution in the last WHO document to household air  
24 pollution.

25 And actually, we're only going to be able to take



1 credit for a portion of outdoor air pollution in India and  
2 China, which it's not the entire world in terms of the  
3 contribution of household air pollution to outdoor  
4 pollution and the global burden.

5 DR. SASSER: The other point I wanted to make, I  
6 do think there's some sensitivity -- you brought up the  
7 question of India and why India has not joined the Global  
8 Alliance.

9 I have heard there is some nervousness on the  
10 part of some countries about the fact the Global Alliance  
11 is including climate related considerations, in  
12 particular, the investments in black carbon. Of course,  
13 there is a feeling that the developed countries have not  
14 done what they should on CO2 and now turning their  
15 attention to short-lived forcers. Again, it can't be a  
16 substitute for action on CO2. And to the extent the  
17 countries perceive it is a substitute because it's easy or  
18 cheaper or can be done elsewhere, that produces some  
19 resistance. That's part of the total package and message  
20 we have to send.

21 CHAIRPERSON NICHOLS: Thank you for that  
22 reminder.

23 Dr. Zaelke.

24 DR. ZAELKE: I think that's a very important  
25 point.

1           The climate negotiations going on last week and  
2 this week, the short-lived climate forcers are getting a  
3 lot of attention. But they're also getting some blow back  
4 because the U.S. is leading this coalition. There is a  
5 great suspicion that it might be a slight of hand to  
6 excuse our poor performance on CO2. So be very careful  
7 about offsets that trade the very short-lived black carbon  
8 for the very long lasting CO2. You always lost in such a  
9 trade.

10           Now, Kirk Smith's work I think at Berkeley  
11 includes offsets for the CO2 reductions from stoves. That  
12 might be fine, that particular piece. Maybe with black  
13 carbon you can think of an offset for other short-lived  
14 pollutants, not for CO2. Because if we get into that,  
15 we're seen as promoting the trade off of short-lived for  
16 CO2, this coalition is going to die.

17           CHAIRPERSON NICHOLS: That's a pretty complex  
18 political environment -- geo-political environment.

19           MR. JACOBSON: So the analogy to cookstoves in  
20 California is really there is less indoor burning of wood  
21 for heating. And there is outdoor agricultural burning  
22 and other types of burning that may be not the high  
23 concentration in terms of the population effects, but  
24 still have impacts on climate and some health effects.

25           I think you can certainly rationalize focusing on

1 those burning sources for heating and also for  
2 agricultural burning.

3           But there is also some benefit to California  
4 directly of reducing pollution in Asia -- of the Asia  
5 particulate due to the fact there is in long-range  
6 transport as shown many years ago. And so there is some  
7 direct effect. It's not just an offset. It's actually  
8 may be some small method.

9           CHAIRPERSON NICHOLS: Good point.

10           I need to include my colleagues down on this side  
11 just to see if anybody has anything in addition.

12           I just have one other area. I'm not even sure I  
13 have a question here so much as a request for any thoughts  
14 anyone might have about how to approach this problem.

15           We have really focused on three different aspects  
16 of the short-lived climate pollutants here. And the one  
17 that strikes me as having kind of at the moment at least  
18 the most salient issues from the government regulatory  
19 side is actually the methane issue, because of a number of  
20 different processes that have come to the floor. We've  
21 got landfill operators looking for ways to convert more  
22 methane from landfills into a usable fuel. And we've got  
23 people wanting to inject biogas into pipe lines, from  
24 renewable sources, but use it for both transportation  
25 fuels and for other purposes as functional equivalent of

1 natural gas along with, of course, global concerns about  
2 what that might do to displace other kinds of renewable  
3 fuels.

4           We've got proceedings going on in different  
5 places to try to find better ways to get the waste,  
6 especially from dairies, to be used as a useful fuel and  
7 take that methane and capture it, instead of having it be  
8 a problem.

9           So there just seems to be at the moment kind of a  
10 critical mass of people who are interested in this  
11 problem. And I guess this is one that's very California  
12 because we have an awful lot of agricultural waste and  
13 landfills. And we also have a lot of policies that relate  
14 to renewable energy and to trying to keep things out of  
15 landfills.

16           And I'm just curious whether any of you see kind  
17 of a sweet spot there, if you will, in terms of how to  
18 look at this issue that might be of some assistance in  
19 terms of helping to once again have California be in a  
20 position to offer some leadership in other places.

21           And this is kind of an open-ended question, but I  
22 would invite anyone who has any thoughts on it to jump in  
23 here. Okay, stumped the panel. I see one brave person  
24 willing to engage.

25           MR. JACOBSON: I think I want to focus a little

1 bit of attention on this because you mention natural gas  
2 for vehicles. But the electricity is four to five times  
3 more efficient than any combustion force. So the cost of  
4 electricity is one-fourth to one-fifth per unit gallon of  
5 gasoline equivalent.

6 I drive an electric car. I drove it here. It's  
7 powered by solar electricity from my roof. Comes here and  
8 the equivalent is 80 cents a gallon of gasoline. But  
9 there is no combustion, so there is no CO2 emission,  
10 except in the building of the solar panels.

11 So I think this is really the direction. Because  
12 of the efficiency of electricity, in particular, and the  
13 cleanliness if you develop it from a clean source -- even  
14 from a dirty source -- even if you use background electric  
15 power grid, 30 percent reduction in carbon emissions.

16 If you really want to control all the CO2, plus  
17 the black carbon, plus the air pollutant that cause  
18 health, you get a 99 percent reduction of all your health  
19 effects, you really want to go towards this electricity  
20 and/or electricity plus hydrogen maybe for long-term  
21 long-distance trucking.

22 And it's just the technology is moving so fast.  
23 Right now, you can charge the Tesla Model S you charge it  
24 in one hour, you can go 310 miles with the 440 volt  
25 charger, 160 amps.

1           And I think that's really the direction to  
2 control all these pollutants simultaneously. And all  
3 these other efforts are going to be good to try to capture  
4 gas and stuff, but I think the more we keep focusing on  
5 combustion as a potential, the longer we're delaying  
6 converting to this large scale really clean potential  
7 energy source.

8           CHAIRPERSON NICHOLS: Good point.

9           Yes, Dr. Fischer.

10          DR. FISCHER: I think Mark raised a really good  
11 point. I think there should be also continued emphasis on  
12 public transportation and moving people to the extent it  
13 works into communities that don't require a lot of motor  
14 vehicle use.

15          Beyond that, with respect to your direct question  
16 on the existing sources, I'm not an expert on the details  
17 of the regulations for the air quality aspect, but I  
18 understand that some of the hesitance to adopting methane  
19 reviews revolves in part around a concern that that could  
20 have adverse impact on air quality. And I think that  
21 larger issue needs to be examined.

22          And then California already is doing very  
23 sensible things with respect to landfills. A lot of that  
24 really motivated by toxics being driven from the landfills  
25 by sub-surface pressurization, which was then mitigated as

1 a byproduct mitigated methane.

2           But just examining across the spectrum of sources  
3 for California, what the sort of combination of cost  
4 effective and environmentally benign -- those are always  
5 trade-offs -- options are is something that has been  
6 examined partially, but I think deserves some more  
7 examination because much of the earlier work has been a  
8 relatively narrow cost benefit analysis. And I don't know  
9 how many of you are familiar with the idea of life cycle  
10 assessment, but I think that might be a good direction to  
11 go.

12           CHAIRPERSON NICHOLS: Thank you. I think we're  
13 rather steep in that at the moment because of our work on  
14 the low carbon fuel standard. We've been pioneers.

15           BOARD MEMBER SPERLING: Not responding to that  
16 particular comment, but to what you said, it occurs to me  
17 that many of the policy options that are kind of floating  
18 out there, we're really already doing in one way or  
19 another. We have the mechanisms and probably -- and there  
20 are some additional things we could certainly do.

21           But it seems to me what we can really do is  
22 highlight both in an economic analysis, but highlight in  
23 terms of our actions the benefits with respect to these  
24 short-lived pollutants and really highlight it. And in  
25 that way, support what EPA might do and what

1 international. Because we've kind of ignored it. But  
2 it's there.

3 CHAIRPERSON NICHOLS: We've taken it for granted.  
4 We are already doing it. Why do we talk about it because  
5 it's already happening; right? I understand the point.

6 Dr. Lloyd.

7 DR. LLOYD: Yeah, suggesting the way you  
8 described it, Chairman, triggered to me a thought to pull  
9 together a task force to look at this wholistically the  
10 dialogue between Dan and Mark between what are the  
11 resources in California existing, but in the future, and  
12 what we can apply here. And methane for many years is  
13 just a throw away. It was non-methane hydrocarbons.

14 I don't think we've really done a good job maybe  
15 working with the CUC, but having a very focused short-term  
16 turn around effort explicitly on this and looking at the  
17 issues that may be effecting California, but may be  
18 working with EPA on the potential flaring issue.

19 And I have a question here I don't know. But the  
20 point is the extent of flaring -- and as Dan pointed out,  
21 why can't we use satellites on this sort of thing. Can we  
22 or not? Or are there resource in California and may be  
23 other places that can do that?

24 But I think having something focused on this and  
25 basically giving its own lifetime to methane in addition



1 to the other part I think would be very, very time --

2 CHAIRPERSON NICHOLS: It's enough to make  
3 anybody's head hurt.

4 But I know that people in southern California who  
5 operate sewage treatment plants and who went into using  
6 the methane to power motors and generate some electricity  
7 are facing requirements to control NOx at those  
8 facilities. They are having problems meeting the NOx  
9 requirements. They're talking about getting out of this  
10 business. And the air regulators have a very, very hard  
11 decision to make about where and how to push on this  
12 because nobody wants to make that trade-off between  
13 conventional air pollution and greenhouse gases.

14 But if we don't regulate very cleverly, we could  
15 end up making that tradeoff, whether we could it  
16 explicitly or implicitly. These are the kind of things  
17 we're kind of right in the middle of I think right now and  
18 have to deal with.

19 Did you have just a head nod? Okay. Thanks.

20 I think we've come to the end of the discussion.  
21 And it's been absolutely terrific. It's really an honor  
22 and a pleasure to have an opportunity to engage with this  
23 panel. We appreciate very much your coming over to speak  
24 to us.

25 I think what we should do probably is take a

1 five-minute break. And then when we come back, we have a  
2 very pleasant responsibility, which is to make some  
3 awards. So we'll see you all back here in about five  
4 minutes. Thanks.

5 (Whereupon a recess was taken.)

6 CHAIRPERSON NICHOLS: Okay. I'm very pleased to  
7 announce the last item on today's agenda, which is the Air  
8 Resource Board's Haagen-Smit Clean Air Awards. These  
9 awards are named after the Air Resources Board's first  
10 Chairman Professor Arie Haaen-Smit who was the first  
11 person to identify the role of photochemistry in the  
12 formation of smog.

13 And after I announce the winners and highlight  
14 their accomplishments, I'm going to ask them to join me at  
15 the podium. Actually, I think I'm going to have them join  
16 me over here on the steps to receive their awards for  
17 photos and then say a few words as well. So I think we  
18 have some slides here. I've never had my very own slides  
19 before.

20 --o0o--

21 CHAIRPERSON NICHOLS: But we have a slide show  
22 that highlights the three winners. The first of the three  
23 recipients is Dr. Janet Arey for her work in the area of  
24 air pollution research. Second is Dr. Judith Chow for her  
25 work in the area of science and technology. And third,

1 Ms. Jananne Sharpless for her work in the area of  
2 environmental policy. So the three sort of span the key  
3 areas of our work.

4 --o0o--

5 CHAIRPERSON NICHOLS: The first award to Dr.  
6 Janet Arey is for a person who has been teaching and  
7 conducting research on atmospheric chemistry for over 30  
8 years.

9 In 1982, she jointed the Statewide Air Pollution  
10 Research Center at the University of California at  
11 Riverside. She is now a professor in the Department of  
12 Environmental Sciences and in the Environmental Toxicology  
13 Program.

14 She's an expert in atmospheric chemistry with a  
15 focus on ozone-forming pollutants and toxic air  
16 contaminants. Her work has improved scientific  
17 understanding of ozone formation and atmospheric reaction  
18 of toxic air contaminants. Her work confirmed important  
19 atmospheric processes that transform toxic hydrocarbons  
20 that are emitted by motor vehicles and other combustion  
21 sources. And her research has also included assessments  
22 of toxic constituents of diesel exhaust with different  
23 fuel formulations.

24 In other words, I think it would be fair to say a  
25 great deal of her research underlines much of the



1 founder and leader of DRI's environmental analysis  
2 facility. She joined DRI in 1985 after receiving her  
3 Doctorate of Science Degree from Harvard University. Dr.  
4 Chow is internationally known for her expertise in  
5 particulate matter pollution. She's worked to  
6 characterize and quantify complex atmospheric particles,  
7 establish monitoring and laboratory techniques, and  
8 analyze the composition of fine particulate matter and  
9 fugitive dust.

10 Her scientific work has been widely used to  
11 support air pollution control efforts in California and  
12 around the world. She has participated in major health  
13 and exposure studies in Mexico, China, as well as the  
14 United States designing measurement techniques. Her  
15 studies that link atmospheric particles to sources of air  
16 pollution have supported numerous regulatory actions in  
17 the San Joaquin Valley and South Coast Air Districts.

18 Dr. Chow has also served on a number of  
19 scientific committees, including the National Research  
20 Council's Board of Environmental Studies and Toxicology,  
21 the Department of Energy's Atmospheric Radiation  
22 Measurement Science Board, and the Air Monitoring  
23 Subcommittee of the U.S. EPA's Clean Air Scientific  
24 Advisory Committee.

25 Thank you to Dr. Chow for your commitment to the

1 development of scientific methodology that have supported  
2 many of the California's clean air actions.

3 (Applause)

4 --o0o--

5 CHAIRPERSON NICHOLS: And then the third award --  
6 we are actually allowed to have three awards. This is a  
7 really a remarkable accomplishment is to Ms. Jananne  
8 Sharpless, who has been a leader in California public  
9 policy for 35 years. That seems impossible to me. She  
10 has served as a Cabinet Secretary for the Environment, the  
11 Chair of the Air Resources Board, and appointee to the  
12 California Energy Commission. So she's kind of done it  
13 all.

14 In these capacities, Ms. Sharpless has been a  
15 leader in promoting clean air and clean energy. Her  
16 efforts have helped provide the groundwork for  
17 transitioning California to the next generation of clean  
18 alternative fuels and technologies.

19 During her tenure at ARB, Ms. Sharpless led the  
20 Board in the development of regulations for cleaner  
21 burning gasoline and low and zero emission vehicles. In  
22 1990, she presided over the adoption of the first ZEV  
23 regulation requiring auto makers to produce zero emission  
24 vehicles for sale in California. So she did the mandate,  
25 but then Alan got to star in the movie.

1           That mandate was groundbreaking and visionary,  
2 providing international leadership and setting the stage  
3 for the next two decades of work on zero emission  
4 vehicles.

5           This year, ARB expanded and strengthened the ZEV  
6 program as a part of the advanced clean cars rulemaking.  
7 And it really built on the terrific work that Jan did.

8           During her tenure as Commissioner of the  
9 California Energy Commission, Ms. Sharpless was  
10 instrumental in establishing policies to support renewable  
11 energy in California. She also continued to define and  
12 establish California's leadership in developing and  
13 adopting energy efficiency standards.

14           For the past 18 years, Ms. Sharpless has served  
15 as Chair of the Health Effects Task Force of Breathe  
16 California, as well as a member of the Advisory Board of  
17 U.C. Davis Institute of Transportation Studies. She has  
18 also served on the U.S. Department of Energy's Advisory  
19 Board and on the Sacramento Transportation and Air Quality  
20 Collaborative, along with other public service activities,  
21 too many to mention.

22           Thank you, Ms. Sharpless, for your important  
23 contributions to improving California's air quality.

24 Thank you.

25           (Applause)

1           CHAIRPERSON NICHOLS: Now I'm going to ask each  
2 of the award winners to come up to say a few words. I  
3 guess we'll do that part at the podium and then do some  
4 photos with everybody from the Board.

5           And while I'm running down there to hand them  
6 their awards, we can have any other Board members comment  
7 who would like to do so.

8           Does anybody have any other words they would like  
9 to add? This is just an opportunity for you all to say a  
10 word. So we'll start with this one. If you want to, is  
11 this microphone on. Here is your award. And we'll have a  
12 photo.

13           DR. AREY: I just want to say thank you. And  
14 over the years, I've had several opportunities to  
15 collaborate with the scientists at the California Air  
16 Resources Board and had many meaningful collaborations.  
17 In fact, some of my favorite memories are from field  
18 studies that was sponsored by the California Air Resources  
19 Board. I got to go to Torrance and Glendora and Claremont  
20 and see beautiful sunsets and sunrises. Unfortunately,  
21 when these occurred, I was on the roof changing filters.

22           As time went on, the graduate students got to go  
23 have the memories. And some of them are actually sitting  
24 in the audience now because they're working for the Air  
25 Resources Board. They got to go to Redlands and North



1 Main and Riverside and Banning and Pine Mountains.

2           But all of these field studies produced really  
3 important significant results. And the thing about it was  
4 that they compliment perfectly with the work we do in the  
5 lab, because we would put chemicals into our environmental  
6 chambers into reaction and sometimes toxic products and  
7 then go out into the field studies and see what was  
8 happening in the atmosphere and the reactions that were  
9 happening.

10           Each year in the spring at Riverside, we teach an  
11 introductory atmospheric science class. And this year, I  
12 have graduates in it. And of course, it's introductory  
13 atmospheric science, so we include early air pollution.  
14 And we always tell the students how California has always  
15 led the nation, not only they lead the way in  
16 understanding how smog occurs and how toxics are formed  
17 and transformed in the atmosphere, but also on regulations  
18 and things that actually work, making legislation that  
19 works.

20           So right now, in fact, probably this very minute  
21 because of the task is due tomorrow in class, the students  
22 are on your work site looking at the archived air quality  
23 data. And they've even been given a city and year in the  
24 South Coast air basin and looking '01 and '02 and ozone  
25 and making comments on the chemistry and looking upwind

1 and downwind. They're going to look in time. They'll see  
2 the difference between the 1970s and current things. So  
3 they'll get to know first hand how effective the work of  
4 the California Air Resources Board has been.

5           And so for me, it's very meaningful to get this  
6 award and I really very honored. Thank you.

7           (Applause)

8           CHAIRPERSON NICHOLS: All right.

9           DR. CHOW: Thank you. I'm very honored to have  
10 been granted such a prestigious award. I am especially  
11 humbled looking at others that prior and current  
12 recipients for whom I have respected and look at the  
13 stature and their achievements. Those I learned so much  
14 from them during my education and my career as an air  
15 pollution scientist.

16           The State of California provide one of the best  
17 opportunities for that in the world to give us  
18 opportunities to study and refining air pollution  
19 concepts. Dr. Haagen-Smit demonstrated that 60 years ago  
20 as part of his intuition looking at the causes of  
21 photochemicals map. But there's still plenty of  
22 opportunities for us today to look for new discoveries.

23           Over the years, I'm also have benefit from the  
24 excellent staff, policy makers, and the members of the  
25 Board for ARB, as well as research projects sponsored by

1 ARB who in central California and other work in California  
2 as well that together we have learned so much from many of  
3 the diverse projects over the past 25 years. Therefore,  
4 this award is as much of recognition their contribution as  
5 of my own.

6 I'm also grateful to those who submitted and  
7 supported my nominations. The future of air quality  
8 science is in controlling multiple pollutant and multiple  
9 effects. As Dr. Haagen-Smit was a pioneer in this area,  
10 during the early 1950s, he started Los Angeles phenomenon  
11 with chemistry. That's a good example of multi pollution  
12 air quality management.

13 And this morning, we heard a lot of issues  
14 including transport from China that effect the pollution  
15 in the west as well as long and short-lived climate  
16 pollution. So that our future I believe is not only to  
17 try to understand -- better understand the interactions  
18 among air pollutants and their diverse effects, but also  
19 to transfer this knowledge to other countries so they can  
20 also achieve the clean air benefit that are being attained  
21 in California. Thank you.

22 (Applause)

23 DR. SHARPLESS: Well, it was a real joy to be  
24 able to sit in the audience and listen to the discussion  
25 of the last item. It sort of brings back really fond

1 memories. And Mary and I go back a long ways. She was  
2 both my predecessor and my successor. So congratulations,  
3 Mary, on that feat.

4 I do want to thank everyone for the award. I'm  
5 grateful to those who have nominated me and to those who  
6 selected me to receive this award.

7 I'm also honored and feel truly humbled to be  
8 given this award, by its very name, Haagen-Smit,  
9 represents perhaps the highest recognition that one  
10 involved in the air quality arena could receive in the  
11 state of California.

12 I appreciate the glowing remarks of your  
13 Chairwoman Nichols, particularly in light of her own  
14 illustrious accomplishments.

15 As we all know, such accomplishments cannot be  
16 done by one person alone, but takes the efforts of many.  
17 And I would like to take this opportunity to thank those  
18 who have given tireless efforts and dedication in making  
19 these strides possible during my tenure: My former Board  
20 members, the incredible staff at the Air Resources Board  
21 that I look around and now see have white beards and less  
22 hair. So it's pretty amazing. But they were terrific and  
23 they still are terrific.

24 The support of the NGOs representing both the  
25 health organizations and the environmental organizations.

1 The important research that we just heard about conducted  
2 by academia that fed into our regulatory process and  
3 those, yes, in the industry who met the challenge,  
4 developed the technology, and often exceeded the goals.

5           There are many who helped me along the way. And  
6 there are three colleagues that I would like to name who  
7 have since passed away who will especially helpful to me:  
8 John Doyle, my very able assistant; Chuck Ingret, a former  
9 Assemblymember and Chairman of the California Energy  
10 Commission; and Carl Moyer, who many of you in this room  
11 will remember.

12           I'm proud of the vision and the legacy which has  
13 been the landmark of this Board. The goal has always been  
14 to protect public health. And while those who succeeded  
15 have made substantial progress in meeting this goal, there  
16 is still a lot of work that needs to be done.

17           I've been pleased to see that subsequent Boards  
18 have continued to support and strengthen the fuel  
19 standards, the mobile source standards, and particularly  
20 the ZEV portion of the program. It's awesome to see so  
21 many growing numbers of vehicles on the road today.

22           I offer my congratulations to those who have  
23 persevered and kept the faith that we could have electric  
24 hybrids, all-electric, and fuel cells occupying our roads,  
25 despite the hue and cry of the naysayers.

1           Having gone through similar battles, I  
2 acknowledge and applaud those who continue to put in the  
3 hard work and show the courage to go up against  
4 significant forces.

5           In my day, our focus was meeting the clean air  
6 health-based standards for criteria and toxic air  
7 contaminants. It wasn't an easy task then. But in  
8 today's world, you face even greater challenges of  
9 stricter health-based standards, designing new strategies,  
10 and carrying out a whole new regulatory realm of global  
11 climate change, emission reductions.

12           However, given its history and record to date, I  
13 have no doubt that the California Air Resources is up to  
14 the task and will continue to provide the leadership that  
15 it has so well been recognized as having. I feel  
16 privileged to have been able to play a part in helping to  
17 provide a healthy environment to the citizens of the  
18 state. And I will continue to support and advocate in any  
19 way I can toward California reaching the ultimate goal of  
20 clean air and health lungs for every man, woman, and child  
21 in the state. Thank you.

22           (Applause)

23           CHAIRPERSON NICHOLS: I'm going to ask if the  
24 award recipients can make their way up to the platform  
25 here. I think it's doable for everybody. And if we could

1 have a picture with all the Board members with the flags  
2 there. That will hopefully be a memento for everyone.  
3 There is a ramp up here. It should be doable.

4 No one has signed up for public comment, so we  
5 will be adjourned for our lunch break. And we will be  
6 back here -- we are adjourned. There is a public session  
7 this afternoon on use of revenue from auctioning of cap  
8 and trade analysis. That will be at 1:30. Thank you.

9 (Whereupon the Air Resources Board adjourned  
10 at 11:56 a.m.)

11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

