

MEETING
STATE OF CALIFORNIA
AIR RESOURCES BOARD

CALEPA HEADQUARTERS
BYRON SHER AUDITORIUM
SECOND FLOOR
1001 I STREET
SACRAMENTO, CALIFORNIA

THURSDAY, FEBRUARY 18, 2016

9:03 A.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

A P P E A R A N C E S

BOARD MEMBERS:

Ms. Mary Nichols, Chair

Ms. Sandra Berg, Vice Chair

Dr. John Balmes

Mr. Hector De La Torre

Supervisor John Gioia

Mr. John Eisenhut

Senator Dean Florez

Mrs. Barbara Riordan

Supervisor Ron Roberts

Supervisor Phil Serna

Dr. Alex Sherriffs

Professor Daniel Sperling

Ms. Diane Takvorian

STAFF:

Mr. Richard Corey, Executive Officer

Dr. Alberto Ayala, Deputy Executive Officer

Ms. Edie Chang, Deputy Executive Officer

Mr. Kurt Karperos, Deputy Executive Officer

Ms. Ellen Peter, Chief Counsel

Ms. La Ronda Bowen, Ombudsman

Ms. Emily Wimberger, Chief Economist

A P P E A R A N C E S C O N T I N U E D

STAFF:

Ms. Shirin Barfjani, Air Pollution Specialist, In-use Control Measures Section, Mobile Source Control Division(MSCD)

Mr. Michael Benjamin, Chief, MLD

Mr. Tony Brasil, Chief, Heavy-Duty Diesel Implementation Branch, MSCD

Mr. Pippin Brehler, Senior Attorney, Legal Office

Mr. Michael Carter, Assistant Chief, MSCD

Mr. Yachun Chow, Manager, Zero-Emission Truck and Bus Section, MSCD

Mr. Bart Croes, Chief, Research Division

Mr. Kyle Graham, Senior Attorney, Legal Office

Mr. Jorn Herner, Chief, Research Planning, Administration & Emissions Mitigation Branch, RD

Mr. Matthew Holmes, Air Resources Engineer, Monitoring and Lab Division(MLD)

Mr. Margret Kim, Senior Attorney, Legal Office

Mr. Jack Kitowski, Chief, MSCD

Mr. Toshihiro Kuwayama, Air Resources Engineer, Emission and Exposure Research Section, Research Division(RD)

Mr. Angus MacPherson, Manager, MLD

Mr. Michael Miguel, Branch Chief, MLD

Ms. Elizabeth Scheehle, Chief, Oil & Gas and GHG Mitigation Branch, Industrial Strategies Division

Mr. Abhilash Vijayan, Manager, Emission and Exposure Research Section, RD

A P P E A R A N C E S C O N T I N U E D

ALSO PRESENT:

Mr. Alan Abbs, California Air Pollution Control Officer's Association

Mr. Will Barrett, American Lung Association

Mr. Nathan Begtsson, Pacific, Gas and Electric

Ms. Hannah Goldsmith, CalETC

Mr. Brad Heavner, CalSEIA

Mr. James Holtz, BYD

Mr. Paul Jablonski, San Diego Metropolitan Transit System

Mr. Shrayas Jatkar, Coalition for Clean Air

Mr. Ryan Kenny, Clean Energy

Mr. Richard McCaskill, Recon Recycling

Mr. Jonathan Nelson, Antelope Valley Transit Authority

Mr. Tim O'Connor, Environmental Defense Fund

Mr. Jimmy O'Dea, Union of Concerned Scientists

Mr. Michael Pimentel, California Transit Association

Mr. Ray Pingle, Sierra Club, California

Ms. Diana Vazquez, Sierra Club, California

Dr. Barry Wallerstein, South Coast Air Quality Management District

Mr. Mike Wiley, Sacramento Regional Transit District

I N D E X

	PAGE
Call to Order	1
Pledge of Allegiance	1
Roll Call	1
Opening remarks by Chair Nichols	2
Item 16-2-1	
Chair Nichols	8
Executive Officer Corey	9
Staff Presentation	10
Dr. Wallerstein	33
Mr. Heavner	36
Mr. O'Connor	37
Mr. Begtsson	40
Board Discussion and Q&A	41
Item 16-2-2	
Chair Nichols	60
Executive Officer Corey	61
Staff Presentation	62
Mr. McCaskill	69
Mr. Abbs	72
Board Discussion and Q&A	80
Item 16-2-3	
Chair Nichols	83
Executive Officer Corey	84
Staff Presentation	85
Board Discussion and Q&A	108
Motion	120
Vote	120
Item 16-2-5	
Chair Nichols	121
Executive Officer Corey	122
Staff Presentation	124
Board Discussion and Q&A	144
Mr. Pimentel	145
Mr. Jablonski	147
Mr. Wiley	153
Mr. Holtz	160
Mr. Pingle	162
Ms. Vazquez	165

I N D E X C O N T I N U E D

	PAGE
Item 16-2-5(continued)	
Mr. Barrett	167
Mr. Jatkar	170
Mr. Nelson	173
Mr. Kenny	176
Mr. O'Dea	178
Ms. Goldsmith	180
Board Discussion and Q&A	182
Closed Session	205
Adjournment	206
Reporter's Certificate	207

1 P R O C E E D I N G S

2 CHAIR NICHOLS: The sound system is now working,
3 which means we are about to go into session. Board
4 Members are assembling. Staff is assembling. We are so
5 close to being on time, we could just move the minute hand
6 just a little bit over and it would be absolutely on time.

7 Good morning. Good morning. Welcome, everyone,
8 to the February 18th, 2016 public meeting of the Air
9 Resources Board. We will come to order. And before I
10 stay anything more, we will begin, as is our custom, by
11 saying the Pledge of Allegiance to the flag. So please
12 rise

13 (Thereupon the Pledge of Allegiance was
14 recited in unison.)

15 CHAIR NICHOLS: Madam Clerk, would you please
16 call the roll

17 BOARD CLERK JENSEN: Dr. Balmes?

18 BOARD MEMBER BALMES: Here.

19 BOARD CLERK JENSEN: MR. De La Torre?
20 Mr. Eisenhut?

21 BOARD MEMBER EISENHUT: Here.

22 BOARD CLERK JENSEN: Senator Florez?

23 BOARD MEMBER FLOREZ: Here.

24 BOARD CLERK JENSEN: Supervisor Gioia?

25 BOARD MEMBER GIOIA: Here.

1 BOARD CLERK JENSEN: Ms. Mitchell?

2 Mrs. Riordan?

3 BOARD MEMBER RIORDAN: Here.

4 BOARD CLERK JENSEN: Supervisor Roberts?

5 BOARD MEMBER ROBERTS: Here.

6 BOARD CLERK JENSEN: Supervise Serna?

7 Dr. Sherriffs?

8 BOARD MEMBER SHERRIFFS: Here.

9 BOARD CLERK JENSEN: Professor Sperling?

10 BOARD MEMBER SPERLING: Here.

11 BOARD CLERK JENSEN: Ms. Takvorian?

12 BOARD MEMBER TAKVORIAN: Here.

13 BOARD CLERK JENSEN: Vice Chair Berg?

14 VICE CHAIR BERG: Here.

15 BOARD CLERK JENSEN: Chair Nichols?

16 CHAIR NICHOLS: Here.

17 BOARD CLERK JENSEN: Madam Chair, we have a
18 quorum.

19 CHAIR NICHOLS: Thank you very much.

20 I have a couple of announcements before we start
21 the agenda this morning.

22 You know some people in the course of their
23 careers get to preside over institutions that are in the
24 process of fading away or growing smaller in size. Others
25 of us, however, have the privilege and good fortune to

1 preside over institutions that are growing and
2 flourishing. And the Air Resources Board has grown thanks
3 to a number of things, but primarily, at this point,
4 because of the legislators -- legislature's desire to add
5 additional members to our Board.

6 Last year, the legislature passed, and the
7 Governor signed, Assembly Bill 1288 by Speaker Toni
8 Atkins. And as a result of that action, two new positions
9 were created on the Air Resources Board, both of which are
10 intended to not only bring legislative representation --
11 legislatively-appointed representation to the Board, but
12 in particular to strengthen and deepen our focus on the
13 needs and concerns of disadvantaged communities within our
14 State.

15 And so it's my pleasure this morning to introduce
16 the two new Board members that are joining us today.
17 They've both been sworn in within the last 24 hours, and
18 are fully up to speed and ready to start work. So first,
19 I want to introduce Diane Takvorian, who is the executive
20 director and co-founder of the Environmental Health
21 Coalition, an environmental justice organization based in
22 the San Diego/Tijuana region. Diane has served on a
23 variety of different international and State and regional
24 boards. In 2009, President Obama appointed her to the
25 Joint Public Advisory Committee for the Commission for

1 Environmental Cooperation. In 2008, she received the
2 James Irvine Foundation's Leadership Award for her
3 creative and inspirational leadership benefiting the
4 people of California. She's also a co-founder of the
5 California Environmental Justice Alliance. So with that,
6 I am pleased to welcome Ms. Takvorian to the Board.

7 (Applause.)

8 CHAIR NICHOLS: And would you like to say a few
9 words?

10 BOARD MEMBER TAKVORIAN: Thank you, Chair
11 Nichols. I really appreciate your welcoming. Thank you
12 to you and to Richard and the staff. I feel very
13 welcomed. I wanted to just take a moment to thank Speaker
14 Atkins for appointing me to this position and for her
15 confidence in me, and in the environmental justice
16 community, through her sponsorship of the bill 1288. I
17 think it's a really important moment for all of us in
18 California, and I take my responsibility really seriously
19 that this is about air quality and climate change issues
20 for all Californians, but especially to those that are the
21 most impacted, and those that are suffering the most.

22 So I think this is a great opportunity for us all
23 to work together for a high quality of life for everyone.
24 So thank you very much, and I look forward to working with
25 you all.

1 CHAIR NICHOLS: Thank you for those inspirational
2 words.

3 So our second new Board member will always be
4 known as the junior board member -- because that's the way
5 they do it in the Senate, right, you know, if you're a few
6 hours later so -- is the Honorable Dean Florez. Senator
7 Florez served in the California Senate from 2002 to 2010,
8 and before that in the California Assembly from 1998 to
9 2002 representing the Central Valley, including the cities
10 of Bakersfield, and Shafter.

11 During his time in the Senate, he sponsored SB
12 700, which required farms for the first time ever to
13 comply with the provisions of the federal Clean Air Act.
14 And I had the opportunity to work with him and his office
15 myself on issues relating to agricultural burning, and
16 more broadly I know of his tremendous dedication and
17 interest to air quality in the valley.

18 Senator Florez is now the President and CEO
19 Balance Public Relations. So we welcome him and his
20 expertise to the Board. And if you'd like to say a few
21 you words, please do.

22 BOARD MEMBER FLOREZ: Thank you. Madam Chair,
23 it's always dangerous to offer a microphone to a past
24 politician.

25 (Laughter.)

1 BOARD MEMBER FLOREZ: But I would say thank you.
2 I look forward to working more importantly with the staff.
3 This is a super important Board. Obviously, spending time
4 in the legislature legislating to this Board, it's now
5 interesting to be on the Board. And so I really look
6 forward from that perspective of working with staff and
7 with you Madam Chair and the members of the Committee.

8 Just as Diane had mentioned, I want to thank the
9 Senate Pro Tem Kevin de León. A very strong agenda on
10 climate change, very strong voice for disadvantaged
11 communities. I do know that during my time on the Board,
12 I very much want to focus on about 2000 census tracts
13 called disadvantaged in California. And I'm going to work
14 pretty much every day, and along with my colleagues, to
15 make sure that investments and priorities and things that
16 center around pollution are the top of my agenda.

17 There's no doubt that those communities, and I
18 think we all know where they're at, they're the hardest
19 places to get to, in some cases, but I think hopefully now
20 have a very strong voice with both Diane and I on this
21 Board. And I look forward to working with my colleague to
22 make sure that that perspective is brought to every
23 meeting.

24 And Madam Chair, I really appreciate working with
25 you again. You were very instrumental in our 700 series

1 that really changed the nature of how we looked at air
2 quality in the Central Valley, particularly with farms.
3 And I look forward to a much broader agenda now on this
4 Board. So thank you much look. I look forward to working
5 with all of and particularly staff.

6 CHAIR NICHOLS: Okay. So as you can see, we have
7 a full house here, and that's with two members who are not
8 yet with us. So it's going to be interesting. I'm going
9 to do my best. I think I can see everybody from this
10 configuration here. So Board members, I know you won't be
11 shy when you feel the need or desire to speak on
12 something. And I'll do my best to keep looking to both
13 sides.

14 Now, to the more mundane aspects of our
15 preliminary comments. Just a reminder to everybody that
16 the Board imposes a three minute time limit on speakers.
17 If you're interested in speaking, please fill out a
18 request to speak form - they're available in the lobby or
19 from the clerk - and turn it into the Board Assistant here
20 prior to that particular item being called.

21 We'd appreciate it if people will summarize their
22 written remarks when they're speaking to the Board, as
23 opposed to reading your whole statement, because we can
24 listen faster, and you'll make the point more effectively.

25 I'm also required to point out, for safety

1 purposes, the exits from this room at the rear and to the
2 side. In the event of a fire alarm, which has happened,
3 we're required to evacuate this room immediately going
4 down the stairs, not using the elevators, and to go
5 outside the building where we assemble across the street
6 in Cesar Chavez Park, and then return when the all signal
7 -- all-clear signal is given.

8 And with that, I think we are ready to begin this
9 morning's agenda with a presentation from the staff on a
10 matter, which has been consuming a lot of my time and the
11 staff's time for a number of weeks now, which is the gas
12 leak, the leak of natural gas, from the Aliso Canyon
13 storage field in southern California.

14 So, Mr. Corey, would you please introduce this
15 item?

16 EXECUTIVE OFFICER COREY: Yeah. We've got a
17 request for two minutes due to technical problems.

18 CHAIR NICHOLS: Oh, there's a technical problem.
19 Okay. Absolutely. You mean, we just have to be quiet?

20 (Laughter.)

21 CHAIR NICHOLS: Two minutes.

22 BOARD MEMBER GIOIA: Actually, you have to sing.

23 CHAIR NICHOLS: Oh, great. I can do that, you
24 know.

25 MR. LLOYD: Talk amongst yourselves.

1 CHAIR NICHOLS: Yeah, talk amongst yourselves.

2 That's a first.

3 Are you all set?

4 MR. LLOYD: Yes.

5 CHAIR NICHOLS: Very good. Thank you. You know
6 this is the first time ever. You guys do an amazing job.
7 So thank you.

8 (Applause.)

9 CHAIR NICHOLS: All right. Mr. Corey, will you
10 begin this item?

11 EXECUTIVE OFFICER COREY: I will. And thank you,
12 Chair Nichols. So today, staff will present an
13 informational update on the Aliso Canyon natural gas leak
14 in southern California. As all of you know Aliso Canyon
15 is the largest natural gas storage facility in California.
16 The facility is a 3,600 acre complex managed by Southern
17 California Gas Company. And ARB has been coordinating
18 efforts to measure emissions from the leak as part of a
19 multi-agency response.

20 We've also been providing on-the-ground support
21 to monitor the impacts of the leak in the community, and
22 you'll hear more about that in a moment. On January 6th,
23 Governor Brown issued a proclamation that declared a State
24 of Emergency in Los Angeles County due to the Aliso Canyon
25 methane leak.

1 The proclamation directed several State agencies
2 to continue or to undertake specific responses to stop the
3 leak, to ensure accountability, and to strengthen
4 oversight of the gas storage facilities. The proclamation
5 also instructed ARB to prepare a climate impacts
6 mitigation plan to fully mitigate the global warming
7 consequences of the methane emissions from the leak.

8 In today's presentation, staff will provide an
9 update on the leak and ARB's efforts to estimate the
10 methane emissions. Staff will also provide an update on
11 the mitigation program being prepared pursuant to the
12 Governor's proclamation.

13 Dr. Toshihiro Kuwayama of the Research Division
14 will give the first presentation or the first part of the
15 presentation on emission measurements. He'll be followed
16 by Kyle Graham of our Legal Office who will describe the
17 development of a mitigation program.

18 Toshi.

19 (Thereupon an overhead presentation was
20 presented as follows.)

21 AIR RESOURCES ENGINEER KUWAYAMA: Thank you, Mr.
22 Corey. And good morning, Chair Nichols and members of the
23 Board.

24 In today's update, I will provide information on
25 the Aliso Canyon methane leak and ARB's role with a focus

1 on the environmental and public health concerns that
2 derived as a result of this incident.

3 I will begin by providing background information
4 on the Aliso Canyon Natural Gas Storage Facility and the
5 events that took place throughout the stages of this
6 incident. I will then present information on the State
7 and local government efforts in addressing on the Aliso
8 Canyon methane leak incident, and details regarding ARB's
9 extensive efforts related to this event.

10 Lastly, Kyle Graham from the legal office will
11 provide an update on the development of climate impact
12 mitigation program for the Aliso Canyon incident as a part
13 of this presentation.

14 --o0o--

15 AIR RESOURCES ENGINEER KUWAYAMA: Aliso Canyon
16 Natural Gas Storage Facility is the largest storage
17 facility in California, and accounts for 23 percent of the
18 total working natural gas storage capacity in the State.
19 The storage facility spans over 3,600 acres, and has a
20 working storage capacity of 86 billion cubic feet, which
21 is enough to provide natural gas roughly two million
22 average California households for an entire year. The
23 facility is owned and operated by Southern California Gas
24 Company, or SoCalGas.

25 --o0o--

1 AIR RESOURCES ENGINEER KUWAYAMA: The facility is
2 used primarily to provide natural gas for home heating and
3 power generation. Typically, the storage facility is
4 filled between the months of April and October, and the
5 store natural gas is withdrawn between the months of
6 November and March during the winter season.

7 The storage facility is an old oil field with
8 approximately 115 injection and withdrawal wells operated
9 and managed by SoCalGas. Each well is connected through a
10 seven-inch well pipe casing to a reservoir located
11 approximately 8,500 feet below ground level.

12 --o0o--

13 AIR RESOURCES ENGINEER KUWAYAMA: The methane
14 leak was first discovered on this natural gas storage
15 facility on October 23rd, 2015 during an odor inspection
16 of Well SS-25. At the time, in late October, the storage
17 facility was approximately 90 percent of its working
18 storage capacity. Preliminary investigation was performed
19 using sounding data, and experts from Department of Oil
20 Gas and Geothermal Resources, or DOGGR, and other outside
21 entities believed that the source of the natural gas leak
22 was damaged well casing segment approximately 500 feet
23 below the surface.

24 --o0o--

25 AIR RESOURCES ENGINEER KUWAYAMA: SoCalGas first

1 attempted to stop the leak on October 24th, 2015 by
2 injecting a brine solution into the well pipe to prevent
3 the gas from reaching the leak route. The attempt was
4 unsuccessful.

5 SoCalGas made six subsequent attempts to control
6 of the flow of the gas from the storage reservoir by
7 pumping heavy brine and even heavier barite mud into the
8 well. The combination of these compounds is designed to
9 counteract the pressure from the gas storage zone and is
10 standard procedure followed by the industry.

11 All six kill attempts were unsuccessful. This
12 incident command, DOGGR, halted the kill operation due to
13 unsafe working conditions near the leaking well and out of
14 concern for the integrity of the wellhead itself after the
15 last kill attempt on December 22nd, 2015.

16 --o0o--

17 AIR RESOURCES ENGINEER KUWAYAMA: In parallel, at
18 DOGGR's direction, SoCalGas also initiated steps to gain
19 control of the leak by drilling a relief well to intercept
20 the well 8,500 feet below the ground. This procedure
21 includes drilling a relief well to the base of the leaking
22 well, injecting mud to kill the well, followed by cement
23 injection to permanently plug the well.

24 Work on the first relief well started on December
25 4th, 2015. On February 11th, SoCalGas intercepted the

1 Well SS-25 and initiated steps to control the leak. Later
2 that day, SoCalGas reported that the effort was
3 successful, and the leak was temporarily under control.
4 Over the weekend, SoCalGas worked to permanently seal the
5 well below ground with cement.

6 State and local agencies have been performing
7 additional investigations to evaluate the integrity of the
8 control operations. ARB has been providing information on
9 the changes and measured methane since control of the
10 well. There is a press conference scheduled for 10:00
11 a.m. today to officially report on the status of the well.
12 ARB staff are part of that press conference.

13 --o0o--

14 AIR RESOURCES ENGINEER KUWAYAMA: In order to
15 ascertain the success of the well intercept and initial
16 control attempt on February 11th, ARB staff set up an
17 infrared camera to record the plume as the control attempt
18 occurred. This 24-second clip is an accelerated infrared
19 video of the leak kill event.

20 (Thereupon a video was played.)

21 AIR RESOURCES ENGINEER KUWAYAMA: The methane
22 plume depicted as the gray smoke is clearly visible over
23 Well SS-25 prior to the kill event, and evidently
24 diminishes as the temporary control operations are
25 completed.

1 --o0o--

2 AIR RESOURCES ENGINEER KUWAYAMA: The Aliso
3 Canyon methane leak is not only a concern for the local
4 environment and the global climate, but also for the
5 public's health. As of February 10th, 2016, South Coast
6 Air Quality Management District, or South Coast AQMD, has
7 received over 2,300 complaints about the odor, including
8 incident reports on dizziness, headaches, nausea, and nose
9 bleeds. These are symptoms associated with mercaptans
10 which are the sulfur-smelling compounds added to natural
11 gas, so that leaks can be easily detected.

12 There have been additional community concerns
13 over benzene, hydrogen sulfide, and radon exposures in the
14 neighboring communities. However, continuous and
15 instantaneous air samples collected during the methane
16 leak incident suggest that the air contaminants at the
17 community sites did not reach its level of concern. The
18 incident reports resulted in relocation of over 5,000
19 households in two local schools.

20 --o0o--

21 AIR RESOURCES ENGINEER KUWAYAMA: The State and
22 local response to this incident has included an array of
23 entities. Agencies, such as Governor's Office of
24 Emergency Services, DOGGR, California Public Utilities
25 Commission, or CPUC, and California Department of Forestry

1 and Fire Protection, or CalFire, are all playing a
2 critical role. Division of Occupational Safety and
3 Health, Office of Environmental Hazard Assessment, and Los
4 Angeles Department of Public Health have been working to
5 ensure worker safety and work towards protecting the
6 public's health.

7 ARB and South Coast AQMD, in collaboration with
8 research partners, have worked closely to further address
9 the environmental impacts, exposures, and public health
10 concerns within the neighboring communities.

11 --o0o--

12 AIR RESOURCES ENGINEER KUWAYAMA: ARB has played
13 an active role in characterizing the methane leak, and in
14 providing impact -- important information on the
15 neighboring community members throughout the leak
16 incident. Over the period, ARB has provided guidance on
17 indoor air filtration to residents. Staff have also
18 implemented a comprehensive ambient air monitoring effort
19 to understand the air quality in the community.

20 One of the most significant contributions are the
21 real-time methane and benzene monitors currently installed
22 throughout the neighboring community. In addition, we are
23 currently coordinating several efforts to estimate the
24 total leaked methane emissions from the incident and to
25 develop a Climate Impact Mitigation Program. These topics

1 will be discussed later in the presentation.

2 --o0o--

3 AIR RESOURCES ENGINEER KUWAYAMA: The on-line air
4 cleaner guidance published by ARB provides information on
5 air cleaners that can effectively remove odorous sulfur
6 compounds, as well as benzene and other potentially
7 harmful volatile organic compounds. Staff worked closely
8 with the community and SoCalGas to ensure that only these
9 advanced air cleaners were used.

10 To date, over 10,000 air filtration units have
11 been installed in the community with close to 6,000 homes
12 installed with air cleaners and 4,000 homes provided with
13 plug-in air cleaners.

14 --o0o--

15 AIR RESOURCES ENGINEER KUWAYAMA: The ARB and
16 South Coast AQMD has implemented a number of monitoring
17 resources to evaluate the leak incident. During the early
18 phase of the leak, ARB utilized its statewide greenhouse
19 gas monitoring network, as well as other local partner
20 sites to monitor the leak and evaluate the methane
21 enhancements in the region.

22 Currently, ARB and South Coast AQMD have
23 installed a total of eight methane and two benzene
24 monitors throughout the community. We have also utilized
25 canister measurements and a mobile platform to assess the

1 air quality in and around the storage facility.

2 ARB, and collaborating agencies, are also
3 coordinating airborne measurements and collecting infrared
4 images to evaluate the emissions from Well SS-25.

5 --o0o--

6 AIR RESOURCES ENGINEER KUWAYAMA: The community
7 monitoring efforts were initiated as a proactive step to
8 provide real-time notification to the public and to assess
9 the impact of a natural gas plume in the community over
10 time. The data from these ambient air monitors are
11 uploaded to ARB website on an hourly basis to inform the
12 public of their level of exposure to both air
13 contaminants.

14 This data will also aid in estimating the
15 magnitude of the total leaked methane. This is a chart
16 that shows hourly methane concentration measured in the
17 community since late last year. You can see at the end
18 the clear reduction in the maximum hourly concentration in
19 the community, since the leak was reportedly controlled on
20 February 11th, 2016.

21 Additional measurements are taken to sample oil
22 droplets that have been reported by many community
23 residents.

24 --o0o--

25 AIR RESOURCES ENGINEER KUWAYAMA: Going forward,

1 ARB and South Coast AQMD have established specific
2 numerical criteria to determine when the air quality in
3 the nearby communities have returned to typical levels
4 expected in the community before the leak. The ambient
5 measurements of methane, benzene, hydrogen sulfide, and
6 mercaptans will be compared to the criteria, and the
7 results reported on the ARB and South Coast AQMD websites.

8 The guiding principles of air quality criteria
9 includes a comprehensive monitoring effort by both ARB and
10 South Coast AQMD, and numerical threshold to ensure that
11 emissions from the facility are under control and are not
12 posing adverse effects on the community residents.

13 --o0o--

14 AIR RESOURCES ENGINEER KUWAYAMA: In order to
15 provide a rough initial estimate of the leak rate, ARB has
16 coordinated over 13 downwind flights with small airplanes
17 equipped with instruments that measure methane. These
18 downwind measurements can be used to calculate an emission
19 rate and will be used for developing and implementing a
20 climate impact mitigation program.

21 Our current emissions estimate using State
22 coordinated airborne measurements suggests that the
23 highest leak rate was approximately 58,000 kilograms per
24 hour of methane in late November 2015. Subsequent
25 measurements have shown a gradual decrease in emissions

1 correlated with an aggressive drawdown of the natural gas
2 in the field.

3 The most recent data suggests that the control of
4 the methane leak have reduced the emission's rate by over
5 98 percent. The current facility-wide emissions are only
6 two percent of the highest leak rate observed in November.
7 We are monitoring this closely to confirm the emissions we
8 are seeing now as the residual methane trapped in the soil
9 is being released.

10 --o0o--

11 AIR RESOURCES ENGINEER KUWAYAMA: The data
12 implies that Aliso Canyon methane leak has released a
13 total of 5.4 billion cubic feet, or 94 million kilograms,
14 of natural gas into the atmosphere. These emissions were
15 over three times the statewide fugitive methane emissions
16 from oil and gas production, and over twice the statewide
17 fugitive methane emissions from pipelines.

18 This represents approximately 20 percent increase
19 in the statewide methane emissions for the duration of the
20 leak, and a six percent increase in the annual statewide
21 methane emissions in 2015.

22 --o0o--

23 AIR RESOURCES ENGINEER KUWAYAMA: This estimate
24 is preliminary and may be a lower estimate of the total
25 methane leaked. ARB will continue to refine these

1 emission estimates through our active collaborators and
2 the leading research partners in the State. We have
3 dedicated several ongoing efforts and resources to study
4 the emissions, including ARB's statewide greenhouse gas
5 monitoring network, partnership with the Megacities Carbon
6 Project, remote sensing, aircraft measurements, satellite
7 measurements, mobile platform, and canister measurements.
8 We expect to have the refined emissions estimate by summer
9 of 2016.

10 --o0o--

11 AIR RESOURCES ENGINEER KUWAYAMA: At the press
12 conference today, we can expect that DOGGR will provide a
13 statement as to whether or not Well SS-25 have been
14 properly sealed. Going forward, the ARB and South Coast
15 AQMD will coordinate additional measurements using
16 infrared imagers, aircraft measurements, and mobile
17 platforms to assess the emissions and air quality
18 conditions in and around the facility.

19 The two agencies will also continue the
20 monitoring effort to ensure reduction of methane and
21 benzene at the community sites. ARB is also considering
22 additional fence line monitoring requirements for
23 facilities in the regulatory framework for early detection
24 and mitigation to manage such incidents in the future.

25 --o0o--

1 AIR RESOURCES ENGINEER KUWAYAMA: ARB has several
2 ongoing efforts dedicated to study emissions of methane
3 and other greenhouse gases beyond Aliso Canyon.

4 ARB initiated a first-of-its-kind statewide
5 greenhouse gas monitoring network in 2010. Over the
6 years, ARB has also supported several in-house research
7 efforts, as well as extramural research studies to
8 understand the greenhouse gas emissions sources throughout
9 the State to meet the goals of AB 32. These efforts have
10 been critical in informing our scoping plan and short
11 lived climate pollutant strategy, and have formed the
12 backbone of our Aliso Canyon response.

13 ARB will continue to measure and evaluate methane
14 emissions from all statewide natural gas storage
15 facilities through additional flight measurements in the
16 near term. ARB is also required by AB 1496 to focus on
17 identifying methane hot spots throughout the State and
18 will be conducting an extensive statewide methane survey
19 to identify emissions from oil and gas infrastructures
20 late in the year.

21 Finally, we are also undertaking several
22 additional efforts for statewide greenhouse gas inventory
23 evaluation, including advanced computational modeling, as
24 well as collaboration with Megacities Carbon Project to
25 better understand the source and emissions of greenhouse

1 gases throughout the State.

2 --o0o--

3 AIR RESOURCES ENGINEER KUWAYAMA: Several
4 agencies are working on rule-making efforts related to
5 natural gas storage facilities to provide early detection
6 and to help prevent future incidents. DOGGR released
7 emergency regulations to address well-related issues. The
8 regulations, which are now in effect, covers topics such
9 as well integrity, mandatory air monitoring, and risk
10 management plans.

11 ARB has an ongoing rule-making to reduce methane
12 emissions at oil and gas upstream operations. The process
13 has been underway for over a year and will include leak
14 detection and repair requirements. In response to the
15 Aliso Canyon event, staff is coordinating with DOGGR on
16 provisions for air monitoring and has proposed a new
17 provision for emissions reduction measures in the event of
18 large leaks in the future.

19 In addition to the these two measures, the CPUC
20 is in the middle of a proceeding to reduce emissions from
21 natural gas transmission and distribution and is working
22 closely with ARB to ensure comprehensive and consistent
23 requirements.

24 This completes the technical update on the Aliso
25 Canyon leak incident. In the next section, Kyle Graham,

1 from the Legal Office will provide an update on the
2 development of a climate impact mitigation program for the
3 Aliso Canyon incidents.

4 CHAIR NICHOLS: Thank you very much.
5 Kyle.

6 SENIOR ATTORNEY GRAHAM: Thank you very much.

7 --o0o--

8 SENIOR ATTORNEY GRAHAM: Chair Nichols, members
9 of the Board, last month Governor Brown directed ARB to
10 produce a climate impacts mitigation program in connection
11 with the Aliso Canyon methane leak. ARB has begun its
12 work toward defining such a program. This Board meeting
13 represents an important step in this process.

14 In this portion of the Aliso Canyon presentation,
15 I will describe the background to, and substance of, the
16 Governor's directive, key issues that ARB is assessing in
17 connection with ARB's development of a mitigation program,
18 and the path ahead in the program's development and its
19 subsequent implementation.

20 --o0o--

21 SENIOR ATTORNEY GRAHAM: First, some background.

22 In December of 2015, almost two months after the
23 Aliso Canyon methane leak was discovered, Dennis Arriola,
24 the chief executive officer of SoCalGas wrote Governor
25 Brown a letter. In this letter, Mr. Arriola committed, on

1 behalf of SoCalGas, to work with the Governor and his
2 staff on mitigating the environmental impact of the leak.

3 A few weeks later, Governor Brown issued a
4 proclamation that declared a state of emergency in Los
5 Angeles County due to the Aliso Canyon methane leak. This
6 proclamation recognized the work that ARB had done and
7 continues to do in measuring emissions from the leak and
8 providing information about the leak to the public, and
9 ordered that ARB continue and expand these efforts.

10 Furthermore, the proclamation directed ARB to
11 prepare a program to fully mitigate the methane emissions
12 from the leak. Consistent with the earlier letter from
13 SoCalGas, the proclamation stated that SoCalGas will fund
14 this program.

15 --o0o--

16 SENIOR ATTORNEY GRAHAM: As just stated, the
17 program that ARB will prepare must, "...fully mitigate the
18 leak's emissions of methane". In orders, ARB must prepare
19 a mitigation program focused on the climate change impacts
20 of the Aliso Canyon methane leak. ARB understands that
21 the leak has had other significant harmful impacts that
22 require careful review and full redress in other contexts,
23 and ARB appreciates that State, regional, and local
24 authorities have already taken and will continue to take
25 significant steps to moderate and respond to these

1 impacts, and the leak's other effects on the environment
2 and public health and safety.

3 The proclamation also relates other necessary
4 elements of the mitigation program to be developed by ARB,
5 namely the program is to be developed in consultation with
6 other State agencies, a process that ARB already has
7 begun, it must be limited to projects located in
8 California, and it must prioritize projects that reduce
9 short-lived climate pollutants, such as methane.

10 Finally, the program shall be developed, if not
11 necessarily fully implemented, by March 31st 2016.

12 --o0o--

13 SENIOR ATTORNEY GRAHAM: This slide and the
14 following slides will discuss ARB staff's current approach
15 toward a framework for the mitigation program, the
16 development of which remains a work in progress. ARB
17 staff welcomes public input on each of the topics that
18 will be discussed. First, ARB must define full mitigation
19 in this context. ARB staff believes that full mitigation
20 requires, at a minimum, ton-for-ton carbon dioxide
21 equivalent emission reductions commensurate with leak
22 emissions.

23 To ascertain the necessary mitigation, of course,
24 ARB must quantify the actual amount of methane emissions
25 from the leak. As you heard from Dr. Kuwayama, ARB has

1 developed a preliminary estimate of methane emissions from
2 the leak, but a final figure remains some months away.

3 With its due date of March 31st, ARB's mitigation
4 program must acknowledge and accommodate the fact that the
5 overall volume of methane emissions to be mitigated will
6 be ascertained finally at a future date.

7 It is also important to recognize what mitigation
8 does not entail. Mitigation cannot be achieved through
9 the surrender of a cap-and-trade compliance instruments
10 commensurate with emissions from the leak. The
11 Cap-and-Trade Program was not designed to cover fugitive
12 emissions, and these emissions were not included when the
13 cap was set.

14 Somewhat more technically, the global warming
15 potential for methane used in calculating SoCalGas's
16 mitigation commitment, in other words the global warming
17 impact described to methane in the mitigation context,
18 which will bear upon what is required for full mitigation,
19 is not necessarily the same as the global warming
20 potential figure used for methane in some other contexts.

21 In its public postings regarding its measurements
22 of methane emissions, ARB has used methane's 100-year
23 global warming potential. ARB staff's present view is
24 that in the context of a mitigation program to be
25 accomplished over a relatively compact time frame over the

1 years immediately to come, it is preferable to rely upon
2 methane's 20-year global warming potential, which is
3 different than the 100-year figure.

4 Additional issues relevant to defining full
5 mitigation that are undergoing evaluation by ARB staff
6 include the time frame for the emission reductions
7 produced by a mitigation program, in other words, whether
8 there should be a deadline for achieving the necessary
9 emission reductions, and if so when would that be, and
10 whether future emission reductions will require some
11 discounting to account for uncertainty. These timing
12 issues may involve trade-offs.

13 For example, while there is an obvious interest
14 in attaining prompt mitigation, it is also true that
15 certain mitigation projects that may yield significant
16 transformative benefits over the long term may take some
17 time to get off the ground.

18 Finally, there may exist other dimensions to full
19 mitigation that could flesh out the meaning of this term
20 in the context of a mitigation program. For example, full
21 mitigation could mean that SoCalGas demonstrate corporate
22 leadership in achieving greenhouse gas reductions through
23 the adoption and implementation of industry-leading best
24 practices and emission controls, as well as policies that
25 will encourage and facilitate emission reductions by its

1 customers and contractors.

2 --o0o--

3 SENIOR ATTORNEY GRAHAM: Next, ARB will ascertain
4 governing principles for the mitigation program. ARB
5 staff believes that certain core principles should guide
6 the choice of projects to be included within the
7 mitigation program, and that the mitigation program as a
8 whole should work towards several fundamental objectives.

9 Viewing the program as a whole, as just mentioned
10 the program shall achieve full mitigation accomplished in
11 an equitable and transparent manner. More specifically,
12 ARB believes that the projects that comprise the program
13 must satisfy certain principles. As described, the set of
14 projects within the program must prioritize reductions of
15 short-lived climate pollutants.

16 Furthermore, each project within the program
17 must: Possess a substantial nexus with the global warming
18 impacts of the Aliso Canyon methane leak; complement the
19 existing and anticipated efforts of federal, State, and
20 local agencies to combat global warming and protect the
21 environment; and, yield greenhouse gas emission reductions
22 additional to those that would be achieved under a
23 conservative business-as-usual scenario, including actions
24 that SoCalGas already is or will be otherwise legally
25 obligated to undertake or voluntarily agree to prior to

1 the natural gas leak at Aliso Canyon.

2 ARB also believes that other considerations
3 should inform, if not necessarily direct, the selection of
4 specific projects for the program. Additional factors
5 under consideration by ARB staff include whether the
6 project will: Provide environmental and economic
7 co-benefits; be transformational, in other words,
8 contribute to significant additional emission reductions
9 outside of the project's immediate scope, and confer
10 benefits upon disadvantaged California communities or
11 communities directly impacted by the leak.

12 --o0o--

13 SENIOR ATTORNEY GRAHAM: While ARB staff believes
14 that individual emission reduction projects must comport
15 with defined principles to be included within the
16 mitigation program, ARB does not at present presently
17 anticipate that the mitigation program it will propose on
18 March 31st will direct the funding of specific mitigation
19 projects. Instead, the program will focus primarily on
20 developing a coherent framework and process for
21 subsequently identifying suitable mitigation projects,
22 implementing those projects, monitoring their progress,
23 and certifying full mitigation.

24 The mitigation program may, however, recognize
25 certain types or categories of emission mitigation

1 opportunities that should receive emphasis within the
2 program upon its implementation. For example, through its
3 ongoing development of the short-lived climate pollutant
4 reduction strategy, ARB has identified several promising
5 mitigation opportunities for methane and other short-lived
6 climate pollutants, including those that appear on this
7 slide.

8 The program may recognize some or all of these
9 categories, and others besides, as especially attractive
10 areas of program concentration. Many of these mitigation
11 opportunities relate to the agriculture and landfill
12 sectors, which, when combined, produce more than 75
13 percents of the State's methane emissions.

14 --oOo--

15 SENIOR ATTORNEY GRAHAM: The prior slides lead to
16 the question of how the mitigation program will be
17 implemented. Here again, ARB is considering several
18 alternative approaches and welcomes public input. The
19 slide here reflects one possible implementation model,
20 preferably described, at this point, as a straw person.
21 This avenue for implementation would involve the
22 identification of a portfolio of distinct categories of
23 projects that would entail different but complementary
24 focuses. Individual projects would be chosen from some or
25 all of these categories, project bins as it were, funded

1 by SoCalGas, and when put together, these projects would
2 constitute a robust mitigation portfolio that will achieve
3 the program's overall objectives.

4 In addition, if deemed necessary and appropriate,
5 a supplemental financial backstop could be put in place to
6 ensure that the program will achieve full mitigation. A
7 third-party administrator, chosen by ARB, would be
8 primarily responsible for day-to-day oversight of program
9 implementation with ARB nevertheless maintaining a
10 significant role in this respect. In this model, no money
11 would flow through the State.

12 Any discussion of implementation furthermore must
13 recognize that ARB, along with the attorney general and
14 the city and county of Los Angeles, have lodged a civil
15 complaint against SoCalGas in connection with the Aliso
16 Canyon methane leak.

17 This lawsuit, People v Southern California Gas
18 Company, alleges, among its other claims, that the Aliso
19 Canyon methane leak constitutes a nuisance insofar as,
20 among other theories, its methane emissions are
21 contributing to global warming. This action could
22 conceivably provide a mechanism for implementing a
23 mitigation program and ensuring SoCalGas's compliance with
24 the program.

25 --o0o--

1 SENIOR ATTORNEY GRAHAM: Finally, going forward,
2 ARB will continue to consult with other State agencies in
3 its preparation of the mitigation program. As shown in
4 this slide, ARB has opened an additional channel for
5 public input through its website through which
6 stakeholders can post and view comments regarding the
7 mitigation program.

8 ARB staff anticipates that a draft version of the
9 mitigation program will be posted on its website during
10 the week of March 7th, 2016. When the draft is posted, a
11 second comment period will begin in which stakeholders can
12 offer comments upon the draft. These comments then will
13 be reviewed by ARB staff as it prepares a final version of
14 the mitigation program by March 31st, 2016.

15 Thank you very much. This concludes that portion
16 of the presentation.

17 CHAIR NICHOLS: Thank you. I'm sure that Board
18 members will have questions and comments, but I think we
19 should probably just hear from our four witnesses who have
20 signed up to briefly address us on this topic.

21 So beginning with Dr. Wallerstein from the South
22 Coast Air Quality Management District

23 DR. WALLERSTEIN: Good morning, Chairman Nichols,
24 members of the Board. First, our good wishes to Senator
25 Florez and Board Member Takvorian on their appointment to

1 this Board. I've worked with them over the years and I
2 know they'll be a strong voice for clean air here at the
3 CARB Board.

4 I'm here primarily just to offer preliminary
5 comments in response to the staff presentation. And
6 hopefully you've received from the clerk of the Board a
7 letter that Dr. Burke Sent to Chairman Nichols in January
8 regarding the mitigation funds and how they should be
9 spent. And attached to that letter is a resolution from
10 our governing board requesting that the monies be spent in
11 the area of direct impact, that being the Porter Ranch and
12 surrounding area, and if not there, in Southern
13 California.

14 And we hope very much that that will be the
15 decision of this Board. There's precedent for that in
16 other mitigation programs and we'll submit that in
17 writing.

18 Secondly I want to highlight something mentioned
19 in the staff presentation. They talked about the 100-year
20 assumption versus the 20-year assumption about the
21 lifetime of methane and its impacts. And that has a
22 dramatic, dramatic impact on how much mitigation is
23 required. And by going to what we believe, and I believe
24 your staff believes, is the more current science, that
25 will actually triple the number that would otherwise be

1 calculated. So to fully mitigate this, it's critical that
2 we use the most current science.

3 Third is an issue that we've talked about many
4 times between our agencies and a theme that has been in
5 many of our planning documents and that's comprehensive
6 integrated planning. And so co-benefits was highlighted
7 by your staff, but we would argue in selecting mitigation
8 projects, we really need to make that a primary criteria,
9 and there are strategies such as reducing carbon black
10 that could give us multiple air quality and environmental
11 benefits.

12 And so in our future comments regarding this
13 item, we will propose to you a set of items that we think
14 should be high priority in your selection and criteria for
15 soliciting projects.

16 And I thank you for the opportunity to appear
17 before you today.

18 CHAIR NICHOLS: Thank you. And thanks for the
19 good partnership on monitoring and public information. I
20 think this is a really good example for everybody

21 DR. WALLERSTEIN: This is being truly
22 comprehensively monitored, so that the public and both our
23 policy boards know exactly what the quality of the air is.

24 CHAIR NICHOLS: Thank you.

25 Brad Heavner from CalSEIA.

1 MR. HEAVNER: Good morning, Madam Chair and
2 members of the Board. Brad Heavner with CalSEIA,
3 California Solar Energy Industries Association. And thank
4 you very much for all of your hard work on this very
5 important issue.

6 Just very quickly. It's taken us a long time to
7 reach this level of dependence on natural gas, and it's
8 going to take us a long time to develop alternatives to
9 natural gas usage. And I appreciate the staff's comments
10 that some of the mitigation strategies are transformative
11 and will take time.

12 Solar water heating is an important way to reduce
13 our dependence on natural gas. Most people, when they
14 think of solar, think about electricity production from PV
15 panels, but there is, of course, the other white meat with
16 using the heat from the sun to heat water.

17 And looking at residential natural gas usage, CEC
18 reports that 44 percent of residential natural gas usage
19 is used to heat water, and also it is used in businesses
20 as well. So it's a very significant usage that we need to
21 develop alternatives for. And one reason I want to come
22 here this morning is to present some research by NREL,
23 National Renewable Energy Laboratories, that recently
24 compared different technological approaches to reducing
25 greenhouse gas emissions from heating water in homes and

1 businesses, comparing electrification with heat pumps to
2 solar water heating systems and other technologies.

3 And it found that solar water heating with a
4 backup of tankless hot water gas heating systems is the
5 most effective approach towards reducing greenhouse gas
6 emissions from water heating. And it is probably --
7 that's from a national perspective, and it probably
8 differs a bit location by location. We've asked them to
9 follow up and produce some actual numbers for some sample
10 cities around California. And they promise to do that
11 very shortly. So we will present that in further
12 comments.

13 I won't take the Board's time this morning to
14 describe why the CPUC-administered CSI thermal program has
15 been much less effective than it was intended to be by the
16 legislature. But we can follow up with staff and then
17 further comments to describe that, and the real
18 opportunity for action as part of this mitigation program
19 to really prove this industry.

20 Thank you very much.

21 CHAIR NICHOLS: Thank you very much.

22 Tim I'Connor from the Environmental Defense Fund.

23 MR. O'CONNOR: Good morning, Chair Nichols and
24 members of the Board. My name is Tim O'Connor. I'm the
25 California Director for Environmental Defense Fund's oil

1 and gas program.

2 Let me start by just putting a little bit of
3 context behind the magnitude and size of the issue before
4 you today. I think that the staff presentation did a
5 great job in setting the framework. But when we look at
6 the unprecedented nature of this emission, you can look at
7 it in terms of equivalencies. Essentially, it's the same
8 as burning a billion gallons of gasoline. Over the course
9 of four months, this one facility, this one leak put out
10 more climate change pollution on a short-term basis than
11 California's largest facility. It's put out climate
12 change pollution, which has resonated with people from
13 across the nation and from across the world waking up the
14 idea that oil and gas infrastructure, as it ages, does
15 have and can have a tremendous disbenefit to our climate
16 and undermine many of our progressive and very important
17 environmental programs.

18 I'd also like to put in context the work that the
19 State has done, in particular your agency, in addressing
20 and responding to this leak. Starting from the very top
21 from the Executive Officer Richard Corey's actions and to
22 get those airplanes in the area and to do those flyovers
23 and to develop initial estimates, it was the work of this
24 Board and the staff of this agency that really started the
25 process of a significant and serious engagement to address

1 this problem. And I don't think we'd be here today
2 without the quick thinking and action of the members of
3 your staff. And so for that, we thank you.

4 On the mitigation side is we hope to hear
5 eminently that the leak itself is permanently stemmed, and
6 we move into that mitigation, how to make this right, how
7 to make the atmosphere whole. There's a couple things
8 that really jump out to us. Number one is we have an
9 amount of methane that's been put into the air that is
10 going to be causing some very significant impacts, as Dr.
11 Wallerstein said, and as the staff report and the staff
12 presentation suggested, looking at this on a 20-year basis
13 is the right way to go.

14 However, if you look at it based on the AR-4, the
15 assessment report -- the fourth assessment report from the
16 IPCC, you see 20 percent lower emissions than actually
17 with the newest science, with the best science from AR-5
18 would demonstrate. The methane has a climate change
19 potency more than 84 times that of carbon dioxide, not the
20 72 number that the AR-4 estimate provides. And we
21 recommend that the staff use this opportunity to update
22 that estimate to go for full mitigation of the damages.

23 And secondly, look at the amount of methane
24 that's been put into the air, we think and we think that
25 the environmental community at large sees methane

1 pollution as needing to come out of the air. We have a
2 multitude of sources in California that contribute to our
3 methane burden.

4 The short-lived climate forestry plan says we
5 need to reduce about 20 million metric tons of carbon
6 dioxide equivalent pollution from methane sources. And I
7 would recommend that the Board go after methane and
8 include oil and gas production and sources in California
9 amongst the list of those that are considered.

10 Thank you very much.

11 CHAIR NICHOLS: Thanks, Tim.

12 Lastly, we have Nathan Begtsson PG&E.

13 MR. BEGTSSON: Good morning, Board members. It
14 is a pleasure to introduce myself to you all for the first
15 time in place of Matt Plummer who has gone on to focus
16 primarily on the bioenergy and tree mortality issue. Good
17 morning.

18 I'll just say that we appreciate staff's
19 presentation today, and that PG&E is working closely with
20 the ARB on the revised oil and gas regulation, and also
21 working with DOGGR to comply with the emergency regs. We
22 already are -- have complied with four of the six, and
23 will be in compliance with the additional two very
24 shortly.

25 And with that, I'll cede the rest of my time.

1 Thank you.

2 CHAIR NICHOLS: Thank you. Well, we can bring
3 this back to the Board then. As you all know, there's no
4 action to be taken today, but I know that Board members
5 have been following this episode with great interest, and
6 will have some thoughts that they want to contribute. I
7 would just start out by saying in the -- particularly
8 because of the focus on the future, which has
9 characterized a lot of our efforts here to date that I had
10 an opportunity to meet with the DOE, Department of Energy
11 Secretary Ernie Moniz in Los Angeles earlier this week,
12 and to also participate in a round table with Mayor
13 Garcetti and local members of Congress and the
14 legislature, et cetera, who are all intensely interested.

15 And there is certainly no shortage of ideas or
16 approaches to -- how to mitigate or, frankly, how to take
17 advantage of the potential for having a significant amount
18 of money to spend to do something about methane. And
19 there's nothing at all inappropriate about that. It's, I
20 think, important that we look upon this in a sense as an
21 opportunity to do as much good as we can and to
22 demonstrate our ability to handle it.

23 But the point that Secretary Moniz made, which I
24 just want to leave with people as kind of a part of their
25 thinking is that what at Aliso Canyon is a result of aging

1 infrastructure. To date, we have no reason to believe
2 that anybody did anything wrong. The site had been
3 evaluated. They were doing their monitoring on the basis
4 that it had been approved by agencies that are responsible
5 for overseeing these things. Clearly, we know we have a
6 deficit in terms of regulatory oversight of these kinds of
7 facilities, and that is being addressed and will be
8 addressed for the future.

9 But the bottom line is that this kind of leak or
10 fracture or episode, whatever you want to call it could
11 happen at any time, essentially in any place where we have
12 similarly aged infrastructure in the State. And there is
13 no known methodology for going out and surveying and
14 saying something is about to happen. In other words, you
15 can detect a leak once it starts, you can see a fracture,
16 you can see something broken if you're monitoring in a
17 regular way, but the idea that you can anticipate it with
18 any precision at all, that in any one place something like
19 this will happen once things start to go wrong is at
20 least, as far as we know at the moment, has no validity to
21 it.

22 So in thinking ahead, the point about reducing
23 reliance, but also about how we -- how we do a better job
24 in the future of addressing this aging infrastructure and
25 the need to invest in it is going to be very important. I

1 just want to -- that may help to put things a little bit
2 in perspective.

3 I'm just going to start down at this end, and
4 move from one end to the other. So I'll start with Dr.
5 Balmes.

6 BOARD MEMBER BALMES: Thank you, Chair Nichols.

7 Well, I appreciate -- well, first off, I
8 appreciate everything that the multiple agencies have done
9 to try to monitor and mitigate this environmental
10 disaster.

11 So that said, I totally agree with you about the
12 aging infrastructure issue. But given that there's no way
13 to tell whether underground storage of natural gas
14 facilities are intact or not, that would question whether
15 we're even, you know, using these facilities in the first
16 place. And so we're obviously going to be using natural
17 gas for the foreseeable future as a cleaner type of fuel
18 source than many others.

19 So I think we really have to consider a better
20 way to store natural gas than old oil wells, where we
21 don't know if they're going to leak or not.

22 So that's number one.

23 Number two, I appreciate Dr. Wallerstein's
24 concern about the Porter Ranch community, which has been
25 heavily impacted by this disaster. And I've been

1 interviewed several times by reporters about the health
2 consequences of the exposure. But the -- his statement
3 about trying to have the mitigation efforts be in the
4 Porter Ranch community, I just think it's too small of an
5 area for us to be concentrating mitigations, that really
6 the problem is mostly an environmental one, rather than a
7 health one. Not to minimize the health concerns of the
8 population. I fully agree with efforts being made to
9 study the long-term effects of the compounds that have
10 been released, but the community -- and the community, you
11 know, has legitimate concerns. I'm not trying to minimize
12 that. But I think that mitigation efforts have to be at a
13 broader scale than the Porter Ranch area.

14 CHAIR NICHOLS: Thank you.

15 Mr. De La Torre.

16 BOARD MEMBER DE LA TORRE: I just wanted to
17 clarify something. There was a press conference last week
18 by one of our elected officials who was demanding ongoing
19 independent monitoring of the facilities. And to my mind,
20 we're the ones who are doing the monitoring. It isn't
21 DOGGR. It isn't any other entity. Am I missing something
22 with regard to that claim or that demand? I mean, we are
23 the independent authority that's doing the monitoring. Am
24 I wrong on that?

25 CHAIR NICHOLS: We are an independent authority.

1 We don't -- you know, we don't deal with this facility on
2 a day-to-day basis. We're certainly not part of their
3 operation. I believe that was a comment that was made in
4 response to a meeting with the residents of the area who
5 were expressing their profound lack of trust in all
6 agencies, all authorities, and everybody else because of
7 what they've been through, and understandably was looking
8 for some solutions.

9 BOARD MEMBER DE LA TORRE: Well, her claim was
10 specifically that DOGGR should not. And DOGGR may or may
11 not have been doing monitoring, but we've been doing it.

12 CHAIR NICHOLS: Yeah.

13 BOARD MEMBER DE LA TORRE: And so we are the
14 independent authority in that context.

15 CHAIR NICHOLS: We're the independent monitors.
16 Yes, that's right. I don't -- I certainly didn't take
17 that as a request that we should be removed or replaced.
18 We've talked with U.S. EPA and we've talked with the
19 Senator's office since then. And I think -- I think
20 things are fine now.

21 BOARD MEMBER DE LA TORRE: Clear now?

22 CHAIR NICHOLS: Things are fine.

23 BOARD MEMBER DE LA TORRE: Good.

24 CHAIR NICHOLS: Any other comments on this side?

25 Ms. Riordan.

1 BOARD MEMBER RIORDAN: Yes. Madam Chair, just to
2 underscore the points that you raised, I think our focus
3 certainly ought to be that we prevent this from happening
4 again. And there are obviously interests in mitigation.
5 But the first and most important thing in my mind is let's
6 just not have this happen again. What can we do to try
7 to -- you know, the community that was affected has
8 suffered terribly, but -- and the community State as a
9 whole will suffer as well. But if we can prevent it from
10 happening again, we've gone a long way. So that's --

11 CHAIR NICHOLS: Thank you.

12 Supervisor Gioia.

13 BOARD MEMBER GIOIA: Thanks for the report. And
14 I want to start by saying, I understand, and I think
15 Director De La Torre made a comment about distrust. And I
16 think as we all know, I think distrust is a natural sort
17 of reaction people have when something like this happens.
18 And living and representing a community like Richmond,
19 that has a refinery, whenever there is an accident at that
20 refinery, I think there's often concern about agencies
21 that regulate. Sometimes that concern is legitimate,
22 sometimes that concern is maybe not as legitimate. But I
23 think we always respect and understand that folks respond
24 that way, so -- and I think we appreciate that.

25 And I agree, I think that -- I know in the South

1 Coast letter that -- you know, the proposal is to try to
2 spend all -- to do all the mitigation near Porter Ranch or
3 in the South Coast. I agree with other's comments that
4 this is while I think projects will be identified in that
5 area, it's a statewide concern. It affects climate
6 change, so that the mitigation projects should be
7 statewide in scope.

8 However, I think it would make sense to think
9 about maybe applying the same kind of, you know, minimum
10 expenditure that -- for cap-and-trade, at least 25 percent
11 of the -- of cap-and-trade monies need to be -- need to
12 benefit disadvantaged communities. We can think about how
13 maybe we identify a minimum number dollar amount
14 associated with mitigation projects that also achieve
15 these co-benefits, and benefit disadvantaged communities.
16 I'd like us to think about that and for maybe you to come
17 back on that.

18 And I think your slide 25 sort of identified the
19 other relevant factors of co-benefits, transformational
20 qualities, and the benefits here, but maybe formalizing
21 that more so it's understood who's eligible and how the
22 money will get distributed. I'm not even sure the scale
23 of what we're talking about.

24 And on the last point of prevention, you know,
25 having gone through years of sort of dealing with the

1 cause of the Chevron fire in Richmond and the U.S.
2 Chemical Safety Board, you know -- you know, we have our
3 own regulation in Contra Costa that regulates safety at
4 the four refineries there. We've learned that
5 preventative maintenance, you know, is successful at
6 avoiding or minimizing accidents down the road. In the
7 case of the Chevron fire, it was -- right, it was some --
8 it was piping that maybe had not been replaced when it
9 should have been replaced based on an inspection schedule.

10 I don't know if this is well beyond that. I
11 don't know this field, but does it make sense to think
12 about that issue that, you know, there are practices in
13 safety culture in companies that look at how we identify
14 maintenance schedules, and therefore minimize again the
15 accidents that happen. I think the U.S. Chemical Safety
16 Board concluded in the Chevron fire that, gee, had there
17 been -- had Chevron followed some practices and replaced
18 the pipe earlier that that fire most likely would not have
19 happened. So I think can we equate that to looking at
20 that issue? I'd be interested to learn more about that.

21 CHAIR NICHOLS: Mr. Corey, you might want to
22 comment on what the rule-making process is actually
23 looking at.

24 EXECUTIVE OFFICER COREY: Yeah, I think I'm going
25 to -- and I think it will be useful, there's a few other

1 elements in the Governor's declaration that would be
2 important to point out that I'm going to cover.

3 The first is that the declaration required that a
4 root cause analysis be done by an independent contractor
5 that has been selected, and by DOGGR, I think the few
6 recommended by a gas company and one was selected. That
7 analysis, as well as additional data provided by the gas
8 company, are also going to be independently reviewed by a
9 panel of the National Labs that have been established. So
10 Lawrence Berkeley, Lawrence Livermore, and Sandia have
11 been pulled into this process to do this evaluation,
12 because as Supervisor Gioia points out, it's beyond the
13 questions that this Board is posing or beyond just Aliso
14 Canyon. They're the other natural gas storage facilities
15 in the State, as well, and having a clear understanding of
16 what happened and why and from an oversight mitigation
17 standpoint and what those actions can be is important.

18 SUPERVISOR GIOIA: Right.

19 EXECUTIVE OFFICER COREY: In addition, the
20 emergency regulations that DOGGR was directed to establish
21 required monitoring at each of the wellheads at all the
22 storage facilities in the State. Those regulations are
23 already effective now. In addition to that, it required
24 each of the natural gas facilities in the State to prepare
25 a risk mitigation plan, basically a risk assessment and

1 mitigation evacuation related plan that was triggered by
2 DOGGR's regulations. So the clock has started for
3 development of those plans by each of those agencies.

4 And DOGGR is working on its perm regulations, and
5 we're also working very closely with DOGGR on our oil and
6 gas regulations learning from what -- basically posing the
7 questions what can we learn from this experience to even
8 further strengthen the regulations that we were already
9 working on.

10 CHAIR NICHOLS: Thank you. I think one of the
11 things also that we learned -- this is not prevention per
12 se, but in terms of dealing with concerns that are now
13 obviously much broader than they were before -- we did
14 post the monitoring information from our monitors on a
15 real-time basis in a way that anyone could access it. And
16 that's not common and it requires a little extra effort.
17 And it may be that it will turn out that as time goes by
18 very few people will care, but the fact that somebody can,
19 if they want to, without having to write a letter or put
20 in a Public Records Act request, or whatever, just go and
21 get the raw data themselves and figure it out, I think is
22 a very important element going forward as well.

23 Other members of the Board who would like -- Ms.
24 Takvorian. Yes.

25 BOARD MEMBER TAKVORIAN: Thank you. And thank

1 you to the staff and to the agencies, South Coast, and
2 everyone who has really addressed this, responded really,
3 I think, in an impressive way. And I would agree with
4 Chair Nichols that it's very important to have this
5 monitoring data out there, both for the immediate
6 information that people need as well as for long-term
7 analysis.

8 So my perspective, and what I'd like to address,
9 is both on Ms. Riordan's attention to prevention. And if
10 I understood correctly, what I heard was that all kill
11 attempts were unsuccessful, but these were standard
12 industrial practices. So it brings into question what the
13 permitting process is and how these practices were allowed
14 to be part of the permit review, and were allowed to be
15 accepted as those that would mitigate a leak.

16 So obviously, the time has passed for this
17 particular facility, but it isn't passed for all the other
18 facilities that are natural gas facilities out there, and
19 taking it further for other industrial facilities. I
20 think it really brings into question what we -- what we
21 accept as standard industrial practice for mitigating any
22 kind of an emergency like this one.

23 So I would love to see us look at that a little
24 more carefully, because these are exactly the kinds of
25 things that happen in many communities, but often in

1 environmental justice communities, because they're
2 adjacent to industrial facilities and industrial fields.
3 So I think it's really important to be looking at it,
4 because this kind of accident, as you all know, can
5 devastate a community.

6 The other question I have is what about long-term
7 monitoring? We're talking about long-term air monitoring,
8 what about the health monitoring? And I am interested in
9 what the chronic health effects might be for this kind of
10 exposure. And I hope that that's going to be something
11 that we can look at over time.

12 Lastly, I guess I would just say in terms of
13 mitigation, that I think this -- that we really do have to
14 have a long view about this. Obviously, the impacted
15 community needs to be made whole, and there's going to be
16 a variety of ways that that will happen. But I also think
17 that some of the prevention practices and other kinds of
18 mitigation could go -- could be applied more broadly
19 across California.

20 Thank you.

21 CHAIR NICHOLS: Dr. Sherriffs.

22 BOARD MEMBER SHERRIFFS: Thank you. I have
23 laryngitis, so I'll be signing most of my comments
24 today --

25 (Laughter.)

1 BOARD MEMBER SHERRIFFS: -- and be brief.

2 Just a question. So odor detection, what's the
3 instrument for odor detection and how often is it done?
4 And it certainly stands to reason that the older the
5 infrastructure, the more frequently you have to do it.
6 And I would certainly concur with the previous comments
7 about, boy, how soon do you try a relief well when the
8 kill effort hasn't worked and you have a leak of such
9 magnitude.

10 CHAIR NICHOLS: Good question. Who is the best
11 to respond to that? I mean, we know that the detection
12 level for mercaptan is lower than any device that they can
13 put out there to measure it. And that's why they use it
14 in the first place is because it's so unpleasant that
15 people respond very quickly. It's just because it's so
16 awful.

17 RESEARCH PLANNING, ADMINISTRATION & EMISSION
18 MITIGATION BRANCH CHIEF HERNER: Right, that is correct.
19 The standard method detection limit using scientific
20 equipment is about 5 ppb. And supposedly noses can smell
21 Mercaptans at 0.1 ppb. So the nose really is the best
22 indicator of whether or not you have --

23 BOARD MEMBER SHERRIFFS: So we're all equipped.

24 RESEARCH PLANNING, ADMINISTRATION & EMISSION

25 MITIGATION BRANCH CHIEF HERNER: Yes, very much so.

1 BOARD MEMBER SHERRIFFS: And how often is it
2 being inspected?

3 (Laughter.)

4 RESEARCH PLANNING, ADMINISTRATION & EMISSION
5 MITIGATION BRANCH CHIEF HERNER: Well, every time any
6 resident takes a breath, I suppose.

7 (Laughter.)

8 CHAIR NICHOLS: I think there are differences in
9 sensitivity, but not that much.

10 RESEARCH PLANNING, ADMINISTRATION & EMISSION
11 MITIGATION BRANCH CHIEF HERNER: There are.

12 CHAIR NICHOLS: Not too much.

13 BOARD MEMBER BALMES: And I just would point
14 that --

15 CHAIR NICHOLS: Yes, Dr. Balmes.

16 BOARD MEMBER BALMES: -- what we don't know are
17 the long-term --

18 CHAIR NICHOLS: Yes, correct.

19 BOARD MEMBER BALMES: -- health effects of
20 mercaptan exposure, because it's so nasty, you know, in
21 terms of an odorant that really nobody has ever bothered
22 to really study long-term effects, because people aren't
23 usually wanting to stick around for long-term exposures.

24 CHAIR NICHOLS: All right.

25 BOARD MEMBER SHERRIFFS: I'm sorry, how frequent

1 was the monitoring? Is this random testing like drug
2 testing at the workplace or --

3 RESEARCH PLANNING, ADMINISTRATION & EMISSION
4 MITIGATION BRANCH CHIEF HERNER: Well, at the site, I know
5 that SoCalGas does a daily inspection on the field where
6 people drive around the entire field and cover it. And
7 indeed, that's also how the leak was initially determined
8 or found.

9 CHAIR NICHOLS: Having visited the site myself,
10 it's huge, and it's also very complicated. It's not a
11 field in any kind of normal sense. It's folded and
12 fractured, and, you know, parts of it are hidden away in
13 the mountains. And so it's really the neighbors
14 themselves I think were the ones whose complaints finally
15 forced the company to go out there and find this leak. I
16 don't believe that it was detected as a result of their
17 routine evaluation. Although, they have people out there
18 all the time, all the time.

19 I also want to say one thing about this local
20 versus non-local issue, because I had an opportunity to
21 have dinner last night with a group of legislators, one of
22 whom represents the community that has been most impacted
23 by another of our famous Southern California waste sites,
24 the exide lead -- former lead battery site, who, you know,
25 was expressing a fair amount of indignation about the

1 amount of attention that the Porter Ranch community had
2 received relative to the community that lives around exide
3 site.

4 And, you know, we were commenting on why. She
5 wasn't -- she wasn't bitter about it. She, in fact, had
6 been pushing hard to get some funding for remediation and
7 attention to the community's concerns, and had been
8 successful. So, in that sense, this is a -- it was a
9 victory for an environmental justice concern.

10 But it is a fact that when you're dealing with a
11 large regulated utility like the Southern California Gas
12 Company, it's relatively easy to force them to do things,
13 to put it bluntly. I mean, the State has many regulatory
14 handles and they -- and they are using them, even if they
15 haven't always used them as effectively as they could.

16 Whereas, you know, with this other facility, and
17 there are plenty of industrial facilities out there, where
18 it's a company that's not extensively regulated, not a
19 public utility, maybe in certain instances, as was the
20 case with Exide, not even financially liable, and that was
21 part of the reason why they were engaging in some of the
22 bad practices that they were, then we seemed to have a
23 much harder time, you know, dealing with the community
24 concerns.

25 So it's just -- it's an interesting lesson, I

1 guess. And hopefully, the attention and concern that were
2 given to the Porter Ranch people, including, you know,
3 voluntary relocation, and placing air filters in
4 everybody's homes that wanted them, and so forth, could be
5 a model in other situations as well. So that -- I think
6 in that sense we may also learn something from this
7 episode as well.

8 Without further ado, I think we should
9 probably -- oh, I'm sorry. Excuse me, Mr. Florez, I
10 didn't see you. Senator.

11 BOARD MEMBER FLOREZ: Thank you, Madam Chair.
12 I'm new at the end, so I get it.

13 CHAIR NICHOLS: There you go.

14 BOARD MEMBER FLOREZ: Just a couple of comments,
15 and maybe a couple of questions that have been mentioned.
16 I think my view from this perspective would probably be,
17 although the Secretary came out and we all talked about
18 the aging infrastructure, I think if we fall into that
19 line of reasoning, I think we're going to be here a lot,
20 and a lot more often. And I don't have to -- I mean,
21 obviously, you guys know about San Bruno, and we have the
22 same argument in Flint, you know, aging infrastructure
23 lead, aging infrastructure gas leaks, explosions.

24 And I think I agree with the Chair that we -- you
25 know, you're never going to be able to hence be ahead of

1 that. However, I do think from the Board's perspective,
2 as has been mentioned I think by Diane, in the permitting
3 aspect of this, I think it's contingent on us to actually
4 look at all of these items piece by piece. You know, and
5 I -- maybe go back to just safety valves, right? Right
6 now, you have to -- I think, it's 300 feet or something
7 from a community. That's the rule, but I'm not sure
8 whether or not we shouldn't have safety valves more places
9 more often, and whether or not this shouldn't be checked
10 more consistently.

11 You know, as part of the regulatory process, the
12 overall thought for me, Madam Chair, is really the
13 consequences of the damage done. And I think there's
14 still an issue about the long-term mitigation. I was very
15 interested, Mr. Graham, to hear you talk about the two
16 paths. You know, the one is the trade-offs, I think, as
17 you mentioned them. And I think I'm really interested and
18 the Board hopefully can get more from you on what those
19 trade-offs really are.

20 I know Mr. Wallerstein talked about the
21 comprehensive aspect of this, the ongoing long-term
22 consequences of the health effects after the fact. These
23 consequences to me seem to point to the fact that we need
24 more information on each of those paths. And more
25 importantly, as you mentioned, Mr. Brown, some take longer

1 time frames to implement. And I think it would be
2 important to know what are those time frames, how long
3 will it take to actually get full mitigation for the
4 consequence of the damage done?

5 And I am very interested in listening to Mr.
6 Wallerstein, at some point in time, along with staff talk
7 about, you know, the long-term aspect and the funding
8 portions to make this whole for this community. I think
9 it's -- obviously, we -- we're going to learn a lot from
10 this, but I think as we're dealing with the aftermath, I
11 think it's important for us to kind of set some standards,
12 look at our regular -- you know, our permitting processes,
13 how some of this stuff could actually be -- we could be
14 ahead of it a bit. And obviously, there's a whole -- I
15 think there's eight investigations, Madam Chair, right now
16 ongoing into this issue.

17 Each are going to point to various aspects of
18 where this should go. I think from CARB's perspective, it
19 seems to me, you know, beyond the disclosure and the
20 requirements of equipment, procedures, those types of
21 things, we really -- long-term I think the question for
22 most folks out there is, you know, when is it safe again,
23 and ultimately, who measures that, and when can we feel
24 comfortable in that answer?

25 And so I hope as we move forward -- I want to

1 congratulate staff for a very good thorough presentations.
2 However, I'm still going to be more interested in
3 listening to the two paths, the time frames for those
4 paths, and what full mitigation really means as we move
5 forward. So that's -- hopefully, we can continue to get
6 those updates, Madam Chair.

7 CHAIR NICHOLS: Great. Thank you very much.

8 I think we will shift now to the second item on
9 the agenda, which is the report from the Office of the
10 Ombudsman. So we have a switch of personnel here.

11 I'll just start out briefly introducing this
12 item. La Ronda Bowen who is our Ombudsman has been
13 working very diligently to use her office, not only within
14 California, but her recognition as a national and local
15 leader on small business and environmental issues in a way
16 that would make sure that the voices of California, small
17 business owners, are heard early in our policy discussions
18 to increase the opportunities for the Air Resources Board
19 to provide the tools that small businesses need to reduce
20 their emissions, and by making ARB, at all levels, more
21 proactive on issues that affect small business, including
22 looking for opportunities where small businesses can
23 actually play a role in implementing regulations that will
24 be economically beneficial for them and for us as well.

25 So in today's presentation, La Ronda is going to

1 talk about the priorities for 2016 for the ombudsman. And
2 we are going to hear from also the co-chairs of her Small
3 Business Opportunities Advisory Panel, which will be a
4 first for us. So welcome to Mr. Abbs and to Mr.
5 McCaskill. I should have remembered that name, because my
6 daughter works for Senator McCaskill from Missouri, so
7 it's a name that we hear a lot.

8 MR. McCASKILL: No relation, unfortunately.

9 CHAIR NICHOLS: Anyway, welcome to both of you,
10 and -- but before we hear from you, we'll hear from Mr.
11 Corey and then I believe La Ronda has a presentation as
12 well.

13 Okay. Mr. Corey.

14 (Thereupon an overhead presentation was
15 presented as follows.)

16 EXECUTIVE OFFICER COREY: Yes. Thank you, Chair.
17 So very briefly, it's particularly important to engage
18 small business given the broad and ambitious agenda I
19 outlined before the Board last month. And today, as
20 noted, La Ronda will introduce to you her co-chairs for
21 the Small Business Advisory Panel, Alan Abbs, the
22 Executive Director of the California Air Pollution Control
23 Officers Association, and Richard McCaskill, President and
24 CEO of Recon Recycling, a California small business in San
25 Diego.

1 She'll also share highlights from 2015, and how
2 she will in 2016 continue to focus on helping small
3 business become even more effective at reducing air
4 pollution and greenhouse gas emissions while thriving
5 economically.

6 And with that, La Ronda.

7 OMBUDSMAN BOWEN: Thank you, Chair Nichols and
8 Executive Officer Corey. I'd like to welcome the new
9 Board members. Happy to meet you and look forward to
10 working with you.

11 I want to thank the Board for your continued
12 support of the ombudsman's work during 2015. Our office
13 is a creation of the 1990 Clean Air Act Amendments and the
14 California Government Code. It's a place where ARB
15 policies and regulations intersect with a wide array of
16 stakeholders, including other public entities and private
17 citizens, students and small business owners, non-profit
18 organizations and start-up companies.

19 In the course of a year, we hear questions,
20 complaints, suggestions, and compliments about ARB
21 programs. Where possible, we respond by connecting people
22 with information and resources that address the issues and
23 strengthen our ability to reduce emissions while
24 maintaining a healthy economy.

25 In his January presentation, as Mr. Corey said,

1 he identified major ARB goals. He identified them in the
2 areas of climate change, criteria emission reduction, and
3 exposure -- reduced exposure to air toxics. But he also
4 identified a golden key to meeting those challenges, and
5 that was collaboration.

6 Today's report will focus on the year 2015
7 programs your ombudsman implemented to accelerate the
8 attainment of ARB's goals through collaborative efforts,
9 and we expect to continue and strengthen these in 2016.

10 In recognition of the critical role that
11 California's 3.6 million small businesses have in our
12 State environmental progress and economic strength, we
13 will focus today on this sector.

14 --o0o--

15 OMBUDSMAN BOWEN: I will briefly review the
16 ombudsman's mission and introduce the small business and
17 CAPCOA co-chairs for the Small Business Opportunities
18 Advisory Panel, and you'll hear brief remarks on the 2015
19 goals of SBOAP, and how they mesh with those of ARB and
20 the air districts.

21 Next, I'll give you a quick overview of how the
22 ombudsman team is aligned to serve California's
23 stakeholders, then share examples of our work to support
24 and implement ARB's policies and goals through compliance
25 assistance, engagement, and customer service in ARB

1 priority areas.

2 I'll close with our goals for engaging
3 stakeholders to support the Executive Officer's 2016
4 priorities.

5 --o0o--

6 OMBUDSMAN BOWEN: Our mission -- the mission of
7 the Office of the Ombudsman is to support CARB staff in
8 achieving federal and State clean air objectives, while
9 fully engaging California's small business owners and
10 entrepreneurs along with other stakeholders. These
11 perspectives are invaluable to crafting efficient,
12 effective, and enforceable regulations.

13 --o0o--

14 OMBUDSMAN BOWEN: Ombudsman has four main tools
15 to support the ARB in achieving the 2016 program
16 priorities. These are: Outreach to existing and new
17 stakeholders, engagement with internal and external
18 stakeholders, compliance assistance to help regulated
19 entities implement programs and rules designed to achieve
20 our goals to protect public health, and collaboration with
21 through an ever-increasing resource network to help ensure
22 effective communication and real knowledge transfer. With
23 these tools, we can amass the knowledge and resources
24 needed to meet the big challenges ahead.

25 --o0o--

1 OMBUDSMAN BOWEN: California's innovative small
2 business owners are critical links to our continued
3 environmental and public -- environmental and economic
4 health, because many small businesses see the opportunity
5 in environmental policies and regulations, and because ARB
6 sees great opportunity to enhance our success by engaging
7 small businesses along with air districts, we call the
8 group the Small Business Opportunities Advisory Panel, or
9 SBOAP. It's a small business panel that is required by
10 the Clean Air Act.

11 It consists of 10 regulated small business owners
12 and operators and three agency representatives.
13 Businesses currently represented include food processing,
14 automotive sales, trucking, furniture manufacturing,
15 construction, traditional fuel distribution, and
16 waste-to-energy consulting. Representatives are
17 geographically dispersed from San Diego to Fort Bragg.

18 The SBOAP meets quarterly. Members may attend
19 in-person, by phone, or through the web. Three co-chairs,
20 Air Resources Board, small business, and the CAPCOA,
21 represent policy, regulatory, and implementation
22 perspectives.

23 The SBOAP is working with ARB to sure that small
24 business owner perspectives and knowledge are more
25 effectively communicated and integrated into ARB's

1 thinking. They have provided input on policies,
2 regulations, compliance assistance, rule implementation,
3 and enforcement effectiveness. ARB Board members, senior,
4 and program staff have engaged in dialogue with the SBOAP
5 on the scoping plan update, truck and bus, low-carbon fuel
6 standard, enforcement, economic analysis, air toxics, and
7 compliance initiatives.

8 --o0o--

9 OMBUDSMAN BOWEN: The 2015 SBOAP meeting at
10 Hughson Nut Company included a tour of an almond
11 processing facility. From these photos, you can see
12 several ARB policies and programs in place along with
13 those of other agencies. Board Member Eisenhut was with
14 us for that tour. And I believe he counted several
15 policies in this panel of five photos.

16 You want to identify them.

17 BOARD MEMBER EISENHUT: I take it that was an
18 invitation to speak.

19 (Laughter.)

20 BOARD MEMBER EISENHUT: I'll just run through in
21 order around the pictures. In the top left, I see a group
22 with -- you wouldn't notice probably, unless you had a
23 beard, but everybody has got a hairnet on, an indication
24 to me of a well-run and implemented food safety program,
25 not so much an air issue.

1 In the top right picture, we've got a trailers,
2 not so much an issue, but we also had a pile of byproduct,
3 which is a -- technically almond hulls, which is used as
4 cattle feed, but that -- there are a number of fugitive
5 air issues surrounding the both the harvest of that crop
6 and the off-farm -- the first off-farm, associated with
7 that crop. Fugitive air is a major issue for the
8 industry.

9 Bottom left, we've got an electric -- what
10 appears to be an electric car, which is implemented by
11 that company. Also, just by the way, we've got Cal/OSHA
12 approved parking zones and cones.

13 Bottom center, what appears to be a port truck
14 and a forklift, both of which are of interest to us. And
15 bottom right, trailers which don't have the tractor with
16 them, but are regulated -- the tractor that pulls that
17 trailer are regulated under truck and bus. And the
18 left-hand area there is, what we call -- it is part of the
19 dust control operation for that enterprise.

20 So those are just some of the ways that that
21 industry would be interfaced with that.

22 OMBUDSMAN BOWEN: I think you passed the test.

23 Thank you.

24 Next, I will --

25 CHAIR NICHOLS: It was clever of you to enlist a

1 Board member as part of your presentation. That's a new
2 one.

3 (Laughter.)

4 OMBUDSMAN BOWEN: A lot of new things.

5 Next, I'll introduce the SBOAP co-chairs. This
6 is also a new thing. I will introduce them individually.
7 They'll take about three minutes or so to share their
8 thoughts on how increased awareness and collaboration can
9 effectively assist ARB in 2016. They will be available to
10 respond to Board member comments after they both made
11 their remarks.

12 On thing that did become clear in our discussions
13 last year were the similar challenges facing small
14 businesses, rural districts and disadvantaged communities,
15 in terms of awareness of regulatory policies, knowledge,
16 resources and capacity for effective engagement. An
17 opportunity in 2016 is exploring common tools that might
18 work for each of these stakeholder groups.

19 --o0o--

20 OMBUDSMAN BOWEN: I'm going to introduce Richard
21 McCaskill. He is the small business co-chair. In 2012,
22 when Mr. McCaskill and his wife Diana a CoolCalifornia
23 small business award for their San Diego based recycling
24 facility, Recon Recycling, Mr. McCaskill had three
25 employees. How now has eight.

1 He is a former Gulf War Marine Special Forces
2 Paratrooper. Mr. McCaskill is committed to protecting
3 both people and the environment. He uses his sustainable
4 businesses practices, including a natural gas forklift,
5 energy efficient lighting, and electronic record keeping
6 to reduce costs and minimize his environmental footprint.
7 He is committed to educating small business owners about
8 compliance and policymakers about small business.

9 Richard.

10 MR. McCASKILL: Good morning. I want to talk
11 about some key areas of focus for 2016.

12 --o0o--

13 MR. McCASKILL: Mutual awareness is our primary
14 banner, but under that, what agency challenges do we face,
15 what actions will affect small business, how can small
16 business expertise assist in the process of moving
17 forward, how can burdens be reduced, what is the process
18 of small business engagement overall?

19 The Small Business Opportunity Advisory Panel has
20 its quarterly meeting -- had its first quarterly meeting
21 in 2014. Since that time, I feel that the group has
22 become a team. We are committed to serving the Air
23 Resources Board, as well as California small businesses.

24 During 2015, after many hours of discussion and
25 conversation about what we need from the agencies and why

1 there's a high level of disengagement in regulators, we
2 concluded that our mutual lack of knowledge of each other
3 was a significant barrier to constructive engagement.

4 At the end of 2015, we decided to focus on
5 communication, outreach, and engagement. It was Alan's
6 suggestion that we narrow the three down to one key
7 concept, awareness. Awareness will be our focus for 2016.
8 If there are areas of Air Resources Board's 2016 agenda
9 where the Board would especially like small business
10 input, please let us know. We'd be happy to serve in any
11 way that we could.

12 As shown on this slide, some of the things we
13 need to understand are: Again, what the agency challenges
14 are, which agency actions will affect small businesses,
15 what burdens those actions might impose and how we can
16 recuse them. Other questions that I expect to come up
17 include which programs are likely to have the most impact
18 on California's small businesses, where in those programs
19 can Small Business Opportunity Advisory Panel focus its
20 energy to develop an initial process for small business
21 engagement and mutual awareness, how do we promote the
22 participation of small business in the development of
23 regulations impacting small businesses, how do we build
24 appropriate relationships with agency staff?

25 Fortunately, the Small Business Opportunity

1 Advisory Panel will not be starting from ground zero. Our
2 dialogue with this Board, Ms. Bowen and your staff, has
3 been constructive and fruitful. With Alan, as a CAPCOA
4 co-chair, I'm sure we'll be able to continue to strengthen
5 our connection with air districts. As we work from
6 questions to answers, we will keep your ombudsman and
7 staff informed.

8 Thank you again for the opportunity to share, and
9 to serve with the Small Business Opportunity Advisory
10 Panel and with the small business perspective.

11 La Ronda.

12 OMBUDSMAN BOWEN: Thank you, Richard. I know
13 that he also wanted to thank and welcome the Board members
14 and Chair Nichols, all who have participated along with
15 our staff, our senior staff, for participating over the
16 past two years in some of the meetings of the small
17 business panel.

18 --o0o--

19 OMBUDSMAN BOWEN: It's a pleasure to welcome Alan
20 Abbs as the CAPCOA co-chair for the SBOAP. But before
21 introducing him, I'd like to thank former CAPCOA co-chair
22 Larry Greene, the Air Pollution Control Officer for the
23 Sacramento Metropolitan Air District.

24 At the end of 2015, Larry Greene relinquished his
25 co-chair responsibilities to Alan, the new Executive

1 Director of CAPCOA. The entire SBOAP appreciates Larry's
2 support during the first two years and welcomes Alan as
3 our new CAPCOA representative. Larry helped really lay a
4 solid foundation.

5 Before becoming the new executive director for
6 the California Air Pollution Control Officers Association,
7 Alan Abbs served as the air director for Tehama County Air
8 Pollution Control District. Alan will share his
9 perspectives on rural air districts, small business, and
10 addressing the climate and other challenges ahead.

11 Alan.

12 CAPCOA EXECUTIVE DIRECTOR ABBS: Thank you, La
13 Ronda and thank you, Chair Nichols, for allowing me the
14 opportunity to be here today. And before I get started,
15 I'd like to also acknowledge Larry Greene for the work
16 that he did as a member of the advisory panel in the past.
17 I'm a relatively new member to the panel, but I'm looking
18 forward to serving. And I think Richard and I are going
19 to get along great, because not only -- not only do I have
20 a little bit of waste management experience in my
21 background, but I was also in the Amphibious Navy, so
22 we've got a lot to share.

23 (Laughter.)

24 CAPCOA EXECUTIVE DIRECTOR ABBS: Who knows, maybe
25 I delivered him to shore one day. I don't know.

1 (Laughter.)

2 CAPCOA EXECUTIVE DIRECTOR ABBS: So I sat down
3 with La Ronda a couple months ago and -- to get my
4 initiation into the advisory panel. And we talked a
5 little bit about the small business perspective. And I
6 talked with her a little bit about my perspective on rural
7 air districts and work that I had done with the rural air
8 districts. And La Ronda told me, you know, a lot of the
9 problems that rural air districts have seem to be similar
10 to issues that small businesses have.

11 And so that sort of generated this presentation
12 that I made to the panel. And La Ronda suggested that I
13 provide a brief introduction to the Board as well.

14 Operation of small businesses and air districts
15 have many things in common. And when I talk about rural
16 air districts, I'm talking about air districts that
17 represent about half of the geographic area of California
18 that have about -- a little over 100 employees to manage
19 that entire area.

20 Because of this, I think that synergistic
21 solutions can be developed especially in the area of
22 awareness between air districts, small business owners,
23 and the Air Resources Board. At a recent meeting of the
24 SBOAP, I talked a little bit about the challenges of rural
25 air districts and how an organization like CAPCOA can

1 provide support. And I'd like to briefly highlight some
2 of the points I made during that meeting.

3 All air districts implement federal, State, and
4 local air quality regulations. And the air districts are
5 key to serving their local communities. They know the
6 local players, they interface with local industries, they
7 administer incentive programs, they assist local
8 governments, and they conduct localized outreach.

9 Like businesses, large and small districts have
10 varying levels of sophistication, sources of pollution,
11 and personnel and fiscal resources. CAPCOA provides a
12 resource for coordination and collaboration between air
13 districts and tries to tie in the interests of all the air
14 districts in a coherent way.

15 As examples, we developed white papers and
16 guidance documents to help local air districts in areas
17 such as air toxics and ways to address greenhouse gases at
18 the local level. We coordinate efforts to request funds
19 for statewide programs to reduce emissions. We apply for
20 grant funding on behalf of districts and sometimes
21 administer the funding on their behalf. We develop public
22 outreach materials, and we provide a forum for
23 collaboration where districts, regardless of their size,
24 can provide service, have meetings for planning,
25 legislation, outreach, and further support of rural

1 counties.

2 As I mentioned earlier, rural air districts have
3 challenges. Typical rural districts have a responsibility
4 for a large geographic area using only a small staff.
5 Sometimes field activities and travel can occupy most of a
6 task -- most of a day for a single person or an entire air
7 district.

8 And examples of this, you think about some of the
9 wildfires that happened in the past couple of years, a lot
10 of those happened in rural air districts, Lake County,
11 Calaveras County, the North Coast Air District. When
12 something like this happens, it takes an entire staff --
13 until the fire is done and put out, the entire staff of
14 that air district can be focused on nothing but that wild
15 fire and its impacts to the public and providing
16 information.

17 Staff have to learn about everything, different
18 types of stationary and portable sources, incentive
19 programs, burn programs, they act as a local resource for
20 information on statewide regulations, and they're familiar
21 with the local methods of outreach. Their funding relies
22 on many small permits like ag engines, rather than large
23 sources with the -- resulting in a larger workload and
24 less stable sources of funding.

25 And that, in turn, means more small sources

1 equals more customers and no economies of scale to do the
2 daily job of the district. Not only does the daily work
3 include compliance checking of permitted sources, but
4 there's also other tasks that rural air districts that a
5 single person might do on any given day, engineering
6 reviews, air toxic reduction efforts, public outreach on
7 impact to public health, climate change activities,
8 operation and maintenance of air quality monitors,
9 participating in the local planning process, working with
10 public officials, and helping local emission reduction
11 projects with grant funding.

12 For small districts, this can be particularly
13 challenging. And when districts do get extra sources of
14 funding, a lot of times it only funds a fraction of an
15 employee, and so districts end up cobbling together many
16 sources of funding just to get that one person to do all
17 the extra work of the district.

18 Dispersed audience communication is challenging.
19 When you look at some of these districts, they might have
20 one or two employees for several thousand square miles of
21 territory. And so it's not as simple nowadays as -- for
22 these districts as putting something in the local
23 newspaper or being on the local TV station, because that
24 might only get a fraction of the audience that the
25 district needs to get as part of their program.

1 It can be difficult to keep track of local and
2 State and federal issues, and developing comments that are
3 reflective of your local constituents and sources. And so
4 that's one of the things that CAPCOA tries to do is bridge
5 the gap with information sharing, meeting attendance and
6 development of comments to try to reflect local
7 perspectives when possible.

8 Small districts spend a lot of time regulating
9 small businesses, but many of these small businesses are
10 actually big in their local communities. And so as an
11 example, we're talking about four pump gas stations that
12 might be the only gas station in 50 or 60 miles for that
13 community. The mill with one boiler that the employs the
14 majority of the town, or maybe a timber operator with a
15 fleet of small older trucks that has -- that is a major
16 source of employment in that area.

17 For many rural air districts, it helps if the
18 regulatory process identifies small business concerns as a
19 component as early as possible. And I think some of the
20 good news in this area are the amendments to the truck and
21 bus rule that the Board looked at several years ago. And
22 to their credit, the Board listened to small districts and
23 small businesses and made amendments to the rule that
24 reflected areas that provided some relief in areas where
25 there were NOx attainment on behalf of some of the smaller

1 districts.

2 Another good success story is the timber grant
3 program that kicked off several years ago, where the Board
4 was providing funding to local timber operators to upgrade
5 their trucks in a Carl Moyer type format to provide
6 cleaner logging trucks.

7 Receiving funding for emission reduction projects
8 is challenging. And while there are major emission
9 reductions in urban areas, rural areas and rural air
10 districts can play a role too. But because of population
11 size, density and demographics, and limited numbers of
12 large sources of pollution, it can be difficult for rural
13 areas to compete for funding opportunities.

14 One of the bright areas that I have to report on
15 this, the recent budget by Governor Brown proposed for
16 this upcoming fiscal year does have some significant funds
17 proposed for a wood stove change-out program, which will
18 be very important, not only to rural areas of the State,
19 but also to other urban disadvantaged communities as a way
20 of providing some significant reductions of short-lived
21 climate pollutants.

22 And so even though there's a lot of programs that
23 rural districts have a tough time getting in to funding
24 for emission reductions, there are ways that they can do
25 that, and we look forward to trying to find out those ways

1 as well.

2 So I'll wrap it up here real quick. In the
3 future, what are rural air districts doing? Well, we have
4 the new federal ozone standard that's going to be going
5 into effect that's going to result in several new
6 nonattainment areas that previously were in attainment.
7 And so this is going to be some extra planning efforts for
8 some of these rural staffs.

9 We have a rural school bus pilot program that we
10 hope to kick off in the next year, which will look at
11 electric or renewable fuel buses for rural areas. We're
12 participating in the oil and gas regulations through ARB,
13 as well as updates to portable equipment and PERP changes.
14 The Governor's emergency order on tree mortality is going
15 to have some significant effects on operations in rural
16 areas due to tree removal. And last but not least, the SB
17 513 Carl Moyer update process, we're also thankful that SB
18 513 passed last year and we're looking forward to working
19 with ARB on changes to the Moyer process.

20 So in closing, what am I getting when I'm talking
21 up here? Small air districts and the communities they
22 represent continue to look for ways to advocate for their
23 needs. They need to participate in the process, but they
24 also need to be given information that allows them to
25 participate in the process. And that's similar to the

1 challenge of assisting small businesses, and that's what
2 the SBOAP is tasked with.

3 You want to give small businesses the information
4 that let's them know how they need to get involved and you
5 need to give them a forum that allows them to advocate for
6 their needs, and then you need to figure out how you're
7 going to use their input in the regulatory process. And
8 so I'm looking forward to participating in that and trying
9 to come up with some answers.

10 And with that, I will end my presentation. Thank
11 you again for letting me sit up here and give that.

12 CHAIR NICHOLS: Well, thank you for being here
13 and thank you for seizing this initiative and the
14 opportunity to provide mutual reinforcement, I would say,
15 for the small business advisory committee, because I agree
16 with your assessment that you face some similar
17 challenges. I think it's even more impressive to me in a
18 lot of ways to see CAPCOA really stepping up to this task,
19 because as the local air regulators, as you've indicated,
20 you also have a lot of other things on your plate. And so
21 the fact that you're able and willing to take the time to
22 be part of this, I think, is a tremendous step.

23 And I also particularly want to thank Richard for
24 having accepted this assignment, because I understand that
25 you put in a lot of time and have to really create

1 something from almost nothing. And you've got the support
2 and the attention of our staff. And I just want you to
3 know that the Board is delighted that you're taking on
4 this task and open to suggestions about how we can
5 improve, not just through the Office of the Ombudsman, but
6 more generally, in terms of how we better communicate and
7 incorporate the information that you have to bring to bear
8 to us. So this is a great start, but don't be strangers.
9 Come back.

10 I want to just briefly ask our Vice Chair, who is
11 our -- I don't know that she's officially in the position
12 as such, but she is, in fact, a representative of small
13 business who serves on our Board, Sandy Berg, if you'd
14 like to add a comment or two at this point.

15 VICE CHAIR BERG: Thank you, Chair Nichols.

16 First, I want to add my thanks both to Alan and
17 Richard for your service. This is a critical committee
18 that we have going. And I really also want to thank Chair
19 Nichols. Chair, when you brought Ms. Bowen on, you had a
20 vision for the Ombudsman's Office that was far different
21 than what we had in the past. And I think that this is
22 our fifth year -- our five year -- we're going into our
23 six years -- sixth year.

24 And the way that this office has really grown has
25 really met your vision. And I want to congratulate you on

1 the vision. But also, Ms. Bowen, for the way that you
2 have built this department for us. It really has served
3 ARB well. It is very difficult to run a small business in
4 California.

5 There's just no question about it. Yet, small
6 business is the backbone. If we look at where the
7 employment increases are, we look at the opportunities, it
8 really does sit in the hands of entrepreneurs that are not
9 only small business, but grow into medium-sized business,
10 and together with the large business in California, we
11 have this incredible economic advantage really that is
12 shared by none across our country.

13 And so with that, I really want to congratulate
14 Mr. McCaskill for not only your successes, but thanking
15 you again for serving. As I was listening to your goals,
16 I also wanted to encourage the group to really help us
17 understand the unintended consequences. I can't tell you
18 how many great ideas I have had that look really, really
19 good on paper. And when I go out to implement them in my
20 own business, I really have people looking at me going do
21 you really work here?

22 (Laughter.)

23 VICE CHAIR BERG: Because this doesn't work in
24 the real world of what we do. And so understanding the
25 unintended consequences is a huge benefit that you can

1 give this Board.

2 And then also don't be shy to give us solutions.
3 There are really some great solutions that all business
4 has, but small business and medium-sized businesses,
5 because we have that entrepreneurial spirit, we're really
6 very solution minded, and share those solutions, because
7 as a policymaker and a regulator, we don't always see
8 that. And so we would appreciate those eyes to be able to
9 consider how else could we craft a policy that is a
10 win-win, and even -- might even get us ahead.

11 So thank you very much, and I congratulate
12 everyone.

13 CHAIR NICHOLS: Any other thoughts?

14 If not, I think we have a couple of other items
15 to deal with. And we did not receive any public comments
16 on this item.

17 So with that, thanks again. And look forward to
18 hearing from you again.

19 Thank you.

20 Our next item is a regulatory item, so we will be
21 calling for a Board vote on this one. It's a proposal to
22 amend the Air Resources Board's existing regulation that
23 controls evaporative emissions of volatile organic
24 compounds from portable fuel containers, also referred to
25 as gas cans, or PFCs. Portable fuel containers is one of

1 those bureaucratic terms. I must admit I -- the name is
2 longer than the item.

3 (Laughter.)

4 CHAIR NICHOLS: But they're a significant source
5 of reactive organic gas emissions, and controlling these
6 emissions will aid California's efforts to meet our
7 ambient air quality standards for ozone. So while the
8 cans may not be very large, there are a lot of them, and
9 they are a significant contributor to ozone.

10 The Board first adopted a regulation to control
11 emissions from these items in September of 1999, and
12 amended the regulation again in September of 2005. Since
13 the last amendment, staff has identified three significant
14 issues that need to be addressed. These issues include:
15 Low compliance rates with existing standards, outdated
16 certification fuel, and an opportunity to harmonize State
17 and federal certification reporting. Seem to be three
18 very good reasons to amend the regulation.

19 So today we will be addressing those three items.
20 And, Mr. Corey, you will introduce this item please.

21 EXECUTIVE OFFICER COREY: Yes. Thank you, Chair.

22 PFCs are typically constructed of high density
23 polyethylene and range in capacity from one to five
24 gallons. And PFCs are used statewide to store and
25 dispense fuel into, on, and off-road mobile sources in a

1 broad range of small off-road engines and equipment.

2 And as a result, PFCs are a significant source,
3 as noted, of reactive organic gases in California. And
4 ARB became the first State or federal agency to adopt a
5 regulation controlling reactive organic gases PFCs in
6 1999.

7 The emission reductions achieved from this
8 category contribute to meeting our overall air quality
9 goals for ozone and nonattainment areas, such as South
10 Coast. Today, staff is proposing modifications to our
11 existing regulation for PFC. Amendments include
12 increasing the robustness of the certification process to
13 improve compliance with ARB emission standards, updating
14 the certification fuel to reflect commercially available
15 gasoline containing 10 percent ethanol, and harmonizing
16 certification and test procedures with those of U.S. EPA
17 to reduce duplicative reporting requirements for
18 manufacturers.

19 Now with that, I'll ask Matthew Holmes to begin
20 the staff presentation.

21 Matthew.

22 (Thereupon an overhead presentation was
23 presented as follows.)

24 AIR RESOURCES ENGINEER HOLMES: Thank you, Mr.
25 Corey. Good morning, Chair Nichols and members of the

1 Board. Today it is my pleasure to present staff's
2 proposed amendments to ARB's portable fuel container
3 regulation. Throughout the presentation today, we will be
4 using the term PFC as shorthand for portable fuel
5 containers.

6 Today's presentation will include a review of the
7 history of the regulation; the need for additional
8 regulatory action resulting from data collected by ARB;
9 the proposed regulatory solutions intended to mitigate
10 issues identified by staff; outreach measures initiated
11 with stakeholders and anticipated future actions; and
12 finally, a summary of the proposed amendments and staff's
13 recommendation.

14 --o0o--

15 AIR RESOURCES ENGINEER HOLMES: Staff has
16 identified areas where the regulation is falling short of
17 its projected goals, and believe these shortcomings are
18 best addressed by amending the regulation. Recent
19 in-house testing of PFCs by ARB indicates a significant
20 number of containers introduced into the marketplace
21 failed to meet the current diurnal emissions performance
22 standard.

23 In addition, the formulation of gasoline
24 dispensed at California service stations now contains 10
25 percent ethanol. While the fuel specified by the

1 which is especially important in nonattainment areas, such
2 as the South Coast.

3 --o0o--

4 AIR RESOURCES ENGINEER HOLMES: In order to
5 determine the best approach for controlling ROG and other
6 toxic air contaminant emissions from PFCs, it's important
7 to understand how these emissions are generated. There
8 are four major processes, which produce ROG emissions from
9 PFCs.

10 First, is through diurnal emissions, which
11 includes both evaporation and permeation. Evaporation
12 occurs when gasoline vapor escapes the container through
13 leaks or openings. Permeation is the diffusion of liquid
14 or gas molecules through the container walls to the
15 atmosphere. Spillage occurs when gasoline is spilled when
16 dispensing fuel or filling the container.

17 Displaced vapors are generated when filling the
18 PFC with fuel. Transport and storage emissions result
19 from spillage or leaks that occur during the
20 transportation or storage of PFCs.

21 --o0o--

22 AIR RESOURCES ENGINEER HOLMES: The emission
23 reductions attained by the PFC regulation result primarily
24 from adoption of a performance standard to control diurnal
25 emissions. This performance standard has tightened over

1 time and has helped to improve California's overall air
2 quality.

3 Prior to 2001, there were no performance
4 standards limiting PFC emissions and uncontrolled
5 containers emitted ROGs at a permeation rate of
6 approximately 1.6 grams per gallon per day. September of
7 1999, ARB became the first agency in the nation to adopt a
8 regulation to control PFC emissions.

9 The regulation became effective in 2001 and
10 included a performance standard intended to reduce diurnal
11 emissions 75 percent from the uncontrolled rate of 1.6 to
12 0.4 grams per gallon per day of ROG. The regulation also
13 included performance standards for liquid leakage and
14 spout closure.

15 In September 2005, ARB amended its PFC regulation
16 to control emissions from kerosene fuel containers, and
17 approved new evaporative test procedures. In addition,
18 the amendments further lowered the diurnal emissions
19 performance standard to 0.3 grams per gallon per day,
20 which became effective in 2009, and reduced estimated PFC
21 diurnal emissions by an additional 25 percent.

22 For comparison, a two and a half gallon PFC is
23 allowed to emit 0.7 grams of ROG per day, which is
24 equivalent to the total daily evaporative emissions from
25 two 2016 model year light-duty passenger cars.

1 --o0o--

2 AIR RESOURCES ENGINEER HOLMES: In addition to
3 the performance standard to control diurnal emissions, the
4 PFC regulation also reduced spillage and transport and
5 storage emissions by introducing a standard requiring
6 nozzles to automatically close and seal after dispensing
7 gasoline from the container.

8 Prior to the regulation's adoption in 1999,
9 statewide uncontrolled ROG_s from PFCs totaled
10 approximately 100 tons per day, which consisted of
11 approximately: 80 tons per day diurnal emissions
12 represented in this chart by the blue bar, eight tons per
13 day spillage represented by the red bar, 10 tons per day
14 transport and storage represented by the green bar, and
15 two tons per day displaced vapor, which is represented by
16 the purple bar.

17 After the regulation's adoption, manufacturers
18 responded to the ARB performance standards by introducing
19 new PFC materials and surface treatments, designing spouts
20 with the ability to automatically close and seal, and
21 eliminating vents which produce uncontrolled emissions.
22 As a result of these actions by manufacturers, staff
23 estimated that after full implementation of the regulation
24 in 2015, emissions from PFCs would be reduced by about 70
25 percent or 70 tons per day statewide.

1 many PFCs on the market. This chart highlights the
2 disparity between manufacturer submitted certification
3 test data and ARB compliance testing for the same products
4 purchased from California retailers.

5 Green dots represent certification data submitted
6 to ARB by manufacturers since the current certification
7 standard of 0.3 grams per gallon per day took effect in
8 2009. Manufacturer results are clustered into groups of
9 six, representing the six PFCs that must be tested to meet
10 ARB certification requirements.

11 Manufacturer testing was conducted by a
12 third-party laboratory selected by the manufacturer. The
13 majority of manufacturer certification data was supplied
14 to ARB in 2009 and 2010 in response to ARB's lowering of
15 the certification standard. Additional certification data
16 was provided to ARB in 2013 through 2015 from
17 manufacturers seeking to certify new PFC products.

18 The manufacturer-submitted results indicate 100
19 percent compliance with the certification standard of 0.3
20 grams per gallon per day, which is represented by the red
21 horizontal line.

22 ARB has performed diurnal testing of 47 PFCs
23 since 2013, when compliance testing began at its
24 Sacramento SHED facility. All PFCs tested were purchased
25 off the shelf from California retailers. Results of ARB's

1 testing, represented by blue dots, will now be contrasted
2 against the manufacturer supplied data. ARB determined
3 passing results for 24 of 47 containers tested, and
4 failing results for the remaining 23 or 49 percent of the
5 containers testing.

6 Although approximately half of the containers
7 tested failed to meet the performance standard, the
8 results also show there are manufacturers capable of
9 producing containers that emit far below the standard.
10 ARB test data presented in the chart represent containers
11 manufactured by seven of eight manufacturers currently
12 certified to sell PFCs in California. These seven
13 manufacturers combined produce over 90 percent of the PFCs
14 introduced into California commerce.

15 --o0o--

16 AIR RESOURCES ENGINEER HOLMES: This chart
17 summarizes the manufacturers submitted and ARB PFC test
18 results presented in the previous slide. The chart shows
19 that test results submitted by manufacturers are 100
20 percent compliant with a 0.3 gram per gallon per day
21 diurnal performance standard. The ARB test results
22 indicate that only about 50 percent of PFCs tested comply
23 with the performance standard.

24 The average emission rate of
25 manufacturer-submitted test results is approximately 0.2

1 grams per gallon per day, which is below the red line
2 representing the performance standard. The average
3 emission rate measured by ARB was approximately 0.8 grams
4 per gallon per day, roughly two and a half times the
5 performance standard and four times the manufacturer's
6 submitted results.

7 ARB has engaged PFC manufacturers in an effort to
8 investigate and identify the root causes of the
9 substandard compliance rates, and will propose remedies
10 later in this presentation intended to increase PFC
11 compliance rates and reduce real-world emissions.

12 --o0o--

13 AIR RESOURCES ENGINEER HOLMES: This part shows
14 the estimated market shares of the various containers
15 tested, and their contribution to statewide PFC emissions
16 determined from ARB test results. The passing containers
17 represent approximately 76 percent of the PFC market,
18 while the failing containers represent 24 percent.

19 Although failing containers represent only 24
20 percent of the market, these high emitters drive statewide
21 PFC emissions by accounting for approximately 70 percent
22 of all PFC emissions, while passing containers represent
23 about 30 percent.

24 --o0o--

25 AIR RESOURCES ENGINEER HOLMES: There are

1 currently limited options for removing non-compliant PFCs
2 from the market, short of taking enforcement action after
3 a failing product has been identified. ARB's current PFC
4 certification process requires manufacturers to
5 demonstrate their product's compliance with ARB
6 performance standards through testing performed by a
7 third-party laboratory.

8 Upon completing this testing, the manufacturer
9 submits a certification application to ARB containing the
10 test data and other information specific to the PFC, for
11 which certification is sought.

12 ARB then evaluates the application to ensure it
13 contains the required elements. If the application is
14 deemed acceptable, an Executive Order is issued certifying
15 the PFC for sale in California. Currently, PFC Executive
16 Orders have no expiration date. Therefore, the only means
17 available to ARB to address non-compliant products is
18 through enforcement action.

19 Prior to 2013, ARB did not perform in-house
20 testing of PFCs. Since 2013, ARB has routinely performed
21 compliance testing of PFCs as part of its enforcement
22 activities. Passing results confirm that the products on
23 the market are maintaining their certification standards,
24 so no action is taken.

25 If a PFC fails ARB testing, Enforcement Division

1 and the Office of Legal Affairs are notified, and legal
2 remedies are pursued, which may include, but are not
3 limited to, fines and Executive Order revocation.

4 --o0o--

5 AIR RESOURCES ENGINEER HOLMES: The second issue
6 requiring regulatory action is the current certification
7 fuel being used by ARB, which no longer reflects actual
8 pump fuel.

9 At the time the ARB regulation was adopted in
10 1999, phase I California reformulated gasoline dispensed
11 at service stations contained no ethanol. From 2004 to
12 2009, phase II reformulated gasoline contained six percent
13 ethanol. Since 2010, phase III reformulated gasoline has
14 contained 10 percent ethanol.

15 Ethanol-based fuel has chemical properties that
16 enable it to more aggressively permeate plastic materials.
17 However, since the regulation went into effect, ARB's PFC
18 certification fuel has contained no ethanol. As a result,
19 the fuel currently used for ARB PFC certification testing
20 is no longer representative of the current motor vehicle
21 fuel stored PFCs statewide and prevents any alignment of
22 ARB and U.S. EPA PFC certification test procedures because
23 U.S. EPA requires use of certification fuel containing 10
24 percent ethanol.

25 --o0o--

1 AIR RESOURCES ENGINEER HOLMES: The third issue
2 requiring regulatory action is that under the current
3 regulatory structure, a PFC Manufacturer seeking
4 certification must perform separate certification tests
5 for both ARB and U.S. EPA. This condition requires
6 manufacturers to perform twice as much testing as may be
7 needed, with the additional costs ultimately passed on to
8 consumers.

9 This existing U.S. EPA certification testing
10 process requires three PFC samples, a SHED temperature
11 profile ranging from 72 to 96 degrees Fahrenheit,
12 certification fuel containing 10 percent ethanol with a
13 volatility nine pounds per square inch, as well as
14 durability tests for ultraviolet radiation exposure, fuel
15 sloshing, and pressure cycling.

16 In contrast, the existing ARB certification
17 testing process requires 6 PFC samples, a SHED temperature
18 profile ranging from 65 to 105 degrees Fahrenheit,
19 certification fuel containing no ethanol with a volatility
20 of seven pounds per square inch, and no durability tests
21 for ultraviolet radiation exposure, fuel sloshing, and
22 pressure cycling.

23 --o0o--

24 AIR RESOURCES ENGINEER HOLMES: The previous
25 slides have highlighted three areas where regulatory

1 action is needed to address deficiencies in ARB's current
2 PFC regulation. In response, staff has performed an
3 interlaboratory comparison study between ARB's SHED
4 laboratory and an independent testing laboratory to
5 identify potential laboratory bias.

6 Staff also proposes to increase compliance with
7 ARB standards through ongoing compliance testing, amend
8 the certification process to limit the terms of PFC
9 certifications which currently have no expiration, ensure
10 PFC emission's test data reflects real-world conditions by
11 requiring the fuel used for PFC certification testing to
12 contain 10 percent ethanol, and provide the option to
13 manufacturers to obtain both ARB and U.S. EPA
14 certification of their containers based on a common set of
15 test data. I will now discuss each of these solutions in
16 detail.

17 --o0o--

18 AIR RESOURCES ENGINEER HOLMES: ARB is currently
19 conducting an interlaboratory comparison study between
20 ARB's Sacramento SHED laboratory, and an independent lab
21 to better understand the discrepancy in manufacturer and
22 ARB test results. This study began in 2015 with
23 cooperation from manufacturers and is using ARB's approved
24 test methods. PFCs from the same manufacturing lot are
25 being tested by ARB and the largest independent testing

1 laboratory. And the results are being compared to see if
2 the discrepancy is related to testing facilities rather
3 than PFCs themselves. Results, thus far, are
4 inconclusive, but additional testing is planned.

5 --o0o--

6 AIR RESOURCES ENGINEER HOLMES: We are also
7 taking vigorous enforcement action against all of the
8 manufacturers, whose products have failed ARB compliance
9 testing. To date, ARB has performed screening and
10 Compliance testing of seven of the eight PFC
11 manufacturers. These seven manufacturers collectively
12 account for approximately 90 percent of PFC sales in
13 California.

14 As a result of these tests, ARB has pursued legal
15 remedies against all known non-compliant manufacturers,
16 which are indicated by the compliance test results that
17 were above the 0.3 gram per gallon per day standard line
18 on slide eight.

19 ARB also intends to continue compliance testing,
20 including retesting previously failed products that have
21 been re-engineered by manufacturers.

22 --o0o--

23 AIR RESOURCES ENGINEER HOLMES: ARB's PFC
24 regulation as currently structured grants Executive Order
25 certifications with no expiration date. Today, we are

1 proposing a number of revisions to strengthen the PFC
2 certification process, resulting in increased compliance
3 rates, and ultimately recovering the PFC emission's
4 benefits lost in non-compliant products.

5 These revisions follow:

6 First, in order to ensure compatibility with
7 current motor vehicle fuel, all PFCs currently sold in
8 California will be required to recertify to the amended
9 certification procedure by December 31st, 2017.

10 Second, all future PFC Executive Order
11 certifications will expire after a term of four years
12 subject to renewal. The concept of Executive Order
13 expiration and renewal has been successfully implemented
14 in ARB's Enhance Gasoline Vapor Recovery Program, which
15 requires certified vapor recovery systems and components
16 to renew their Executive Orders every four years.

17 The four-year renewal frequency provides
18 manufacturers a reasonable period of time to sell a
19 certified product, while providing assurance that
20 non-compliant products can be identified and corrected or
21 removed from commerce. Manufacturers will submit a
22 request for renewal prior to expiration of the executive
23 order.

24 If no changes have been made to the manufacturing
25 process and interim compliance testing yields passing

1 results, then recertification will be granted. However,
2 additional testing or manufacturer declarations may be
3 required based on the information available to ARB at the
4 time of renewal. If changes have been made to the
5 manufacturing process or interim testing yields failing
6 results, the renewal process will be placed on hold
7 pending the resolution of the outstanding issues.

8 If no resolution is attained, the Executive Order
9 will expire. If interim compliance testing produces
10 failing results, the Executive Order will be rescinded and
11 the manufacturer could be subject to legal remedies. In
12 either of these two scenarios, noncompliant containers
13 will not be allowed to be sold in California, resulting in
14 increased compliance rates for PFCs sold in the State.

15 Lastly, a sell-through date will be implemented
16 requiring manufacturers to sell or dispose of PFCs not
17 recertified using the updated fuel formulation by December
18 31st, 2018. Sell-through provisions have been included in
19 previous ARB consumer product regulations to help ensure
20 and adequate supply of products are available for purchase
21 and minimize adverse economic impacts to manufacturers.

22 --o0o--

23 AIR RESOURCES ENGINEER HOLMES: In addition to
24 amending the certification process to address
25 high-emitting containers, staff has also identified the

1 need to update the fuel used for certification testing.
2 Currently, PFC certification testing is performed using
3 fuel containing no ethanol, and California pump fuel
4 contains 10 percent ethanol. Therefore, staff proposes
5 requiring the fuel used for PFC certification testing to
6 contain 10 percent ethanol.

7 This requirement will ensure that PFC test
8 results are representative of real world emissions by
9 using fuel reflective of gasoline currently dispensed at
10 California gasoline stations. The change will also align
11 the ethanol content and ARB's certification test fuel with
12 that currently used by U.S. EPA. The proposed change in
13 fuel formulation should not require currently compliant
14 manufacturers to reengineer their containers, since ARB
15 in-house test results and U.S. EPA certification test
16 results indicate many PFC manufacturers can currently meet
17 the State and federal emission standards with E-10 fuel.

18 --o0o--

19 AIR RESOURCES ENGINEER HOLMES: As previously
20 stated, the current structure of ARB and U.S. EPA PFC
21 regulations requires manufacturers to submit separate
22 applications to ARB and U.S. EPA for certification, even
23 though both agency's certification requirements are
24 similar.

25 Therefore, a PFC certification application

1 containing common test data that satisfies both ARB and
2 U.S. EPA requirements is desirable not only for the two
3 agencies, but PFC manufacturers.

4 ARB has engaged all stakeholders in an effort to
5 identify the elements in each agency's certification test
6 procedures that, when combined, permits manufacturers to
7 generate a certification application containing test data
8 that satisfies both ARB and U.S. EPA requirements.

9 The following slide will describe in more detail
10 the proposed streamlining.

11 --o0o--

12 AIR RESOURCES ENGINEER HOLMES: In order to
13 address the current situation, where a PFC manufacturer is
14 seeking certification must submit separate test data to
15 both ARB and U.S. EPA, staff is proposing an optional
16 streamline pathway, allowing PFC manufacturers to generate
17 a single set of certification test data that meets the
18 requirements of both agencies. PFC manufacturers may
19 still elect to perform separate tests to meet ARB and U.S.
20 EPA certification requirements.

21 The new streamlined option combines the most
22 conservative elements of both agencies' certification
23 testing requirements related to sample size, diurnal
24 temperature profile, certification of fuel formulation,
25 and durability testing.

1 The streamlined certification testing option
2 would contain test results for six samples to better
3 represent the variability and the numerous molds from
4 which PFCs are produced; use ARB's diurnal temperature
5 profile, which is intended to emulate the ambient
6 temperature range experienced in California's Central
7 Valley during the summer months; use U.S. EPA's
8 certification fuel formulation, which is more volatile
9 than ARB fuel and subjects test containers to higher
10 pressures during diurnal testing; and lastly, the
11 streamlined certification testing option would contain
12 test results generated using ultraviolet exposure, fuel
13 sloshing, and pressure cycling durability tests.

14 --o0o--

15 AIR RESOURCES ENGINEER HOLMES: This regulatory
16 proposal has been carefully developed to result in minimal
17 economic impact to both consumers and PFC manufacturers by
18 avoiding unnecessary costs, and even provide opportunities
19 for cost savings from streamlining the certification
20 process.

21 However, these cost savings are potentially
22 offset by the cost of additional certification testing.
23 The economic impact of the proposed PFC regulatory
24 amendments before the inclusion of any potential 15-day
25 changes are projected to result in a maximum price

1 increase of \$0.36 per PFC, which is based on stakeholder
2 estimates. This projection also assumes a 100 percent
3 retailer markup.

4 The original regulation was projected to reduce
5 emissions by 70 percent, and increase the cost of a PFC by
6 \$6 to \$11. Relative to the costs of the original rule,
7 the cost of these amendments is minor and does not
8 significantly increase the original cost projections.

9 Assuming an average price of \$20 per container,
10 the additional \$0.36 increases the cost per container by
11 only 1.8 percent. The emissions benefit of the additional
12 cost per PFC, is increased compliance rates due to the
13 additional emissions testing PFCs will be subject to as
14 part of the certification renewal process.

15 --o0o--

16 AIR RESOURCES ENGINEER HOLMES: I would now like
17 to discuss the outreach measures taken by staff during the
18 regulatory process and proposed future actions.

19 The proposed regulatory amendments were
20 collaboratively developed with stakeholders. Staff held
21 two public workshops and multiple individual meetings with
22 stakeholders. PFC Manufacturers and retailers as well as
23 local government representatives and U.S. EPA were
24 involved in these discussions. As a result of the
25 collaborative effort with stakeholders, staff made a

1 number of changes to the proposed amendments, and was able
2 to address a number of manufacturer concerns without
3 compromising the integrity of the proposal, including
4 advising ARB's test procedures to align more closely with
5 U.S. EPA's, sell-through provisions were clarified, and
6 additionally other various -- various other stakeholder
7 suggestions were incorporated into the regulation order in
8 test procedure revisions.

9 --o0o--

10 AIR RESOURCES ENGINEER HOLMES: During the course
11 of this regulatory process, we have become aware that some
12 refinement of the PFC certification and test procedures is
13 necessary to ensure compliance with ARB standards and
14 address the discrepancy between ARB and manufacturer
15 submitted test data.

16 Therefore, we are proposing 15-day changes that
17 may include: Changes to the certification testing
18 process. A potential revision could be to better -- to
19 provide ARB with more control over sample selection, to
20 ensure PFCs submitted for certification are representative
21 of what is actually produced.

22 Increased manufacturer recordkeeping recording.
23 A potential change to the record keeping an reporting
24 process could include requiring manufacturers to submit
25 additional information specific to the materials that

1 Requiring the fuel used for PFC certification
2 testing to contain 10 percent ethanol will ensure that
3 containers are compatible with the more aggressive fuel
4 currently dispensed at California gas stations, and
5 provide emissions test data that are more representative
6 of real world emissions.

7 Streamlining the certification process will allow
8 PFC manufacturers to submit a single certification
9 application meeting the requirements of both ARB and U.S.
10 EPA. We believe the proposal does not result in economic
11 hardship to either PFC consumers or manufacturers based on
12 the maximum estimated price increase of only \$0.36 per
13 container.

14 Therefore, staff recommends that the Board adopt
15 the proposed regulation amendments with the 15-day
16 changes. This concludes the PFC presentation. I'll be
17 happy to answer any questions you may have.

18 CHAIR NICHOLS: Excuse me, we have no witness
19 signed up on this item. So it goes directly to the Board.
20 I take it that means that you've pretty much resolved all
21 the outstanding issues with the affected stakeholders,
22 which is great.

23 Just out of curiosity, I may have missed it, but
24 do you have an estimate of the number of these canisters
25 that are sold on an annual basis or the size of the market

1 overall.

2 MONITORING AND LAB DIVISION CHIEF BENJAMIN: The
3 answer is actually no we did not. Our estimate of the
4 population is based on a survey that we did back in 1999
5 for the original rule where we sent out a survey to
6 residential and business owners and asked them how many
7 cans they owned. We used the results of that survey to
8 extrapolate what we thought the population was.

9 And so one of the amendments that we are actually
10 considering, which would align with what we are currently
11 requiring for small off-road engine certification is that
12 PFC manufacturers report their quarterly and annual sales
13 data. And that information be very helpful for us to
14 better understand what the real population of these cans
15 is, and then also what the impact of -- the emissions
16 impact of non-compliant containers would be.

17 CHAIR NICHOLS: Obviously, my information on this
18 is totally anecdotal, but I expect that there is a lot of
19 people like me who have one that they purchased once, and
20 which has been sitting in a garage or some other space
21 ever since then, and has been off-gassing probably for
22 years, you know, ever since that time.

23 Interesting.

24 Any -- yes, absolutely. Dr. Sherriffs, please
25 spare your voice.

1 (Applause.)

2 BOARD MEMBER SHERRIFFS: A couple of thoughts.
3 One, a reminder that we do things and then it turns out
4 different things are happening in the real world. And the
5 importance of trying to shorten that loop, because I think
6 the regulation -- I don't know when it -- I can't remember
7 when it first went into effect, but it's 2013 when we're
8 realizing that what's really happening is not -- we're not
9 getting the benefits that the regulation was supposed to
10 get us.

11 The second issue, and along the lines of our
12 Chair's ancient container in her garage -- I have at least
13 10. This is a great nexus with small business and with
14 CAPCOA, because I wonder if we have enough data that would
15 suggest that maybe we need to start one of these tune-in
16 tune-up kind of programs in the Bay Area and the South
17 Coast and the Central Valley, where people can bring their
18 old containers, and either a free exchange or half price,
19 to get rid of those old containers. Because I originally
20 looking at this thought maybe I need to trade my nozzle
21 in, but it's the container not the nozzle. The nozzle is
22 about 10 percent, the container is 90 percent.

23 CHAIR NICHOLS: Yes, head nodding.

24 BOARD MEMBER SHERRIFFS: So it's a way of
25 reaching --

1 CHAIR NICHOLS: It's a good point, but I don't
2 think it -- I mean, I think it's sort of concurrent with
3 adopting the rule as some kind of an outreach program.

4 BOARD MEMBER SHERRIFFS: Yes, this aside from the
5 rule, but it's an opportunity reaching small businesses,
6 environmental justice communities, reaching the folks
7 doing the lawn care and so on that we've worried about.

8 CHAIR NICHOLS: The buyback programs seem to be
9 very popular and certainly have been successful in the
10 ones that I've followed.

11 Mr. De La Torre.

12 BOARD MEMBER DE LA TORRE: You nailed it. I was
13 going to say that we need some proposals on a buyback
14 program to get people to do that. I mean, you have the
15 electric E-waste events all over the place. Those are
16 really successful. Something like that, where you can
17 engage the community to do it locally, as part of one of
18 those other ones. I mean, if there's a -- these
19 containers, you drop them off too, and then, you know, we
20 figure out what to do with them after.

21 CHAIR NICHOLS: If there are no further
22 questions, I would be happy to entertain a motion.

23 Oh, sorry.

24 VICE CHAIR BERG: I did want to just. Sorry. I
25 know we want to push this one through, but I just wanted

1 to ask a quick question. You know, some of the people got
2 it right. And so I'm curious if we identified the
3 third-party people that were verifying these where did we
4 -- where they get it wrong? Did we -- were we able to
5 kind of nail that?

6 MONITORING AND LAB DIVISION CHIEF BENJAMIN: So
7 almost all of the testing is done by one major lab. There
8 aren't a lot of labs that do this third-party testing. We
9 don't believe that the issue is with the lab itself. We
10 believe that the issue is with the manufacturers, and more
11 specifically very likely either engineering issues or
12 manufacturing and quality assurance issues between the
13 manufacturers.

14 I think you raise an excellent point, which is
15 half of the manufacturers are meeting the standard and
16 some are well below the standard. So there's some very
17 good actors out there. We think that there are companies
18 that are noncompliant have some significant issues with
19 their quality assurance and manufacturing that needs to be
20 addressed. And that's where the focus needs to be, and we
21 are pursuing very vigorous action against those companies.

22 And this really loops back to some of the
23 previous Board comments. I think what we can think about
24 is as we agree on settlements that perhaps some of that
25 could include buyback programs in certain communities, and

1 that that would -- we would not only address the
2 non-compliant products, but provide for some mitigation
3 and buyback program.

4 CHAIR NICHOLS: Supervisor Roberts.

5 VICE CHAIR BERG: Oh, I'm not done yet. I'm
6 sorry.

7 CHAIR NICHOLS: Oh, sorry, you're still going.

8 VICE CHAIR BERG: So I'm very much in favor of
9 making sure that 100 percent of the industry is complying,
10 but I'd like to understand if the people that are in
11 compliance are they going to have to go through this
12 amended certification process, and therefore incur
13 additional costs because of the bad actors?

14 MONITORING AND LAB DIVISION CHIEF BENJAMIN: They
15 will, but the testing requirements there will be
16 flexibility. So for those companies that have a
17 demonstrated record of complying through their data that
18 they provided, there will be less testing requirements
19 than for those companies that are non-compliant. So even
20 though the average cost is \$0.36 per can, that will
21 not -- it will be variable depending upon the
22 manufacturer.

23 VICE CHAIR BERG: And why are we confident that
24 through this new certification process that the -- we go
25 out and buy the cans?

1 MONITORING AND LAB DIVISION CHIEF BENJAMIN: We
2 do.

3 VICE CHAIR BERG: And that's how we're going to
4 do the certification process? The manufacturers aren't
5 going to send us their cans for certification?

6 MONITORING AND LAB DIVISION CHIEF BENJAMIN: So
7 you're really touching on some of the refinements that
8 we're considering. One of the things that we are now
9 going to be thinking about for the 15-day changes is that
10 what they currently do is they send us a sample of one of
11 their cans, but it's not necessarily the can that they
12 tested and gave us the results for.

13 What we are now going to do is ask for that exact
14 can, and we will test the exact cans that they tested for
15 their certification testing, and we will compare those
16 exact cans, because one of the things that we're finding
17 is that it doesn't take much in the manufacturing process
18 to produce some different results. It could be -- these
19 are -- generally, these cans are produced through
20 rotational molding, where a plastic polymer a powder is
21 injected into a mould, and that mould is rotated at a high
22 temperature.

23 If they don't have those temperatures right or if
24 they don't have good quality assurance, what we think may
25 be happening is you're -- they're producing cans that are

1 more permeable than they should be. So we want to get the
2 exact cans that they tested and certified, and we will
3 test those exact same cans for our compliance testing. So
4 it's those sort of very technical, but important subtle
5 details that we want to get right in the 15-day changes.

6 VICE CHAIR BERG: And I appreciate that and would
7 support the 15-day changes. I'd also support, within the
8 15-day changes, that staff have the ability to utilize
9 third-party laboratories, that if the workload is better
10 served there. And so within this regulation, does staff
11 have the ability to look at our resources versus being
12 able to utilize certified labs that you know and trust and
13 you get the information?

14 You guys are brilliant, and this is low-hanging
15 fruit that is a industry problem. And I want to make sure
16 that we're not using our high caliber people to resolve a
17 low-hanging fruit problem that the industry should be
18 responsible for.

19 MONITORING AND LAB DIVISION CHIEF BENJAMIN:

20 That's an excellent question. There are two
21 reasons why we might not want to do that, as tempting as
22 it may be to outsource this testing. First, is that it
23 makes it much more difficult for us to take enforcement
24 action when the data are generated by a third party. We
25 have better standing when the data are generated by ARB.

1 Second is that we have a number of other programs
2 where we do outsourcing of testing. And what we found is
3 that in some cases the workload involved in certification
4 and auditing of those labs may end up being as much work
5 as doing the testing ourselves.

6 So we're going to go back and think very
7 seriously about that recommendation and that thought, and
8 then we'll fold that into the 15-day changes.

9 VICE CHAIR BERG: As long as I know that you have
10 the ability to handle the resources in the most effective
11 way is really my desire for you, not for us to feel that
12 ARB needs to create and manage -- obviously manage, but
13 actually do the work for another certification program.

14 MONITORING AND LAB DIVISION CHIEF BENJAMIN:

15 Thank you. And I think what we want to do is be
16 smart here -- and this is -- quite honestly this is the
17 first time we've daylighted this data. And I think we're
18 sending a very, very strong message to the manufacturers.
19 We're taking active enforcement action against them. And
20 our hope, and we will follow that up with testing, is that
21 things will improve.

22 And if they don't, then we will certainly through
23 settlements and other means figure out how to have them
24 bear more of the cost and responsibility for this
25 compliance testing.

1 VICE CHAIR BERG: And while we're also
2 acknowledging those that are doing a great job --

3 MONITORING AND LAB DIVISION CHIEF BENJAMIN: Yes.

4 VICE CHAIR BERG: -- and well below the rule,
5 that they don't get swept up in the net of a few bad
6 actors.

7 MONITORING AND LAB DIVISION CHIEF BENJAMIN:

8 Exactly. And that is one of the messages we want
9 to come out, is that there are many manufacturers who are
10 doing a great job.

11 VICE CHAIR BERG: Thank you very much. It's
12 great work.

13 CHAIR NICHOLS: Very helpful. Did you have your
14 hand up, Mr. Eisenhut, or were you just trying to get me
15 to pay attention to --

16 BOARD MEMBER EISENHUT: No, I did, but Member
17 Berg has walked down that path. And so I think what I'm
18 left to say is a compliment to staff, because at its most
19 polite, there appears to be, in half of the industry, a
20 disconnect between their sampling -- either their sampling
21 technique or their measuring technique, and that that
22 issue has been, as our lab has done with some other
23 industries, that issue has been developed and remediation
24 because that sort of behavior short circuits what we do,
25 and it disadvantages those folks who do comply.

1 So I'm happy to see this result.

2 CHAIR NICHOLS: Yes. Thank you. Very well said.
3 Supervisor Roberts finally.

4 BOARD MEMBER ROBERTS: Thank you, Madam
5 Chairwoman. First of all, I was puzzled, because it seems
6 to me it would be better test a random product rather than
7 the one that they've already tested. Why would -- you
8 know, and especially given your -- that there's like --
9 there could be a discrepancy over production line.

10 MONITORING AND LAB DIVISION CHIEF BENJAMIN: So
11 there's actually two types of testing. The testing that
12 we showed you on slide eight, is compliance testing is
13 where we actually go out and randomly select off the
14 shelves of stores, products. We bring them in and we test
15 those. Those are those blue dots.

16 BOARD MEMBER ROBERTS: Okay. So that is still
17 going to be part of it?

18 MONITORING AND LAB DIVISION CHIEF BENJAMIN: We
19 will continue to do that compliance testing. What we're
20 talking about is when -- before they actually start mass
21 producing a product --

22 BOARD MEMBER ROBERTS: Got it.

23 MONITORING AND LAB DIVISION CHIEF BENJAMIN:
24 -- the manufacturerS well generate those green
25 dots. What we're going to do is before we issue the

1 Executive Order, we're going to say give us that exact
2 can.

3 BOARD MEMBER ROBERTS: Okay.

4 MONITORING AND LAB DIVISION CHIEF BENJAMIN:

5 We're going to test that can before we issue
6 your Executive Order.

7 BOARD MEMBER ROBERTS: I got it.

8 MONITORING AND LAB DIVISION CHIEF BENJAMIN: And
9 if it matches our test match what you've given us, then
10 we'll go ahead and give you that Executive Order, because
11 we don't want to be going and doing --

12 SUSTAINABLE COMMUNITIES POLICY & PLANNING SECTION
13 MANAGER ROBERTS: I got it.

14 (Laughter.)

15 CHAIR NICHOLS: Okay. Good question.

16 BOARD MEMBER ROBERTS: It just occurred to me
17 that we, and I, have been missing a real opportunity here,
18 because we have our lawn mower trade-in program, we've
19 never required them to trade in the gas cans. And I'm
20 thinking this year that I'm going to have them bring their
21 gas cans down.

22 CHAIR NICHOLS: Absolutely.

23 BOARD MEMBER ROBERTS: We might as well start
24 getting rid of those, so -- because it's unlikely any of
25 them are compliant. And I guess maybe there could be, but

1 it might be good to get them into --

2 CHAIR NICHOLS: Well, and if you don't need it,
3 there's just no point having it sitting around really.

4 BOARD MEMBER ROBERTS: Well, maybe -- and maybe,
5 yeah, they won't need it at all, but yeah, so -- but we've
6 never taken the gas cans.

7 CHAIR NICHOLS: Right.

8 BOARD MEMBER ROBERTS: This year we're going to
9 get the gas cans. Okay.

10 (Laughter.)

11 CHAIR NICHOLS: I sense a competitive opportunity
12 brewing here.

13 Okay. Without any further questions then, may I
14 have a motion to approve.

15 BOARD MEMBER RIORDAN: So moved.

16 BOARD MEMBER DE LA TORRE: Second.

17 CHAIR NICHOLS: Moved and seconded.

18 Would all in favor, please signify by saying aye?

19 (Unanimous aye vote.)

20 CHAIR NICHOLS: Any opposed?

21 Any abstentions?

22 If not, thank you and congratulations. This is a
23 very nicely done.

24 We have one more item and we are going to be
25 taking a lunch break, during which we will have an

1 executive session. We will be discussing several major
2 litigation items that are before the Board, and -- that
3 the Board is involved with, I should say. And then after
4 that is over, I or someone else will come out and announce
5 if any action has been taken during that executive
6 session. But I think we have only this one more item, so
7 we should really be able to take it before we take a lunch
8 break.

9 So without further ado, the next item, our last
10 item on our agenda, is an update on the status of the
11 advance clean transit rule. This is something that is
12 occupying a lot of staff time and attention right now.

13 We know that in order to move forward on both our
14 air and climate goals, as well as our broader petroleum
15 reduction goals as a State, we have to continue finding
16 innovative ways to reduce emissions from all sources,
17 including heavy-duty vehicles, which are increasingly a
18 larger share of our inventory, and that we will need
19 advanced technologies to get us there.

20 In November 2015, the staff provided an update on
21 the status of technologies for trucks and buses, and
22 concluded that zero emission buses are in the early
23 commercialization phase with similar performance and
24 reliability as conventional buses, and that low NOx
25 engines will be commercially available in the near future.

1 The leadership of a number of fleets around this
2 State, transit fleets, that have been willing and done a
3 terrific job of demonstrating and evaluating and operating
4 advanced technology buses in normal service has been key
5 to allowing for the commercialization of technologies.

6 Transit fleets have also been our partners in
7 reducing emissions from passenger transportation and are
8 well suited to adopting new technologies. Staff has been
9 working with transit fleets for several years to achieve
10 our overarching goals, but also to better understand the
11 operating requirements and the need for flexibility among
12 the different transit agencies, so that whatever we do on
13 this front will enhance and not hinder the growth of
14 transit services.

15 So, Mr. Corey, would you please introduce this
16 item?

17 EXECUTIVE OFFICER COREY: Yes. Thanks, Chair
18 Nichols.

19 Accelerating the deployment of zero and near zero
20 emission technologies in the transit sector is a key part
21 of our overall heavy-duty vehicle strategy in meeting
22 federal air quality standards, State climate change goals,
23 petroleum reduction goals and protecting public health.

24 One of the first areas of focus is on transit
25 buses, where early commercialization of zero emission

1 buses is already happening. Several transit fleets are
2 already operating zero emission buses that have
3 performance comparable to conventional diesel or natural
4 gas buses. The State is making significant investments in
5 deploying zero and near zero emission technologies to
6 accelerate the market for cleaner technologies for trucks
7 and buses.

8 Some of the Board members and I have recently
9 visited several of the transit agencies to learn more
10 about their experiences with zero emission buses. Today,
11 staff will provide you with an update on the state of
12 technology for buses and will highlight the steps that
13 they have been taking to work with transit agencies.

14 The update will include summaries of a technology
15 symposium held earlier this month, and an update on two
16 new work groups focused on addressing transit fleet
17 concerns, and making information more transparent to
18 interested parties.

19 Shirin Barfjani of the Mobile Source Control
20 Division will provide an update on the status of
21 technologies for zero and near zero emission buses, and
22 progress staff has been making in working with the transit
23 agencies.

24 And with that Shirin.

25 (Thereupon an overhead presentation was

1 presented as follows.)

2 AIR POLLUTION SPECIALIST BARFJANI: Thank you,
3 Mr. Corey.

4 California faces very challenging mandates to
5 reduce air pollutants in order to meet the federal air
6 quality standards and the State climate --

7 CHAIR NICHOLS: Could you speak a little bit
8 louder or move the mic closer.

9 Thank you.

10 AIR POLLUTION SPECIALIST BARFJANI: Better now?

11 CHAIR NICHOLS: Better. Thank you.

12 AIR POLLUTION SPECIALIST BARFJANI: Okay. Thank
13 you.

14 California faces very challenging mandates to
15 reduce air pollutants in order to meet the federal air
16 quality standards and the State climate change goals.
17 California has made significant progress and we are on
18 track to meet the AB 32 goals of reducing greenhouse gas
19 emissions to 1990 levels by 2020. To continue making
20 progress beyond 2020, we will need significant additional
21 reductions that require nothing short of a bold
22 transformation in all sectors.

23 --o0o--

24 AIR POLLUTION SPECIALIST BARFJANI: To delineate
25 the long-term transformation for the mobile source

1 sectors, we refer to discretion document released from
2 sustainable freight in April last year called, "Pathways
3 to Zero and Near Zero Emissions". This document
4 identifies the long-term need for California to transform
5 from the conventional combustion technologies to zero
6 emission everywhere feasible and near zero emission
7 powered by clean low carbon renewable fuels everywhere
8 else.

9 In addition, the mobile source strategy document
10 released last October lays out policies to continue to
11 increase the stringency of tailpipe emission standards for
12 heavy-duty applications, while zero emission vehicle
13 technologies suitable for certain heavy-duty applications
14 are developed.

15 --o0o--

16 AIR POLLUTION SPECIALIST BARFJANI: As we look to
17 set long-term goals for emission reductions from transit
18 buses or any sector for that matter, it's vital to
19 understand their functions and operations.

20 Public transit agencies have played, and will
21 continue to play, an important role in helping California
22 meet air quality standards and greenhouse gas emission
23 reduction goals, namely by employing the cleanest
24 technologies, providing safe and reliable public
25 transit -- public transit services to reduce light-duty

1 passenger vehicle miles traveled, and single occupancy
2 trips, and reducing congestion on roadways.

3 Transit fleets operate in local communities have
4 a crucial role, not only in helping transit-dependent
5 riders, but also in helping to share -- to shape
6 transportation and land use around our communities.

7 --o0o--

8 AIR POLLUTION SPECIALIST BARFJANI: There are
9 more than 150 individual transit agencies in California
10 with almost 11,000 urban buses. They include a wide
11 spectrum of operations and governance. And budget issues
12 are a primary concern for most of them, as they piece
13 together funding with fares, local sales taxes, and a
14 variety of federal and State funding.

15 Looking at the complexity of transit system
16 operations, we understand there's clearly not a
17 one-size-fits-all approach.

18 --o0o--

19 AIR POLLUTION SPECIALIST BARFJANI: Before staff
20 update the Board on the status of our current rule
21 development, we would like to provide brief information
22 about the background of this regulation. Transit agencies
23 have long been partners in the State's effort to achieve
24 greenhouse gas emission reductions and air quality
25 improvements goals. The existing fleet rule for transit

1 agencies were first adopted in 2000 and had focus on
2 reductions in diesel particulate matter and oxide of
3 nitrogen emissions from urban buses and transit fleet
4 vehicles. Transit agencies were required to select either
5 the diesel path or the alternative fuel path.

6 Large transit agencies with 200 buses and more
7 were required to demonstrate zero emission buses with an
8 earlier schedule for diesel and a later schedule for the
9 alternative fuel path. In 2009, the Board, through
10 Resolution 09-49, directed the staff to hold off the
11 implementation of the purchase requirement, search develop
12 commercial readiness metrics to be used as criteria to
13 initiate the zero emission bus purchase requirement and to
14 conduct technology assessment on the readiness of zero
15 emission bus technologies.

16 --o0o--

17 AIR POLLUTION SPECIALIST BARFJANI: Transit
18 fleets are one of the most suitable heavy-duty categories
19 for deploying zero emission technologies. They are
20 generally centrally fueled, have fixed routes, and return
21 to home-base every day. They operate in the heart of our
22 communities, increasing the need for the lowest emissions;
23 however, they have to remain affordable for the general
24 public. The State and federal government has invested
25 heavily in securing zero emission bus technology's market

1 position in commercialization stage, thereby reducing the
2 need for transit agencies to cover R&D costs.

3 Lastly, transit fleets also have the potential to
4 pave the way for zero emission technology implementation
5 in heavy-duty trucks and more. The technology assessment
6 provided in November indicates both battery and fuel cell
7 electric buses are commercially available for transit
8 applications today.

9 In addition, significant technology advancements
10 have occurred since 2009 when the purchase requirement was
11 put on hold. These improvements include increased
12 reliability, declining cost, improved performance,
13 extended mileage range and increasing number of bus
14 manufacturers in the market. NREL recently evaluated the
15 Foothill Transit battery electric bus demonstration
16 project showing that the 12 battery electric buses had a
17 90 percent vehicle availability on average. The industry
18 target is normally 85 percent.

19 This report also identifies the fast declining
20 cost from \$1 million in 2009 for a 35-foot fast charging
21 battery electric bus to \$789,000 in 2015 for a large
22 battery electric bus. This reduced price is approaching
23 that of a diesel hybrid bus. Range for battery electric
24 buses is increasing and can meet a good portion of transit
25 agency's daily demand. Range for fuel cell electric buses

1 has not been an issue. Staff continues to monitor
2 technology advancement progress.

3 --o0o--

4 AIR POLLUTION SPECIALIST BARFJANI: Future
5 transit buses will continue to play an important role in
6 providing efficient and safe transportation to
7 Californians. The Californian Transit Association
8 indicates that transit could be highly desired by
9 California's changing demographics with a projected bigger
10 increase in senior ridership over commuter ridership.

11 In addition, transit agencies, as part of the
12 broader scope of the entire transportation system helps
13 support the millennials that prefer to live in communities
14 featuring multi-modal transportation options. Therefore,
15 seamless integration between different transportation
16 modes and transport systems will be essential to increase
17 ridership, help increase -- help relieve congestion, and
18 reduce transportation sector emission.

19 We hope to help incentivize the most efficient
20 transportation technologies that help shape these future
21 transit needs, while also continuing to focus on enhancing
22 transit service and availability in disadvantaged
23 communities.

24 --o0o--

25 AIR POLLUTION SPECIALIST BARFJANI: To fulfill

1 this vision for future transit, we need a mixture of
2 cleaner combustion engines and zero emission buses.

3 Therefore, advanced clean transit proposal may include:

4 Transition to zero emission buses starting
5 smoothly with a small percentage and increasing gradually
6 over time to achieve a complete transition by the 2040
7 time frame; the purchase of low NOx engine buses, once
8 they are available; and use of renewable fuels, when fuel
9 contracts are renewed.

10 In addition, all purchase requirements will
11 follow natural fleet replacement rate and no accelerated
12 purchases will be required. Staff is committed to work
13 with transit agencies on providing flexibility for
14 regional collaboration and opportunity for greater
15 efficiencies in transporting passengers.

16 --o0o--

17 AIR POLLUTION SPECIALIST BARFJANI: Staff has
18 been working closely with transit agencies and held or
19 participated in numerous individual or group meetings.
20 Through communication with transit agencies, staff
21 understands transit agencies are interested in providing
22 clean buses for their customers, but they're also still
23 concerned about the challenges and risk associated with
24 the transition to the advanced technology.

25 Issues like range, reliability, and capital costs

1 have been raised by transit agencies and others. Some
2 transit agencies also wonder if a transition to zero
3 emission technologies will cause reduction in transit
4 service. These questions, along with other issues, were
5 also raised at the mobile sources strategy Board hearing
6 last October. At that Board hearing, some stakeholders
7 recommended a performance based approach, and also
8 requested staff to provide more communication channels in
9 addition to statewide workshops and individual or group
10 meetings. We will provide a current status of these
11 concerns in the following slides.

12 --o0o--

13 AIR POLLUTION SPECIALIST BARFJANI: Let's start
14 with the technology. For near zero technology, the
15 Cummins Westport's 8.9 liter natural gas engine was
16 recently certified by ARB with 90 percent lower NOx
17 emissions compared to current standards and will be
18 commercially available this spring. Staff expects other
19 natural gas engines meeting one of the optional NOx
20 standards to become available within a year or two. ARB
21 is optimistic diesel engines will be able to meet these
22 levels as well, but their commercial production is a few
23 years away at this point.

24 Low NOx engines, combined with renewable fuels,
25 can gain significant GHG benefits. However, these

1 benefits of using renewable fuel may already be claimed
2 through the Low Carbon Fuel Standard program, or LCFS.
3 When LCFS credits are issued, there are no additional
4 benefits available. In addition, data has indicated the
5 supply of -- the supply of renewable fuels in the long
6 term will not be sufficient for all heavy-duty sectors.

7 For further -- this further demonstrates that
8 zero emission technologies play a pivotal role in leading
9 the on-road heavy-duty sector to meet our immediate and
10 long-term GHG reduction goals. Concurrently, renewable
11 fuels will be needed for off-road vehicles, marine,
12 aviation, that are not likely to transform to zero
13 emission technologies.

14 --o0o--

15 AIR POLLUTION SPECIALIST BARFJANI: For zero
16 emission technologies, there are three main categories
17 utilized by transit agencies today: Fuel cell electric
18 buses, battery electric buses with the slow charging
19 option, and battery electric buses with fast charging
20 option.

21 In contrast to conventional diesel engine buses,
22 every zero emission bus has quiet operation, better
23 acceleration, and the ability to recover braking energy by
24 a regenerative brake.

25 Fuel cell electric buses' range and fueling time

1 are comparable to conventional technologies. Transit
2 agencies, including AC Transit and Sunline Transit use
3 them in the same way as their conventional diesel and CNG
4 buses without having a dedicated special route.

5 Fuel cell electric buses' daily fueling and
6 cleaning can be incorporated into the rest of the fleet
7 seamlessly, as shown in the top picture in this slide.
8 The price of fuel cell electric buses remains higher than
9 the other technologies. However, large orders can
10 demonstrate a significant price reduction.

11 --o0o--

12 AIR POLLUTION SPECIALIST BARFJANI: Battery
13 electric urban buses powered by large battery packs
14 provide a range of up to 160 miles on one single charge
15 under urban road conditions. Such buses, as made by BYD,
16 are being operated by multiple transit agencies. The
17 charging infrastructure for these types of buses is
18 inexpensive but the charging time is longer. Battery
19 electric buses with slow charging could meet a good
20 portion of transit needs today and not confined with a
21 certain route

22 --o0o--

23 AIR POLLUTION SPECIALIST BARFJANI: On the other
24 hand, battery electric buses with fast charging have
25 smaller battery packs, such as those made by Proterra, and

1 operated by Foothill Transit and San Joaquin Regional
2 Transit Districts. The charging is on route and takes
3 three to 10 minutes. Charging can be at a bus stop via
4 overhead terminals connected to a charging station. The
5 on-route charging systems provide unlimited range, but
6 they are more expensive compared to slow charging option
7 and may need to operate on dedicated routes.

8 --o0o--

9 AIR POLLUTION SPECIALIST BARFJANI: To date,
10 several transit agencies in California are providing their
11 daily services with zero emission buses and are expanding
12 their existing zero emission bus fleets. There are also
13 other agencies that are adding zero emission buses to
14 their fleets for the first time.

15 As of last year, there were 77 zero emission
16 battery electric and fuel cell electric buses operating in
17 California by transit agencies and universities, and 96
18 more were ordered with delivery expected this year. The
19 number of zero emission buses operating in California will
20 be more than double next year. And there are multiple bus
21 models and manufacturers available in the market. Of the
22 10 zero emission bus manufacturers, five have manufacturer
23 facilities in California providing high quality jobs.

24 We are also starting to see a large expansion of
25 zero emission buses outside of California, both

1 naturally -- nationally and internationally.

2 --o0o--

3 AIR POLLUTION SPECIALIST BARFJANI: Nearly all
4 transit bus manufacturers have now entered the zero
5 emission bus market with one or more commercial zero
6 emission models. The largest bus manufacturer in North
7 America, New Flyer, is offering both battery electric and
8 fuel cell electric options. Only one major manufacturer
9 is still in the demonstration phase for their battery
10 electric bus. However, they have a successful hybrid
11 electric platform that can be integrated and used by a
12 zero emission bus.

13 California manufacturers, including BYD,
14 GreenPower, El Dorado, EBus, Motiv, and U.S. Hybrid are
15 also offering various models. Proterra will soon be
16 open -- sorry. Proterra will soon open a plant in
17 California. We also expect Gillig, which is based in
18 Hayward, to have a commercial product soon.

19 --o0o--

20 AIR POLLUTION SPECIALIST BARFJANI: The economic
21 analysis will be a critical part of the staff proposals.
22 Staff is currently working with transit agencies to
23 identify the best data for cost analysis. Staff believes
24 that the cost analysis must be comprehensive and include
25 capital, operational, and maintenance costs of vehicle as

1 well as buying, operational, and maintenance cost of
2 charging infrastructure or fueling infrastructure.

3 Although the upfront capital cost of zero
4 emission buses are higher than conventional buses, staff
5 believes that there are potential cost savings for
6 maintenance and fuels. The cost savings for maintenance
7 mainly come from simplified powertrain with fewer
8 components to maintain and replace, while the saving for
9 fueling will depend on current fuel costs and electricity
10 rates.

11 Electricity rates throughout California could be
12 highly variable. The procurement costs of fuel cell
13 electric buses are still high, but they are also
14 declining, especially if large volumes are considered.
15 Some zero emission bus manufacturers also share a myriad
16 of financing options that bring the capital costs below
17 those of conventional vehicles.

18 Staff understand there are also other start-up
19 costs associated with technology transformation. For a
20 thorough cost analysis, staff continues working with
21 transit agencies and other stakeholders to refine the
22 existing data and collect additional necessary data.

23 --o0o--

24 AIR POLLUTION SPECIALIST BARFJANI: This slide
25 shows preliminary information we collected last year and

1 that is paid back in battery lease payments.

2 Low Carbon Fuel Standard program allow transit
3 agencies to monetize the value of using certain low carbon
4 fuels. HVIP program currently offers rebate up to
5 \$110,000 per zero emission buses, if in a disadvantaged
6 community, and slightly less, if in other parts of the
7 State. Other grant programs can be used to offset the
8 cost of advanced technologies as well.

9 Again, staff will be working with transit
10 agencies to understand the best way that incentives can
11 complement their funding and play a role in advancing zero
12 emission technologies in their fleets.

13 --o0o--

14 AIR POLLUTION SPECIALIST BARFJANI: While
15 technology is expected to continue to improve, it is
16 important to ARB that the proposal will not reduce transit
17 service. Staff is assessing zero emission bus performance
18 and its potential and limitation to fully integrating into
19 transit operations.

20 Staff is also proposing a phased-in schedule to
21 reduce operational risk. With this phased-in schedule,
22 transit agencies can maximize the useful life of the
23 existing fueling infrastructure. It is important to note
24 that large deployments are possible. The Board of the
25 Antelope Valley Transit Authority has approved a contract

1 to purchase 85 battery electric buses and set a goal of
2 becoming the nation's first fully electrified fleet by the
3 end of fiscal year 2018.

4 Antelope Valley may not be large enough to change
5 market dynamics by themselves. However, it has a high
6 daily average mileage, and hilly routes that presents a
7 more challenging driving and duty cycle than a lot of
8 other transit agencies.

9 We look forward to working with Antelope Valley
10 transit on data collecting and further technology
11 validation. Because we know not every transit agency is
12 the same, we will also evaluate off-ramp provisions to
13 address operational concerns.

14 --o0o--

15 AIR POLLUTION SPECIALIST BARFJANI: Transit
16 operation is important to disadvantaged communities. Many
17 transit -- many transit buses operate in congested and
18 disadvantaged areas, where urban and localized pollution
19 is a major health concern.

20 ARB's recent solicitation for zero emission truck
21 and bus pilot projects provides up to \$24 million. The
22 response to this competitive solicitation was sizable with
23 about \$290 million in grant funding requested. The
24 priority for disadvantaged community benefits and emission
25 reductions is reflected in ARB's application scoring

1 criteria, which includes a requirement that projects
2 provide benefits to disadvantaged communities and a
3 preference for projects that address common economics
4 needs of disadvantaged communities.

5 Staff is focused on ensuring the regulation
6 provides benefits to disadvantaged communities as we
7 transition to clean transportation options.

8 --o0o--

9 AIR POLLUTION SPECIALIST BARFJANI: Questions
10 have been raised to ARB about the potential role of the
11 performance based standard. As the staff evaluates this
12 option, it is important to keep in mind that our purpose
13 of pursuing an ultimate goal of widespread zero emission
14 technologies extends beyond just a tailpipe or even the
15 lifecycle emission for the air pollutants and GHG
16 emissions. A number of other factors come into play and
17 must be balanced as laid out here. Staff will continue to
18 work with the stakeholders and receive input as we analyze
19 this option.

20 --o0o--

21 AIR POLLUTION SPECIALIST BARFJANI: Finally, we
22 would like to cover outreach and coordination efforts. We
23 are excited about the new opportunities we have had to
24 engage stakeholders, which will be discussed on the
25 following slides. These include the advanced clean

1 transit work group, the transit agency subcommittee, and
2 the technology symposium.

3 In addition, staff will continue to hold
4 statewide workshops, have individual or group meetings
5 with transit agencies and other stakeholders, work closely
6 with funding programs and partners, engage with technology
7 and bus manufacturers, coordinate with other programs --
8 excuse me -- such as the Low Carbon Fuel Standard
9 regulation, the State's Implementation Plan, the scoping
10 plan, and sustainable freight strategies to ensure
11 seamless program integration.

12 --o0o--

13 AIR POLLUTION SPECIALIST BARFJANI: Staff has
14 created an Advanced Clean Transit Workgroup that comprises
15 a wide range of stakeholders, such as technology
16 providers, original equipment manufacturers, transit
17 agencies, and other interested parties to discuss the
18 current status of advanced technologies for reducing
19 emissions from transit buses.

20 The focus of the workgroup is to discuss barriers
21 and solutions to implementing near zero and zero emission
22 technologies in existing transit fleets. In addition to
23 the workgroup, we have created a transit agency
24 subcommittee. The subcommittee includes transit agencies,
25 California Transit Association, California Association for

1 Coordinated Transportation that represent small, rural,
2 and specialized transportation providers and metropolitan
3 planning organizations. Staff is working closely with the
4 subcommittee -- with the subcommittee on topics such as
5 cost and flexibility options.

6 To date, we have met with the subcommittee twice
7 and the broader workgroup once and conducted separate
8 meetings with some of these members on special issues.
9 Staff would like to take this opportunity to thank members
10 of the technical workgroup and transit agency subcommittee
11 for working with us collaboratively and figuring out
12 solutions and the best data to use.

13 We'll continue our data acquisition and analysis
14 with joint effort from our transit partners and technology
15 providers.

16 --o0o--

17 AIR POLLUTION SPECIALIST BARFJANI: On February
18 8th, staff held a technology symposium to cover topics,
19 including transit agency experience operating zero
20 emission buses, advanced technology availability and
21 near-term outlook, low carbon fuel costs and supply, and
22 on-site infrastructure for clean technologies. Subject
23 experts were invited to be on the panels for presentations
24 and discussion. The technology symposium had a focus on
25 issue identification and was solution oriented.

1 The technology symposium was a success with many
2 technical highlights, as indicated in this slide. We
3 also -- it was also well attended by transit agencies.
4 However, the work did not end there. There action items
5 and other necessary efforts identified from the symposium.
6 The output of these action items would help staff's
7 technical analysis and move heavy-duty transportation
8 electrification forward.

9 --o0o--

10 AIR POLLUTION SPECIALIST BARFJANI: As we move
11 forward, staff will continue working with the stakeholders
12 for data collection and proposal crafting. We plan to
13 continue utilizing the workgroup and subcommittee meetings
14 and to increase the outreach and education for transit
15 agencies especially the smaller ones.

16 Staff is also planning a series of statewide
17 workshops in the spring and summer 2016 to craft the
18 technology and regulatory proposal, provide economics and
19 business cases, and also provide additional information in
20 regards to funding and incentives.

21 Staff will come back to the Board in late 2016
22 for the Board to consider the staff proposal.

23 This concludes my presentation. I'm more than
24 happy to answer any questions the Board may have.

25 Thank you.

1 CHAIR NICHOLS: Thanks for the presentation. I
2 think what perhaps is missing from the context here is
3 what's the hook? What's the ARB's hook here in terms of
4 where we're headed with this program?

5 I mean, wanting to transform the fleet, needing
6 to transform it, accelerating it, the introduction of zero
7 emission vehicles are clearly appropriate goals for the
8 Air Resources Board. But is this all done under the
9 context of the scoping plan of AQMPs, of the ZEV bus rule
10 that was adopted years ago but has been sort of in
11 suspense for a while now, or all of the above? How are
12 you actually thinking about moving this forward, in
13 addition to the process part?

14 MOBILE SOURCE CONTROL DIVISION CHIEF KITOWSKI:
15 Let me start that.

16 CHAIR NICHOLS: Okay. Thanks, Jack.

17 MOBILE SOURCE CONTROL DIVISION CHIEF KITOWSKI: I
18 think a check the all-of-the-above box might be the
19 appropriate answer here.

20 CHAIR NICHOLS. Okay.

21 MOBILE SOURCE CONTROL DIVISION CHIEF KITOWSKI:
22 The context for our regulation would likely be a
23 revision of the current clean transit bus regulation, but
24 we would certainly be coordinating and seeing it
25 consistent. We would need to sure it's consistent with

1 the scoping plan that's being -- updated scoping plan
2 being developed now, as well as the SIP measures that are
3 being developed.

4 CHAIR NICHOLS: That's helpful. Thank you. We
5 have number of people who have signed up, 12 to be exact.
6 Their names are up on the screen there, so you can see
7 where you are in the order, and just be ready to come
8 forward when it's your turn, we'll begin with Michael
9 Pimentel from the California Transit Association.

10 MR. PIMENTEL: Good afternoon everybody.

11 Madam Chair and Board members, Michael Pimentel,
12 legislative and regulatory advocate for the California
13 Transit Association, a trade organization representing
14 nearly 200 transit affiliated members, including, but not
15 limited to, California's largest urban transit agencies,
16 as well as dozens of small- and medium-sized transit
17 agencies operating in suburban and rural areas.

18 I'm joined today by two members of the
19 association that have been particularly involved in recent
20 months in the development of the Advanced Clean Transit
21 regulation, Paul Jablonski, CEO of the San Diego
22 Metropolitan Transit System, and Mike Wiley, general
23 manager of Sacramento Regional Transit District and chair
24 of the Association's Executive Committee, essentially our
25 board of directors.

1 I'd like to begin my comments this morning by
2 thanking you for this opportunity to provide the
3 Association's take on the continued development of the
4 Advanced Clean Transit regulation, and for your
5 willingness to meet individually with various subsets of
6 the Association's membership over the past few months.

7 Some of you may recall that the Association and
8 some of our members were before you in October 2015, as
9 you considered the discussion draft of the mobile source
10 strategy. At that time, we provided comments that cast
11 doubts on the appropriateness of the ACT regulation, given
12 the costs and range of existing zero emission technologies
13 and transit agencies' limited budgets. And we also made
14 clear our request that ARB formalize its engagement with
15 transit agencies.

16 Today, I'm happy to report that since we
17 presented to you in October, ARB staff has established
18 several formal channels for regular and ongoing
19 collaboration with transit agencies. We are now working
20 in tandem with ARB staff to identify strategies for
21 advancing the goals of the ACT that more consciously take
22 into account the operational limitations of zero emission
23 technologies and the financial constraint of transit
24 agencies.

25 In the past few months alone, we've had meetings

1 of the transit agency subcommittee, the advanced clean
2 transit technology symposium, and the Advanced Clean
3 Transit Workgroup. And through these meetings, we
4 witnessed an evolution of ARB staff's understanding of the
5 cost of the regulation, the complexity of our funding
6 needs, and the importance of flexibility options to the
7 viability of zero emission bus -- a zero emission bus
8 purchase mandate.

9 Nevertheless, there remains a sizable gulf in our
10 understanding of the magnitude of the regulation's cost
11 and the concepts that should be considered when we discuss
12 flexibility.

13 To further highlight the work that is ongoing
14 with ARB staff, and for specific insights related to
15 life-cycle costs, I'll turn to Paul Jablonski. Paul will
16 then be followed by Mike Wiley who will summarize what we
17 think these costs mean for the ACT regulation, and what we
18 believe ARB might consider supporting instead to encourage
19 the adoption of zero emission bus technology in a cost
20 effective and flexible manner.

21 Thank you.

22 MR. JABLONSKI: Madam Chairwoman and members of
23 the Board, thank you for allowing me to speak today.

24 My name is Paul Jablonski. I'm the Chief
25 Executive Officer of the San Diego Metropolitan Transit

1 System. And I'm also the chair of the recently
2 established transit agency subcommittee.

3 As Michael mentioned, we greatly appreciate the
4 process that's been established by the ARB to include
5 transit operators in the discussion of the Advanced Clean
6 Transit regulation. And as early adopters of clean fuels
7 and technologies, we, in San Diego, have been for over two
8 decades involved in CNG. We very much understand ARB's
9 mission to improve the climate and to reduce -- and to
10 improve air quality.

11 And the Association's membership also has been
12 supportive of zero emission technologies across the Board.
13 We also want to see that technology mature and become more
14 commercially available. But I think what's at the heart
15 of the ACT regulation is the assumption that zero emission
16 technologies are viable for transit operations statewide.

17 Our experience with battery electric buses and
18 independent analysis of operations of vehicles showed that
19 it's too soon for a purchase mandate to be put into
20 effect. Whether we look at the Altoona testing for buses,
21 or a recent draft report prepared for the Advanced Clean
22 Transit Consortium in Los Angeles, we're seeing that cost,
23 durability, emissions profiles of these vehicles aren't
24 what they -- where they should be yet.

25 We have given careful thought to what a zero

1 emission bus purchase would look like from a cost and
2 operational perspective, and we want to make sure to avoid
3 the unintended consequences that has been talked about
4 this morning.

5 And I think in our discussions the CARB staff
6 agrees with us. We don't want to cause cuts to transit
7 service as well as increased fares. And we believe that
8 such consequences would undermine the progress transit
9 operators have made in terms of air quality or diminish
10 the economic mobility environmental justice benefits of
11 transit, especially when you consider that most of our
12 customers are the most transit dependent of our
13 communities.

14 To avoid these consequences, we are putting a lot
15 of time and effort into the advisory subcommittee. We
16 have two subgroups set up. One is to deal specifically
17 with costs and the lifecycle costing of zero emission
18 buses. And from -- and for the last several -- well,
19 we've been actually working on a cost model for months and
20 months now. But one of the things that's imperative is
21 that we believe that the cost of implementation of ACT
22 will cost the industry between eight and ten billion
23 dollars in current dollars.

24 For a system like San Diego with 800 buses, that
25 means from an acquisition, from a cost, and from an

1 operating standpoint about \$400 million total. And that
2 does not include the operational limitations of range that
3 exist with the current vehicle.

4 The second subgroup is looking at flexibility or
5 off-ramp opportunities for the ACT. And while we want to
6 advance the technology and reduce emissions, we have to be
7 careful about not having these negative consequences. One
8 particular aspect that we like is the use of CNG and now
9 100 percent biogas, as several of us are in the State,
10 combined with the new low NOx engine. That will produce a
11 carbon intensity score of about 11, with respect to that
12 combination, as opposed to what we've seen on the CARB
13 website where electricity now is about 110.

14 So significantly improvement. And we think
15 that's -- for many of us that have gone down this path,
16 that that is a very cost effective path to continue on.

17 So we want to continue working with the ARB and
18 the staff over the next several months to refine the cost
19 model and to help refine the ACT itself for an
20 implementation that can work for all of us.

21 Thank you.

22 BOARD MEMBER ROBERTS: Madam Chairwoman, could I
23 ask a question?

24 CHAIR NICHOLS: Yes, please. Go ahead.

25 BOARD MEMBER ROBERTS: Mr. Jablonski, you

1 mentioned the Altoona test or testing. Maybe the staff
2 mentioned that. I don't know what that is, but would you
3 help me with that?

4 MR. JABLONSKI: Yeah. Altoona testing is the bus
5 testing that's required by the federal government. Before
6 any new bus is put on the market, they must go through a
7 series of Altoona tests. And what we saw in the Altoona
8 testing is a very high amount of breakdowns that occurred
9 during the tests of both the battery -- slow charge
10 battery bus as well as the quick charge battery bus.

11 To put it in perspective, the CNG bus that was
12 tested had about 39 hours of breakdown, and both electric
13 buses were 260 and 290 in unscheduled maintenance
14 requirements during those tests. So about seven times
15 higher.

16 And I think what's that's the product of is that
17 both the largest bus manufacturers for ZEV technology
18 right now are power plant -- focused on power plant in the
19 battery et cetera, and the bus is not as robust as some of
20 the manufacturers that have been in the industry for quite
21 some time.

22 BOARD MEMBER ROBERTS: Are these recent tests or
23 are these --

24 MR. JABLONSKI: Conducted over the last couple of
25 years, yes.

1 BOARD MEMBER SPERLING: Could I ask one question?

2 CHAIR NICHOLS: Yes, please.

3 BOARD MEMBER SPERLING: So there's a cost
4 analysis that the staff presented. You were kind of
5 suggesting you disagreed with it. Is -- it was -- you
6 know, it's on slide 17/18, is that -- do you think that's
7 correct or not?

8 MR. JABLONSKI: Well, I can't wait to get some of
9 that financing that's going to reduce the cost of the bus
10 below what we pay now. That's like free money. But at
11 every aspect, we're seeing the cost of the bus -- you
12 know, a CNG bus that we're running right now is a little
13 over 500,000, a zero emission bus is about 800,000. So
14 it's between 50 and 60 percent higher.

15 The fuel. In San Diego, it costs us about \$8,000
16 a year to run a bus on CNG, and we're 100 percent biogas
17 right now. And, in fact, we're testing the new Cummins
18 low NOx engines also. Electricity costs in San Diego
19 would go up to \$18,000 per year. It's a difference
20 between \$0.21 a mile and almost \$0.47 a mile. And those
21 are by our own electricity charges and CNG charges, and
22 what the manufacturers have told us in terms of kilowatts
23 per hour.

24 BOARD MEMBER SPERLING: Thank you.

25 CHAIR NICHOLS: Okay.

1 MR. JABLONSKI: The other cost element, just --

2 CHAIR NICHOLS: Yes, please.

3 MR. JABLONSKI: We have not refined this
4 totally -- is that if you take the range of a bus -- a
5 slow charge bus and let's say it's 120 or 130 miles, the
6 vast majority of our routes we send the bus out in the
7 morning and it stays there all day. We relieve the
8 driver, so the bus keeps going on the schedule. If you
9 have a bus that can only go 120 miles on a slow charge,
10 that means after 100 miles or so, you have to bring it
11 back into the yard in order to charge. That means you
12 have to send out another bus.

13 We've actually run schedule scenarios in trying
14 to run our operation with electric buses, and at minimum
15 it would take 25 percent more buses than we have now just
16 to operate the same schedule. And we have not quantified
17 those costs in our cost model yet. That will be coming up
18 in the next month.

19 CHAIR NICHOLS: Okay. Thank you.

20 MR. JABLONSKI: Thank you.

21 CHAIR NICHOLS: Next is going to be Mike Wiley.

22 MR. WILEY: Good morning, Chair Nichols and
23 members of the Board. Yes, I'm Mike Wiley. I'm the
24 General Manager, CEO here in Sacramento. I'm also the
25 chair of the California Transit Association. And in deed

1 it's a pleasure for us to be here today to express our
2 views.

3 We've been working very cooperatively with your
4 staff. Obviously, we've met with most all of you as well
5 to express our interest and our concerns.

6 Zero emission buses, I mean, which community
7 wouldn't -- in California wouldn't want to have the
8 cleanest vehicle available? Which community wouldn't want
9 it to be most -- the most cost effective as well?
10 Certainly, I know when I talk to my supervisor and member
11 of my Board, Director Serna, he would absolutely support
12 that as we would as well.

13 The real issue is how do we get there and when do
14 we get there? As both Michael and Paul mentioned, the
15 Association has been actively engaged with your staff for
16 the past, well, quite some time to help -- help guide and
17 influence in a cooperative approach to achieve a
18 regulation that we can all support.

19 Work is now underway that we believe will help
20 shape the regulation in a way that advances your
21 overarching environmental and technological goals, while
22 limiting negative operational and financial impacts to
23 transit agencies.

24 We don't want to have a regulation that's going
25 to cause us to reduce service, and therefore have the

1 negative effect of us having to cut service and therefore
2 reduce ridership. That is not where any of us want to go.

3 As data has become available and our early
4 assumptions regarding costs and the operational hurdles of
5 implementing zero emission technologies are validated,
6 we've arrived at the conclusion that a one-size-fits-all
7 approach is untenable. Making this regulation viable will
8 require tremendous flexibility that takes into account the
9 limitations of transit agencies and the importance of
10 investing limited State resources strategically to
11 maximize the regulation's cost benefit.

12 For this reason, the Association continues to
13 advocate for the enactment of a technology neutral
14 performance-based regulation that provides transit
15 agencies with the flexibility to implement zero and/or
16 near zero emission technologies best suited to meet their
17 specific community and operational needs.

18 This approach recognizes that for some transit
19 agencies broad implementation of zero emission bus
20 technology is feasible and perhaps even desirable, while
21 at the same time, rebutting the assertion that robust or
22 enthusiastic implementation of this technology, in some
23 transit systems, means it can and should be aggressively
24 implemented statewide.

25 This approach also recognizes that many transit

1 agencies have invested heavily in clean natural gas fleets
2 and fueling infrastructure, including Paul Jablonski in
3 San Diego, here in Sacramento 100 percent natural gas.
4 We've been 100 percent for about nine to 10 years now, and
5 we also purchase biofuel. So we're taking full advantage
6 of all the opportunities that we can.

7 CHAIR NICHOLS: We are imposing the three minute
8 time limit. I didn't issue a second warning. However,
9 Supervisor Serna wants to ask you a question, so that
10 could extend your time for a while.

11 MR. WILEY: Wonderful.

12 (Laughter.)

13 BOARD MEMBER SERNA: Thank you, Chair Nichols.
14 And thanks for being here, Mike, to address this today on
15 this important update. I have a -- first of all, I
16 appreciate you speaking for me and expressing the fact
17 that, you're right, I think it goes for our entire
18 Regional Transit Board of directors, it probably does for
19 many similar boards across the State that are governing
20 transit agencies, that we want to do everything we can to
21 get to a place where we're maximizing zero emission
22 transit service. But there is a very real concern that to
23 get there, we want to understand - I think someone
24 mentioned earlier - the possible unintended consequences
25 of doing so.

1 How -- you know, you're chair of the organization
2 your representing today, the California Transit
3 Association. I'm pretty familiar with our own
4 circumstance here in Sacramento in terms of post-Great
5 Recession how are we grappling with the service cuts that
6 unfortunately were imposed to balance our budget. But how
7 would you characterize the condition of transit agencies
8 across the State in a similar regard? Are there agencies
9 that have restored 100 percent and are doing -- having
10 even more robust service delivery compared to before the
11 recession? Are we at, you know, 60 percent, 70 percent?
12 Where are we generally?

13 MR. WILEY: We're still behind statewide. Many
14 systems cut in the neighborhood that we cut. Director
15 Serna is mentioning we reduced service in 2010 by about 23
16 to 24 percent, and we've restored a total of about 12
17 percent of that. So we're behind locally. And that's
18 true pretty much throughout the State, in terms of what I
19 hear from all the other transit operators.

20 So we still haven't caught up in terms of the
21 overall level of service that we previously operated.
22 Other operators in California are doing what we're doing
23 here in Sacramento as well, which is to restore that
24 service in the most cost effective way as possible, so
25 that we can, in fact, look at generating more riders than

1 we otherwise might have in the past.

2 Resources continue to be limited. Our own
3 operating budget in 2007, our annual operating budget, was
4 \$147 million. This current fiscal year it's \$155 million.
5 So we've just barely caught up, even though costs have
6 continued to increase over time, over the past, well now,
7 nine years. So there's still quite a bit of catching up
8 to do statewide.

9 BOARD MEMBER SERNA: And also fair to say, I
10 would assume, that across the State most of those cuts
11 have affected the transit-dependent, the non-choice riders
12 in those systems?

13 MR. WILEY: Typically, when you reduce service,
14 you reduce your least productive services. And
15 unfortunately, the folks that are continuing to ride those
16 services before they are cut are those that generally
17 don't have another option. And generally, that's going to
18 be your lower income constituents.

19 BOARD MEMBER SERNA: Right. So therein lies my
20 very real concern. To what extent has there been any
21 discussion with staff about the timing of the rule
22 relative to some metric that is associated with a
23 condition that we still suffer based on the recessionary
24 effects of the economy?

25 MR. WILEY: We haven't specifically discussed the

1 recessionary effects of the economy. We have talked about
2 a performance-based approach that looks at all of those
3 factors and considers it as we implement a new rule that
4 we -- and I -- we're getting a very positive reaction from
5 your staff about that as well, that collectively we don't
6 want to implement a rule that's going to result in further
7 cuts and further losses. And as you indicated, most
8 likely the areas, if in fact that happen, would be in
9 those areas that can least afford it, and that's the more
10 transit-dependent folks.

11 BOARD MEMBER SERNA: Thank you.

12 MR. WILEY: And that certainly is the goal that
13 we've set for ourselves. We've also set the goal of
14 making sure that the current capital investments that we
15 have are -- we can take full advantage of and not throw
16 some of that away before the end of its useful life.

17 We just opened a second CNG facility -- fueling
18 facility several years ago. So there's a huge capital
19 investment in that, and it has a life that goes well
20 beyond the life of a bus, which is typically 12 years.
21 We're talking two to three times the life of a bus before
22 we really are looking at a replacement of that type of a
23 facility. So that's part of what we're looking to
24 achieve.

25 BOARD MEMBER SERNA: Thank you, Mike.

1 MR. WILEY: Thank you.

2 CHAIR NICHOLS: Thank you.

3 MR. WILEY: Thank you.

4 CHAIR NICHOLS: James Holtz.

5 MR. HOLTZ: Chair Nichols, esteemed Board
6 members, I want to thank you today for allowing me to
7 speak in support of ACT rule. BYD, as you may know, is a
8 manufacturer of electric vehicles, electric buses,
9 electric trucks, photovoltaic energy solutions, as well as
10 fixed energy storage all using our iron phosphate battery
11 chemistry which is safe, environmentally safe, and also
12 non-combustible.

13 So many times we're going to find ourselves
14 aligning with your clean air initiatives. We strongly
15 support the ACT rule primarily because it aligns directly
16 with BYD's goals, which is to create zero emission buses,
17 provide the lowest total cost of ownership for transit
18 operators, and provide also the safest technology for
19 transporting passengers.

20 Over the last two years, BYD has done the
21 following things: We've reduced the price of our buses by
22 9.4 percent. We've reduced the overall weight of our
23 battery pack by 10 percent, and we introduced a 12-year
24 battery warranty.

25 In contrast, internal combustion engines have all

1 increased over time and will continue to increase as they
2 try to preach near zero emission goals. And this is due
3 to the use of particulate traps, as well as urea-injected
4 CSRs, and also greater compression of an extremely
5 flammable gas.

6 The cost to maintain these buses will continue to
7 increase as well, because they're going to use more
8 consumable components to achieve these lower emission
9 totals. Additionally, the engines will have to operate at
10 higher temperatures, which may create more failures in
11 reliability, and also require larger cooling systems to
12 keep these engines cool.

13 So, in short, we're coming down in price. We're
14 becoming -- we're at zero emissions today. We have a
15 lower total cost of ownership, and we're safer on the
16 streets. And they're growing and getting higher in price
17 and their total cost of ownership is growing, and their
18 technologies are still not zero emission.

19 So I can see that today there is a gap between
20 the capital acquisition costs between a zero emission bus
21 and an internal combustion bus, but that gap is narrowing
22 all the time. And as previously mentioned, it will
23 continue to become less of a gap.

24 With the endorsement of the FTA, we have come up
25 with a creative leasing proposal, not just BYD, but all

1 electric bus manufacturers, which allows transit operators
2 to purchase the price of the bus from an electronic bus
3 manufacturer for the same price they'd purchase an
4 internal combustion engine bus. And with the savings on
5 fuel, which will represent about half of the cost to fuel
6 a internal combustion engine, you would payoff the lease
7 for the battery plant or the battery pack and power
8 plants. Pardon me.

9 CHAIR NICHOLS: Your time has actually expired.

10 MR. HOLTZ: Okay.

11 CHAIR NICHOLS: Thank you. Appreciate your
12 presentation.

13 Ray Pringle -- Ray Pingle.

14 MR. PINGLE: Good afternoon, Chair Nichols and
15 CARB Board members. My name is Ray Pingle. I'm with
16 Sierra Club california. I'm also a participant in the
17 Advanced Clean Transit Workgroup.

18 We're here to strongly support CARB adopting an
19 updated rule-making to support zero emission buses, and
20 hopefully even to have that rule-making done by the end of
21 this year. I wanted to talk about costs for just a
22 second. So many of the reports and studies I've seen
23 actually show total cost of ownership for electric bus,
24 for example, as lower than a diesel -- comparable diesel
25 bus.

1 I think when you compare it with compressed
2 natural gas because the fuel costs for gas are much lower
3 than diesel, the jury is out. In some cases, it's been a
4 positive ROI, some cases it's been a negative, based on
5 the electricity cost. So cost is everything in this
6 discussion.

7 So what are the key differences in cost?
8 Obviously, the bus -- an electric bus is going to cost
9 about 750, somewhere like that. A comparable diesel gas
10 bus is about 550. So there's about a 200 or so thousand
11 dollar delta on the capital cost. And then it gets into
12 the cost of the batteries that's a major component of that
13 difference, as well as the electricity cost.

14 So battery costs have been coming down
15 dramatically. In 2009, lithium ion batteries were costing
16 \$1,200 per kilowatt hour. Now, they're costing about \$300
17 per kilowatt hour. That's a 75 percent drop in six years.
18 And they are continuing to decline and they will continue
19 to decline.

20 And it's a very analogous situation to solar
21 cells, right? What did solar cells cost many years ago?
22 What did people a few years ago forecast solar cells would
23 go down. And obviously, solar cells have gone down much
24 more rapidly than people forecast.

25 There's a huge rapid growing demand for batteries

1 in the world today and the U.S. and in California for
2 storage, with the PUC's storage ruling, and also for
3 electric vehicles. All the major manufacturer's of
4 batteries are building huge new factories to meet this
5 demand.

6 You take Tesla for example, when it completes its
7 gigafactory and it's fully operational in 2020, they'll be
8 making as many lithium ion batteries as the whole world
9 made in 2013. BYD is doing the same thing. LG, a huge
10 supplier, is doing the same thing. So all these economies
11 of scale are going to continue to drive the capital costs
12 down, and that's with relatively few technical
13 innovations, which will also occur.

14 The second thing on cost is electricity. So I
15 was at the technology symposium. Great presentations by
16 Antelope Valley, Foothill Transit, many of these agencies.
17 They're just starting to figure out how do we manage our
18 electricity costs. And there's so many unexplored
19 opportunities to lower their electricity costs.

20 For example, one of the biggest contributors to
21 electricity cost is demand charges. And to my knowledge,
22 I don't know of any transit agencies that are using
23 battery storage to lower those costs. And there's many
24 other opportunities as well.

25 Thank you very much.

1 CHAIR NICHOLS: Thanks. Good comment.

2 MS. VAZQUEZ: Hi. Good afternoon, Board members
3 and Chair. My name is Diana Vazquez. I'm actually a
4 policy advocate for Sierra Club California. And I just
5 want to piggyback on to my colleague's comments. I'm also
6 a member of the working group that has been established.
7 And we've been working with, you know, your staff for the
8 lasts two, three months closely attending different
9 symposiums.

10 And I just want to say this is definitely vital
11 for our members. Really having a strong and clear rule
12 being established by the end of the year, given that the
13 staff has been asking for a natural turnover of fleets.
14 So we're not asking -- we understand that it's going to
15 take the agencies -- and we're seeing these conversations
16 happen with the transit agencies that it's been difficult
17 to transition to zero or near zero emissions. And we're
18 not asking them to transition tomorrow. We're asking them
19 to transition 20 years from now. So hopefully, we can
20 actually start planning for this.

21 We can see examples throughout California.
22 Specifically when Antelope Valley Transit, AC Transit, and
23 also Foothill Transit that they had actually started
24 thinking about this. And those are just some examples,
25 and some examples in the urban areas and the rural areas

1 that we can actually learn from.

2 And as well, in slide 19, we have a lot of
3 incentives as the State has been putting out there to
4 really incentivize the transit agencies to actually
5 utilize this, and is this something that we need to
6 actually provide technical assistance for the -- or your
7 staff need to provide technical assistance in actually
8 providing transit agencies how to apply for these
9 incentives.

10 There's a lot of money being put into these
11 programs, especially with cap-and-trade and how do we
12 actually utilize this, given that by 2050 we have to
13 reduce our emissions by 50 percent. So keeping that in
14 mind, and really keeping in mind that we have to have a
15 strong and concise rule by really hopefully by the end of
16 the year, the beginning of next year. We can't really
17 postpone this anymore.

18 By postponing it, it's going to actually delay
19 the fact that really how to incentivize the manufacturers
20 to start producing affordable buses for transit agencies
21 for them to purchase them.

22 So I really thank you for your time. I really
23 thank for working the staff -- with the staff. They've
24 been really helpful in really explaining it to somebody
25 who's not really, you know, more technically feasible, but

1 to explain it to our riders and to our members who are
2 really utilizing these buses.

3 So thank you for that.

4 CHAIR NICHOLS: Thank you.

5 MR. BARRETT: Good afternoon. I'm Will Barrett
6 with the American Lung Association in California. First
7 off, I wanted to welcome the new members to the Board. We
8 look forward to working with you as the Board continues
9 its mission to protect public health. So, welcome, and
10 thank you for your service.

11 The American Lung Association supports strong
12 integration of zero emission technology into transit bus
13 fleets and school bus fleets across California. We
14 support the Board's -- the staff's proposal to move
15 forward with this important rule. We've been impressed
16 recently with the level of dialogue and outreach that's
17 gone on around the rule through the symposium and other
18 working group meetings. I just wanted to note that.

19 Also, the Lung Association has a long history of
20 advocacy for zero emission vehicles, technologies, and
21 fuels to protect the public's health from air pollution
22 and climate change health impacts. We've also been before
23 this Board a number of times talking about the importance
24 of SB 375 and the integration of smart land-use planning
25 with transit accessibility.

1 We think that the zero emission buses that are on
2 the roads today in Stockton, in the Bay Area, and Southern
3 California really help to bring together multiple benefits
4 for clean air, improving public health and active
5 transportation, and making our communities healthier,
6 walkable, and transit accessible.

7 We think the rule can really help bring together
8 all of these benefits. It's especially important in
9 disadvantaged communities, as a number of members and
10 others have spoken to already. At the technology
11 symposium earlier this week, it was really exciting -- or
12 last week, sorry -- it was exciting to hear from so many
13 transit agencies looking to zero emission technologies as
14 the -- their standard for moving forward and want -- we
15 want to be able to support that through the rule, but also
16 with connections between our local staff offices and local
17 transit agencies.

18 Our staff in San Diego and Southern California
19 have been really looking at this as an important rule --

20 (Thereupon a phone rang.)

21 MR. BARRETT: Who's going to answer this?

22 (Thereupon a discussion occurred off the record.)

23 CHAIR NICHOLS: Interesting.

24 I'm sure that interrupted the webcast.

25 Yeah. I'm just waiting to get a sign? Are we

1 okay, do you think?

2 All right. We'll -- why don't you go ahead.
3 We'll give you a little more time for that.

4 MR. BARRETT: I wonder if they're looking for La
5 Ronda and the Ombudsman's office or something.

6 So basically, I want to work with our local staff
7 to bring together some of their efforts to talk with local
8 transit agencies and the technology providers, who are
9 really doing a lot of great work in California to get
10 these vehicles available to the transit agencies.

11 I also wanted to note at the technology symposium
12 that Same Wade on the ARB staff gave a great presentation
13 on ways that transit agencies can really look to the Low
14 Carbon Fuel Standard and take advantage of the new credits
15 that are available that this Board approved last year. We
16 think that's again a really important way to bring
17 multiple benefits of ARB's programs and regulations
18 together. So we have zero emission technology. We have
19 clean fuels that are providing credits and available value
20 to local transit agencies that we think they can take
21 advantage of.

22 I just wanted to note that we thought that the
23 presentation Mr. Wade gave was really important. And
24 again, just -- we'll bring together multiple benefits
25 through the ARB's programs to air quality and climate

1 health.

2 In closing, we want to urge the Board to
3 establish a strong Advanced Clean Transit rule that will
4 support clean air, protect our climate, spur the
5 transition to zero emission technologies, not just in the
6 bus sector, but the broader heavy-duty sector really
7 looking at ways that the battery technologies can
8 translate into the freight sector, and then really
9 providing regulatory certainty as these agencies move
10 forward.

11 I have a call to return apparently --

12 (Laughter.)

13 MR. BARRETT: -- so I'm going to thank you for
14 the time and look forward to working with all the staff.

15 (Laughter.)

16 CHAIR NICHOLS: Well, that was interesting.
17 Thank you.

18 Ms. Jatkar -- Mr. Jatkar.

19 MR. JATKAR: Good afternoon, Chair Nichols. And
20 welcome to the new Board members, Senator Florez and Ms.
21 Takvorian. I look forward to working with you.

22 My name is Shrayas Jatkar with the Coalition for
23 Clean Air. And I'd like to start by just, you know,
24 emphasizing the need for the Advanced Clean Transit rule.
25 Nearly twice as many Californians die from pollution --

1 tailpipe emission pollution than from automobile accidents
2 or collisions. And so the ACT rule I think is vital to
3 make sure that we meet our air quality, public health
4 goals and standards, and also petroleum reduction and
5 climate standards that we've set as a State.

6 And I think these benefits in terms of air
7 quality and petroleum reduction and climate protection
8 will be beneficial to all Californians, but especially to
9 those who are not only most dependent on transit, but also
10 most impacted by tailpipe emissions. And those are
11 seniors, people on low income -- low income residents,
12 people with physical disabilities.

13 And so we support the ACT rule. We support
14 specifically a mandate and a phase-in requirement for
15 purchasing zero emission buses. And again, we see these
16 as vital to making sure that we improve our environmental
17 and human health in California,

18 I also want to just speak to the fact that I
19 think this is also -- that this rule will also be aligned
20 with the goals of Senate Bills 1275 and 1204, which call
21 for increasing access to zero emission technologies for
22 low income households and moderate income households in
23 California.

24 You know, the Coalition for Clean Air, we do
25 support the policy framework of zero emission vehicles

1 where feasible, and near zero emission technologies
2 everywhere else. But here in the transit sector, I think
3 this is where we're seeing zero emission buses are
4 increasingly technologically feasible and also
5 increasingly commercially viable.

6 And so I think we -- it is definitely time to
7 develop and implement a zero emission bus purchase
8 requirement. And as noted by my colleague at Sierra Club,
9 this is, you know, not calling for it to be done
10 immediately and all at once, but phasing it in over time
11 as with natural fleet replacements.

12 And here in California, we need more transit. We
13 need greater service throughout the State to really get at
14 the issue of transportation emissions. And so I think the
15 ACT rule plays a vital role in making sure that we're
16 minimizing and eventually eliminating those tailpipe
17 emissions as we get more and more buses on the road.

18 And also, I'd just like to say that as a transit
19 rider every day from Davis to Sacramento on Yolo Bus, I
20 also see that there's other advantages and benefits to
21 this kind of rule moving towards zero emission buses,
22 specifically they're quieter, they tend to be smoother,
23 and so -- you know, that's reducing noise pollution, it's
24 improving the quality of the service, improving the
25 comfort and the quality of service, not only for riders

1 but I think drivers as well.

2 Thank you.

3 CHAIR NICHOLS: Thank you.

4 Jonathan Nelson, yes.

5 MR. NELSON: Thank you Board and members.

6 Jonathan Nelson on behalf of the Antelope Valley Transit
7 Authority, or AVTA. Pleased to be here today in support
8 of the proposed ACT rule framework.

9 So as quick background, AVTA is a transit agency
10 located in Southern California that serves the cities of
11 Lancaster, Palmdale, and surrounding regions. We have
12 pretty challenging routes that are characterized by long
13 duty cycles, steep inclines, temperatures that in the
14 summer can sore quite high, and we also have a population
15 that is quite disadvantaged. So we take the services that
16 we provide to our residents and ensuring continuity of
17 those services very seriously.

18 A couple years ago, AVTA first began testing a
19 pair of zero emission battery electric BYD buses, and were
20 quite impressed with the performance capabilities and the
21 range of these vehicles. And so much so, that, in fact,
22 our AVTA board of directors had the confidence to put the
23 public goal out there of trying to transition to 100
24 percent zero emission bus vehicles by 2018.

25 We are committed to that goal and have confidence

1 in that goal for a couple of reasons: Number one, because
2 we see that the prices are indeed going down, and going
3 down quickly; number 2, because, at least in our case, and
4 we've worked with ARB staff to provide some of this
5 material, the cost economics for operating the buses are
6 very favorable. In fact, we've seen significant savings
7 per mile compared with our diesel vehicles. And so we're
8 very pleased with what we're seeing there.

9 And then number three, we believe that this is
10 the best pathway to providing high quality service to our
11 residents. People love our buses. And so we do believe
12 that as California looks to the future, and looks for ways
13 to address our climate change goals, and they're
14 ambitious, we know that we really need to make progress in
15 this particular area. And I think we'll look back decades
16 from now and identify this proposed rule as one of the
17 landmark successes in this state.

18 So we want to extend the invitation to the entire
19 Board to come visit and see what we're doing down there.
20 We've already had some staff down there. We're also
21 committed to working with staff both through the ACT
22 subcommittee, the full committee, and as well as any other
23 venues to make sure that we can put a rule out there that
24 works for everyone.

25 Thanks so much.

1 CHAIR NICHOLS: Thank you. Oh, I'm sorry.
2 Excuse me. Wait. Sorry. I didn't see that we had a
3 question before you left.

4 Go ahead.

5 BOARD MEMBER TAKVORIAN: Thank you. Thank you
6 for your testimony. I just wondered over what period of
7 time you phased-in the buses? And can you describe that a
8 little bit.

9 MR. NELSON: Sure. So we first began testing
10 buses I believe in early 2014. It was a pair of BYD
11 40-foot battery electric buses. And we tested them on
12 multiple of our routes, really trying to get a feel for
13 the capabilities.

14 One of our key concerns was range. You know, we
15 can't be in a position where we've got a vehicle that
16 can't meet its duty cycle. And what we found was that not
17 only were these vehicles meeting the duty cycles or the
18 ranges that we were told they would be able to meet, but
19 they actually were exceeding them quite significantly.

20 We also found, and this was another area of
21 concern, of course, was the cost. And we found that we
22 were saving I believe it was an average of like a \$1.36
23 per mile, which adds up quite quickly, because our routes
24 are long, and we're racking up a lot of miles on our
25 vehicles.

1 So, so far, the experience has been positive.
2 Again, you know, we are very sensitive to the need to be
3 able to ensure service continuity. Our population is
4 quite disadvantaged. They need these services. They
5 can't go without. But we do have the confidence based on
6 our experience with these buses to move forward.

7 Thank you.

8 BOARD MEMBER TAKVORIAN: Thank you.

9 CHAIR NICHOLS: Thank you.

10 Now, Mr. Kenny. Hi.

11 MR. KENNY: Hi. Good morning, Chair Nichols,
12 members of the Board.

13 My name is Ryan Kenny. I'm with Clean Energy.
14 We're are the nation's largest provider of natural gas
15 transportation fuel. And we'd like to thank staff and
16 Tony Brasil for including us in the collaborative ACT
17 stakeholder group. We're a member and we're very pleased
18 to do so.

19 Working with other stakeholders on developing the
20 ACT proposal, and -- we're looking to incorporate, of
21 course, advanced clean technologies, including low NOx
22 engines combined with renewable natural gas. And we
23 believe this is a cost effective and key strategy for
24 transit agencies currently operating on compressed natural
25 gas and liquefied natural gas.

1 Back in October, we were pleased that most of you
2 expressed a desire for ARB's rule-making on this issue to
3 be more sensitive to cost impacts on transit agencies and
4 not exclude advanced natural gas technology solutions.

5 We strongly support this approach as it's
6 technology neutral and also performance based. And it
7 does set a goal, and therefore supports consideration of
8 multiple clean low carbon strategies.

9 Policy signals that support acceleration of
10 market adoption for low NOx strategies and ultra low
11 carbon fuels and heavy-duty -- in the heavy-duty sector
12 are vital to the State's environmental and --
13 environmental goals, including reduced carbon, clean air
14 petroleum reduction goals, and, of course, the ozone
15 attainment deadlines.

16 Just three quick points to mention on natural gas
17 transit buses. One, they're capable of delivering zero
18 emission like NOx emissions and the deepest carbon
19 reduction available. Number two, they remain a very cost
20 effective strategy that can utilize existing and
21 significant transit infrastructure investments.

22 And third, natural gas transit buses deliver
23 transit performance in terms of extended range, service
24 reliability, and operations costs.

25 Now, as a rule that is being developed, we do

1 have one request as it's being promulgated, and that it
2 does -- if there is a renewable fuel requirement, that it
3 does consider the LCFS credits and not deny the fuel
4 provider or the producer the ability to generate those
5 credits. It's important that there's incentives still for
6 the renewable natural gas requirement over and above
7 what's already required.

8 Again, thank you for your time. And if there's
9 any questions, I'd be happy to take them.

10 Thank you.

11 CHAIR NICHOLS: Thank you.

12 Mr. O'Dea

13 MR. O'DEA: Hi, Chair Nichols, and Board. I'm
14 Jimmy O'Dea. I'm an analyst with the Union of Concerned
15 Scientists. And on behalf of our 69,000 supporters in
16 California, I really want to thank you for considering
17 this rule and tell you that we support adoption of a zero
18 emission bus rule. And just three points on that.

19 The first being health. You know, buses and
20 transit represent a small fraction of emissions of, you
21 know, California's overall emissions, that if you ask
22 anyone that lives along a route, rides a route, waits for
23 a bus, or drives a bus every day, you know that it's
24 actually a big impact in their lives and in their health.

25 And as we mentioned, we know that these emissions

1 have disproportionate impacts on disadvantaged
2 communities. And we really applaud the Board for
3 considering these impacts, not only with this rule, but
4 with all of the rules that it considers.

5 The second point I want to make is on technology.
6 We feel that zero emission buses are incredibly well
7 suited for adoption of zero emission technologies. And,
8 you know, we recognize that the State has these ambitious
9 goals for climate and emissions elsewhere. And if the bus
10 sector can't meet these goals, we're really in trouble.
11 With the fixed route nature, and the, you know, overnight
12 charging at central facilities, transit buses are really
13 well suited to be zero emission.

14 The third point I want to make is we recognize
15 the intent of this rule is really tailpipe emissions that
16 we -- you know, a lot of the conversation includes
17 consideration of the greenhouse gas emission component.
18 And, you know, in those considerations, we want to point
19 out our analysis on light-duty vehicles, if you're
20 comparing, you know, what a car -- a traditional internal
21 combustion car emissions versus an electric car and its
22 grid emissions, the grid in California wins even today.
23 And we know we have, you know, really strong standards
24 going forward for the grid to get even cleaner.

25 And so we expect those same -- that same benefit

1 to really hold true when you're comparing emissions from
2 an electric bus versus a fossil fuel bus.

3 So the last point I want to make is I just want
4 to thank the staff for the really great technology
5 symposium and the workshops that have been hosted. It's
6 been a great dialogue with all the stakeholders and thank
7 you for considering this rule.

8 CHAIR NICHOLS: Hannah Goldsmith, and you are our
9 last witness.

10 MS. GOLDSMITH: I think it's still morning. Good
11 morning, Chair Nichols and members of the Board. And
12 welcome to the two new members. My name is Hannah
13 Goldsmith and I'm a project manager with the California
14 Electric Transportation Coalition.

15 Our board is comprised of the five largest
16 utilities in the State, and our membership also includes
17 major automakers and electric truck and bus manufacturers,
18 all of whom are committed to transportation
19 electrification.

20 The advance transit technology symposium
21 highlighted the array of advanced transit bus technologies
22 currently operating within transit fleets, as well as many
23 of the challenges that are inherent in shifting the market
24 to advanced clean transit technologies. You've also heard
25 about these today.

1 The expertise of the workgroup participants will
2 be invaluable in addressing these challenges as staff
3 moves forward with the advanced clean transit rule. The
4 utilities share the State's and CARB's commitment to
5 transportation electrification and are playing a broad
6 role. In addition, the utilities are committed to the
7 success of electric transit bus technology and are eager
8 to work with the transit agencies and bus manufacturers to
9 address any concerns.

10 Specific to utility rates, the utilities do not
11 want the price of electricity to be a barrier. The
12 utilities recognize, and this is in the recent CalStart
13 report that's on electric truck and bus integration, that
14 rates should acknowledge the unique needs of the electric
15 bus market, recognize the environmental and grid benefits
16 of electric buses be compatible with fleet bus operation,
17 remain technology and business model neutral, and finally,
18 the utilities are also willing to separately submeter
19 electric bus charging where it makes sense.

20 We look forward to continued collaboration with
21 the transit workgroup and continuing to work with staff
22 throughout the advanced clean transit rule process.

23 Thank you

24 CHAIR NICHOLS: Thank you. I don't see any other
25 people who have signed up or wish to speak on this item,

1 so we'll closeout this portion.

2 But I think Board members may wish to ask
3 questions or make some additional comments at this time.
4 And I'll start off with Mr. Serna.

5 BOARD MEMBER SERNA: Thank you, Chair Nichols.
6 So I tipped my cards a little earlier with my line of
7 questioning to Mike Wiley about where my concerns lie. So
8 I have a fairly surgical question for staff -- and forgive
9 me if it was addressed or answered in the presentation. I
10 don't think it was -- but what are we doing to actually
11 safeguard against having that unintended consequence of
12 affecting service, especially to what we in Sacramento
13 call life-line ridership riders, or transit-dependent
14 riders? What are we doing or what are we thinking about
15 in terms of rule development that will precisely safeguard
16 against that?

17 HEAVY-DUTY DIESEL IMPLEMENTATION BRANCH CHIEF
18 BRASIL: So one of the things that we are doing is we're
19 actually sending out a survey that gets into some of the
20 details for individual transits to understand the
21 variation among the different transits.

22 In terms of the rule concepts item, the items
23 that we're discussing that we have a separate subcommittee
24 for, are off-ramp provisions in the rule if the technology
25 cannot meet the needs of an existing bus within the

1 existing operation of the fleet. We are interested in
2 identifying ways to address those situations when they
3 occur, because the time frame of the rule is so long,
4 eventually, if technology doesn't advance as quickly, a
5 fleet might even encounter a situation where the range
6 that's available for their needs might not meet them. And
7 we think we can identify a number of ways to address some
8 practical limitations that can occur and may occur even
9 today with some transits, that is maybe not terribly
10 likely to occur for many.

11 BOARD MEMBER SERNA: So with regard to that --
12 the amount of discussion or brainstorming that there's --
13 there have been at the staff level in working with
14 stakeholders, has there been any specific discussion about
15 using some kind of measurement of service delivery that is
16 sensitive to the fact that, as I mentioned and as Mike
17 Wiley pointed out, we're all -- you know, we -- a number
18 of us probably serve on transit boards. So we've got some
19 mixed feelings here. We're still struggling to get back
20 out of the recession in terms of getting to a place where
21 we were, you know, before 2009.

22 Is there any discussion about using some kind of
23 measure of service delivery relative to that circumstance,
24 that experience, so that we don't have this effect on
25 service, because we have a new -- the introduction of a

1 new capital cost that is mandatory?

2 MOBILE SOURCE CONTROL DIVISION CHIEF KITOWSKI:

3 Let me jump in a little bit. I think one of the
4 things -- one of the items that you've heard throughout
5 the day was that we're working very well with the transit
6 agencies right now. A lot of that discussion, most of
7 that discussion, is really on the core data that will go
8 into the structure of the reg development. So what we put
9 out there a number of months ago was a broad concept of
10 how we would get from here to 2040. But the details as
11 Tony was outlining, there's many to be worked through.

12 At this point, this was the first I had heard of
13 that sort of concept. And it is something we can look at
14 different metrics as part of the off-ramps. But we're
15 really focused on making sure, at this point, we get
16 clarity on the cost data, the operational concerns, what
17 are the limiting factors, and then move into reg
18 development.

19 BOARD MEMBER SERNA: I would certainly encourage
20 you to think about it as you call it an off-ramp. And
21 I'll tell you in the Sacramento experience, you know, we
22 cut service by about 24 percent. And we're only about
23 halfway back, so we restored about 12 percent. And again,
24 I don't think we're unique across -- you know, compared to
25 other transit districts, other agencies in the State.

1 So I'd strongly encourage you to at least
2 consider that. Maybe not necessarily have it linked as
3 some kind of trigger, but I think it is an important
4 aspect of what we're trying -- all trying to achieve, both
5 ARB through rule-making and our local transit agencies
6 across the State.

7 DEPUTY EXECUTIVE OFFICER AYALA: Let me just jump
8 in and to make it entirely clear for you, Supervisor
9 Serna. One of the reasons we're here giving you an
10 informational item is so that you have an opportunity to
11 weigh in and give us your thoughts in terms of where we
12 should go with this process.

13 Your message that looking at some sort of index
14 to look at ridership is clear. So again, we will take
15 that and clearly include that in some of the discussions
16 we're having with the workgroups, and we'll look into
17 that. So rest assured that the message is clear.

18 BOARD MEMBER SERNA: Very good. Thank you.

19 CHAIR NICHOLS: Others?

20 Yes, Supervisor Roberts.

21 BOARD MEMBER ROBERTS: Thank you, Madam
22 Chairwoman. First of all, I was very happy when I looked
23 at slide number 20 and it said no reduced transit service
24 as a result of the regulation.

25 You know, in real estate they say location,

1 location, location. And transit it's service, service,
2 service. Okay. It's a level of the service. And I
3 don't -- you know, you don't need a scientific study to
4 tell you that, if we could be running buses or other
5 things.

6 And, you know, public transit isn't just buses.
7 Okay. I don't want to bring this up, but there are some
8 systems, and one I'm very familiar with, 40 percent of the
9 riders now are all electric. It's on something called a
10 trolley. And I didn't hear this. You know, we're talking
11 about transit.

12 Yes, if you go to Antelope Valley, they're going
13 to have buses. They don't have these other things that
14 we're investigating heavily in. And to treat these
15 systems, whether it's L.A. or San Diego or Sacramento,
16 like they're, you know, Foothills or Antelope Valley or
17 wherever you're getting these little tiny systems, they're
18 different. They're significantly different.

19 I like the discussion about performance, because
20 if you had performance, and you had -- you know, you would
21 phase-in electric. And even if you say we're going to get
22 to zero by 2040, but let the systems figure out. You can
23 have -- all the way along have the measurements of what
24 they've got to attain, I suspect, especially with the
25 large systems, they'd layout paths. We'd make the

1 progress that you want, but they do it in a way that works
2 for them.

3 And I hope that -- and let me emphasize,
4 everything I'm hearing from the people that are operating
5 these systems and our staff there's a good dialogue going
6 on here. And I want to -- I just want to encourage, these
7 people are not the enemy. You know, we are trying like
8 crazy to expand our systems. And I'm looking at numbers
9 coming in from all over the State, and big systems like
10 Los Angeles that has enormous drop in ridership. Now, you
11 know, that's -- we've got to figure out how to get that
12 up. And yes, we'd like to, at the same time, be making
13 progress. And I think we can, but let's make sure we're
14 working together, because we're in this together.

15 It's not going to do us any good if we have buses
16 that don't have the range, that don't have the
17 reliability. And there is a big discrepancy here you've
18 got to work through, Richard, you and your crew, because
19 we're hearing slightly different pictures. And I know
20 that prices have dropped, but the rate at which they're
21 dropping is leveling off. Don't expect they're going
22 to -- you're going to see the rate at which the cost of
23 the battery power has dropped to continue. That's going
24 to, you know -- but it's kind of suggested. Oh, yeah,
25 that's happened, so it's going to continue to happen, so

1 everything must be okay.

2 Please be looking at those costs. I know that
3 these people want to work with you. And at the end of the
4 day, you need them to be an ally in this. And I'm not
5 talking about people who sell buses, I'm talking about the
6 people who have to buy them, have to operate them, and
7 have to operate the systems. They're the ones that are
8 out there on the streets that are the end-users so to
9 speak, as they pick up their passengers all over. So
10 let's make sure we work with them very, very carefully.

11 CHAIR NICHOLS: Thanks. I think the process is
12 actually going well from what I've heard from all sides.
13 So I feel quite good about that. But I think there's some
14 sort of overarching issues that the Board should be giving
15 some additional thought to.

16 I had Dr. Sperling first and then Supervisor
17 Gioia.

18 BOARD MEMBER SPERLING: Let me try to give a
19 little more context and summarize some of these issues.
20 So this idea of electrifying and zero emission buses is
21 obviously a very desirable concept. I've spent my entire
22 career trying to understand how best to bring low
23 emission, clean technology into the transportation sector.
24 But let me just give a little context here.

25 First of all, all transit operator -- urban

1 transit operators are government. They're all heavily
2 subsidized. The urban -- the passenger fares cover about
3 30 percent of the operating costs, and none of the capital
4 costs. All this money -- so they're heavily subsidized.
5 They're getting monies coming from property taxes, from
6 sales taxes, local governments, a little bit from federal
7 and State sources.

8 There's really not that many buses in California,
9 when you compare it to number of trucks, number of buses
10 elsewhere in the world. We're really talking about a very
11 small number. I just actually looked it up. There's
12 about -- it looks like there's about six or seven thousand
13 buses -- urban transit buses in California. And so, you
14 know, the turnover is in the hundreds per year total.

15 These operators have absorbed large costs in
16 recent years for a lot of them converting to natural gas
17 and reducing the emissions in their buses. And probably
18 the most important point is that buses -- these transit
19 operators are performing a very fundamental public
20 service. That's what they do more than anything. They
21 are providing service to people that are mobility
22 disadvantaged, and often economically disadvantaged, but
23 elderly people, young people as well.

24 And buses are -- contrary to what someone said,
25 the buses are inherently unsuited to battery -- to use of

1 batteries. Batteries work great in my electric
2 toothbrush. They work fairly well in my smartphone.

3 (Laughter.)

4 BOARD MEMBER SPERLING: They work moderately well
5 in a small car. But the bigger the vehicle or the bigger
6 the -- you know, the bigger the vehicle, the less suited
7 it is to it. This battery packs in these buses are
8 mammoth and heavy and expensive. And so, yes, battery
9 costs have come down a lot. They're going to continue to
10 come down, but they still represent a huge additional cost
11 for the vehicle and will into the foreseeable future. And
12 so that's kind of the context.

13 And also, these analyses about the cost -- the
14 life of these batteries I saw was -- I guess it's assumed
15 they're 12 years, but, of course, the buses are usually
16 kept more than 12 years. And there's even question of
17 whether, you know, they're really going -- they're going
18 to last 12 years at a full state -- still having the full
19 stated charge. They're going to deteriorate over that
20 time.

21 And so that's kind of the context. And then
22 we -- there is this statement that I think someone here
23 mentioned about no reduced transit service. Well, that
24 sounds great, but how do you enforce something like that?
25 How do you actually make that part of a regulation or a

1 program?

2 I've been on this Board long enough to know that
3 there are some things that work well and some things that
4 don't.

5 And so at the end of the day, this is -- in many
6 ways, this is an environmental justice issue. We've got
7 the two new Board members that are concerned about this,
8 but these are services that more than almost anything else
9 in our society are serving the disadvantaged riders. And
10 if we do anything to threaten that, the unintended
11 consequence idea, there's lots of things that can go wrong
12 here. And so the ones that are going to suffer are the
13 most vulnerable.

14 So this is a really high risk strategy to do
15 anything in a regulatory sense, I would say. And
16 realistically, the only thing that makes good sense is to
17 say that transit operators need to abide by some set of
18 rules, whatever we were to come up with, if money became
19 available to them through cap-and-trade revenues or some
20 other kind of incentive funds. But if that's the case,
21 why do we need regulations?

22 And so I think at the end of the day, I -- I
23 mean, of all the programs -- and the things I think I've
24 seen here at ARB over the years, this is the one that
25 seems least compelling to me as a regulatory action, even

1 though it's a great concept.

2 And I should say, I mentioned batteries, fuel
3 cells are actually a much better -- much better suited to
4 buses and to trucks than batteries are, and -- but yet, we
5 still have a long ways to go, you know, before the fuel
6 cells are cost competitive and reliable.

7 CHAIR NICHOLS: John.

8 BOARD MEMBER GIOIA: It's hard following that.

9 (Laughter.)

10 BOARD MEMBER GIOIA: I had a chance recently to
11 take some time to ride and meet with folks in the East
12 Bay, my own area, AC Transit, which has the largest fleet
13 of hydrogen fuel cell buses in the country. Very
14 successful. They've made decisions to replace buses --
15 diesel buses with hydrogen fuel cell. And one of the
16 things they acknowledged, and I think what we hear more
17 and more, is that the price gap between traditional buses
18 and the zero emission buses is diminishing. And the more
19 we can continue to incentivize this technology -- sort of
20 it's a chicken and egg thing, right? The more we
21 incentivize this technology, the more that price gap
22 continues to diminish and eventually disappear.

23 So -- and I -- the staff I think has heard,
24 right, we're trying to seek, as many things we do here, a
25 fine balance. We don't want to negatively impact

1 important bus service in communities with the limited
2 resources that bus agencies and government has to provide
3 that, while at the same time finding that right point
4 where we can incentivize the technology changes, so that
5 eventually the price gap between traditional buses and
6 zero emission is basically, if you can -- is diminished or
7 zero, especially when you consider the lifecycle costs,
8 right?

9 It's not just the capital cost upfront, it's the
10 operations and maintenance. What I heard from the bus
11 providers is that -- I mean, that's how you factor in the
12 lifecycle cost. And I'm confident that's the direction
13 the staff has heard, and we're trying to find this right
14 balance.

15 And the other point is, and I think several folks
16 here have mentioned this, including in my own area, a lot
17 of this bus service, right, are in communities already
18 greatly impacted. And to the extent we can have clean
19 zero emission vehicles, we're achieving the co-benefits of
20 improving air quality in these communities at the same
21 time, while we understand the financial limitations of the
22 public bus agencies.

23 CHAIR NICHOLS: Thank you.

24 Diane, and then, Dean, did you have your hand up?

25 BOARD MEMBER FLOREZ: (Nods head.)

1 BOARD MEMBER TAKVORIAN: Thank you, and thanks to
2 everyone, to the staff, and to all of the folks who came
3 today to express their views. Obviously, a critical
4 issue, and one that's going to affect our climate, our
5 health -- our public health, and many of our communities.

6 You know, when I first looked at the materials, I
7 said, "2040, are they kidding? How come we can't do it
8 faster than that"? Just generally my response to
9 everything, right?

10 (Laughter.)

11 BOARD MEMBER TAKVORIAN: But having listened to
12 the testimony, I see the wisdom really of a long time that
13 it's going to take, because I think the transit agencies
14 have been very articulate about the time it takes to
15 phase-in, the time it takes for buses to live out their
16 useful life and for those kinds of changes to happen over
17 time.

18 And I think we all understand that from a
19 personal, organizational, and obviously from a
20 governmental perspective. So, you know, I start to see
21 the wisdom of that. I start to think that, okay, maybe
22 that's not that long, and that we really can do this over
23 time and that that makes sense.

24 I have a couple questions and then I guess
25 another comment. It seems like buses are obviously

1 long-term investments, and that there was already this
2 phase, this transition that happened with CNG. So what's
3 the relationship between the transition that would happen
4 with electric buses and the transition that happened with
5 CNG? It seems like we've been through that. There's a
6 useful life that these buses go through. Many of them are
7 coming to the end of their useful life, even the CNG buses
8 for the early adapters. So this is the time, it seems
9 like to me, that we need to put this rule in force, to say
10 this is what's coming down the pike, because we think the
11 situation is going to get better and better and more
12 advantageous. And if we wait five years to do this, then
13 more of CNG buses will have been purchased, and we'll be
14 further into that hole.

15 So I guess I'd say, you know, we need to take
16 that leap, especially given the very conservative and I
17 think wise way that we would go in on a long-term basis.

18 The other is that, given our first agenda item, I
19 believe -- I can't remember back that far.

20 (Laughter.)

21 BOARD MEMBER TAKVORIAN: You know, I don't think
22 CNG is wave of the future. So we need to think about
23 where this gas is coming from. And I appreciated the
24 comments about the fact that we also get environmental and
25 climate benefits from the energy that's produced, the way

1 the energy is produced. So that's something I'm hoping
2 that the staff either can respond to now or can talk about
3 how that's incorporated.

4 I'm also interested in the avoided maintenance
5 costs and whether those are included in the cost analyses?

6 And I would wonder about the market impact of the
7 rule. I mean, I'm guessing that if this rule goes into
8 effect that you're going to see some changes in terms of
9 the capital cost, as well as the long-term cost.

10 Lastly, we've been talking a lot about
11 environmental justice here. Transit affordability is an
12 existing issue. So let's not kid ourselves, yes, low
13 income people, people of color in EJ communities are on
14 public transit more, but it's not all that affordable now.
15 So we have issues with affordability in our communities.
16 We have issues with accessibility. We don't have
17 appropriate levels of transit, so it isn't just a low
18 income community option. We need to have more folks on
19 transit, and we need to make that transit more accessible
20 and more affordable.

21 So we are totally in favor of that, and we want
22 to make sure that this rule doesn't get in the way of
23 that. So make no mistake about it.

24 But EJ communities and disadvantaged communities
25 are also the ones that are most impacted by these

1 polluting buses. We -- not only the buses themselves -- I
2 appreciated the comment about the roadways where the buses
3 are, having -- being a walker or a biker myself, I have 10
4 or 12 buses that go by while I'm, you know, getting my
5 exercise or trying to be healthy. So it's not all that --
6 it's a problem in that regard.

7 The other is that we have the transit yards in
8 our communities. We have the bus repair facilities. We
9 have the bus driver practicing facilities in our
10 communities. So I want to make sure that those emission
11 reductions are being calculated as well, because our
12 communities are receiving more than their fair share of
13 just the bus lines. They are receiving their share, if
14 you will more than their share, as a result of having all
15 of these other facilities in their communities.

16 So I really hope that we can really look at
17 environmental justice in a broad way and understand that
18 low income riders are the ones that are on these buses and
19 transit the most, but they are also the most -- the ones
20 that are most impacted by the polluting buses and
21 polluting vehicles and the fact that they're surrounded by
22 freeways, and other sources of pollution.

23 So I think it's a balancing act. It sounds like
24 the staff is on that path, and I look forward to the next
25 update. Thank you.

1 CHAIR NICHOLS: Thank you.

2 Mr. Florez.

3 BOARD MEMBER FLOREZ: I will try -- I'll be -- I
4 think Diane pretty much said everything I wanted to say.
5 And I would just ask maybe staff as we look at this and
6 move to this next phase, and I do think we need to signal.
7 I think there's some sense that signaling is super
8 important to industry, and kind of being ahead of that,
9 and getting everybody use to the next phase. I think my
10 overall thought is that this is kind of the classic
11 economic cost versus environmental protection, you know,
12 dilemma that we're probably going to face here many, many,
13 many times.

14 And it all centers around affordability,
15 particularly in poorer income areas and who's going to
16 subsidize a good portion of this, not just the riding
17 aspect of it, but I think all the way down.

18 One question I did have on the technology as it
19 starts to phase out the natural gas to CNG, do we have
20 stats on the amount of methane emissions that are
21 affecting communities? I mean, obviously, we've talked
22 about it in another sense in an earlier agenda item on
23 methane period. But, you know, it seems to me from a
24 warming perspective that, you know, also is not a good
25 thing. It's probably good to phase out. And I don't know

1 if there's been studies. You guys have obviously many,
2 many, many.

3 But it seems like that would be one of the
4 reasons pushing us to a new rule. At some point, methane
5 emissions is something we still want to eliminate moving
6 forward. So hopefully we can move in that direction. I
7 think it's a good item and look forward to supporting it.

8 Thank you for bringing it to us.

9 CHAIR NICHOLS: Dr. Balmes.

10 BOARD MEMBER BALMES: Thank you. I'll be brief,
11 because many of my comments have already been articulated
12 by other Board members. But I have to say that since I'm
13 on an AC Transit bus line where I live, that, you know,
14 service has been reduced. And I live in an affluent
15 neighborhood in north Berkeley. But both students at
16 Berkeley High, like my son, use that transit, and a lot of
17 less well-off folks who provide service to or are in
18 service jobs to my affluent neighborhood use AC Transit.
19 And I see them standing waiting a long time for buses.

20 So just to both piggyback on what Dr. Sperling
21 said, I have that same concern that we not move forward
22 with this very well intentioned proposal and lead to
23 service cuts. It's been articulated by multiple people,
24 but I think it's a reality that I'd like to emphasize.

25 And I also would second what Ms. Takvorian has

1 said as well. It's a balancing act, and it will be hard
2 to get right. That's why I think we need to be careful
3 about being too restrictive in the final regulation that
4 we put forward.

5 CHAIR NICHOLS: Thank you.

6 Hector.

7 BOARD MEMBER DE LA TORRE: Thank you. Two
8 points. One, the ridership, which has been alluded to is
9 a significant concern to me, because all of this is
10 predicated on more people getting on these buses. And if
11 that's not happening, maybe it's because of the last
12 recession, but maybe not. And so I think we need to
13 incorporate some of that into whatever analysis we're
14 doing.

15 CHAIR NICHOLS: It's grams per passenger mile,
16 not just grams per mile of bus, because if the bus is
17 riding around empty, and emitting, you're not
18 accomplishing very much.

19 BOARD MEMBER DE LA TORRE: So we really have to
20 get a handle on that. I asked when I met with transit
21 folks about this. And, you know, they're -- this is a
22 statewide phenomenon. The article that got my attention
23 was about L.A., but it's a statewide phenomenon. And so
24 we need to get a -- and a national one, too. I mean, I
25 think they alluded to some stuff happening in other parts

1 of the country.

2 So we need to incorporate that into our thinking,
3 otherwise we're throwing a lot money at this -- a
4 declining -- potentially declining benefit to society.

5 Second, in terms of the purchasing, I wonder if
6 there are any models for regional cooperation for
7 purchasing these buses. Because if you've got, you know,
8 a small transit agency here -- and I don't know the
9 transit world at all. I wasn't a county supervisor. I
10 was a city councilman. We didn't have our own transit
11 system.

12 But it seems to me that if you're buying them in
13 onesies and twosies at the small level, that's not going
14 to get you where you want to go, and maybe there's some
15 economies of scale if the transit agencies would cooperate
16 and do bulk purchasing together or whatever numbers as a
17 group as opposed to individually. That would lop off some
18 money as well.

19 I realize that there's autonomy there that folks
20 would want to keep, but I think it's something that we
21 should very much look at and see if there are any models
22 for that.

23 Thank you.

24 CHAIR NICHOLS: Thank you. May I wrap-up or
25 is -- I don't want to close things off prematurely, but I

1 feel like probably we're about ready for a wrap-up. And I
2 do want to do something that frames the issue a little bit
3 differently, because I often find that if a problem seems
4 too difficult, maybe you need to ask the question -- ask a
5 different question.

6 So I'd like to sort of step back and ask a
7 different question, because I don't start from the premise
8 that we have to save the zero emission bus rule, and fix
9 it. I start from the premise that we have a goal, which
10 is to turnover the transit fleet to make it more clean and
11 efficient. And that's where we should be aiming to head.
12 Statewide more zero emission buses, whether they're fuel
13 cell, electric or whatever.

14 And if that is our goal, we may not be using the
15 right tool. A purchase requirement may not be the most
16 effective way to get us there. And it may be that this is
17 a problem that's also, while it's within the ARB's area of
18 jurisdiction and concern, we are not alone here.

19 And I guess what I would like to ask the staff
20 certainly before the next time they come back to us, and
21 maybe before the next workshop, is for a better
22 understanding of what we, working together with the
23 administration, with local governments, maybe with the
24 legislature, could do that could actually create the mix
25 of incentives and mandates that would get us to a more

1 effective way of making sure that whatever monies are
2 available to be deployed for transit are being spent in a
3 way that encourages and promotes a greater use of zero
4 emission vehicles. That's a pretty big vague kind of
5 question. It's the kind of thing that people at UC Davis
6 might --

7 (Laughter.)

8 CHAIR NICHOLS: -- have some ideas about how to
9 promote. But in all seriousness, as I've been listening
10 to this, I've been thinking this is really frustrating,
11 because, you know, we're trying to balance important
12 goods. We know how hard it is. It's so much easier to
13 tell Detroit go build us an electric vehicle, than it is
14 to tell ourselves, you know, especially those of us with
15 direct responsibilities, you need to go out there and buy
16 more electric buses, even when those buses are available
17 because there are others issues involved. And as we've
18 heard, that not everybody wants the same thing.

19 I want to encourage the fledgling industry that
20 we have in California, by the way. I don't think there's
21 anything wrong with recognizing and taking advantage of
22 the fact that we are home, as far as I know, to the
23 largest constellation of people who are building zero
24 emission technology for this sector, as well as others.

25 So I think they're a very legitimate part of our

1 overall concern, but we're just not going to get there if
2 we're -- I think through this mechanism. So I don't want
3 to say abandon it, but I also don't want to say let's just
4 assume that this is going to be the major answer to our
5 real concern here. I'd like to kind of go back and do
6 some more brainstorming about what is potentially
7 available that could help move us further faster in that
8 direction.

9 Is that -- I see heads nodding. Somewhat
10 perplexed looks. I'm sorry, I can be more direct and
11 clear at this point. But maybe we could actually host
12 some kind of a workshop along those lines and invite some
13 of the Board members who know most about these topics to
14 attend. That's a start.

15 EXECUTIVE OFFICER COREY: In fact, Chairman,
16 that's where I was going with this, because we already had
17 plans to continue to visit a number of additional transit
18 districts. In fact, part of those conversations, have
19 been -- even the existing business model, for those that
20 have purchased or are considering battery electrics or
21 fuel cell, what is the model? Even the models aren't all
22 the same as to how they've done it, what role did federal
23 play, what role did State incentives play, were there
24 other partnerships that played a role in this?

25 And where I'm going with this is both through the

1 workshop that the San Diego transit district
2 representative referred to, I think this is a question on
3 the table for the workgroup. I think it's also a
4 workshop, and I think it's something that we would reach
5 out to Board members to participate in, just as we've been
6 doing on a number of transit visits.

7 And based on that experience, basically key up --
8 tee up that question, and report back to you on what we
9 find.

10 CHAIR NICHOLS: Okay. Is that acceptable to my
11 fellow Board members as a path forward here?

12 Okay. Heads nodding. No need to vote on any
13 anything.

14 We will take a recess for our executive session,
15 and then I at least will come back with when we're
16 finished with that to report on the outcome of the
17 executive session.

18 Thank you all very much.

19 (Off record: 1:30 PM)

20 (Thereupon the meeting recessed
21 into closed session.)

22 (Thereupon the meeting reconvened
23 open session.)

24 (On record: 2:32 PM)

25 VICE CHAIR BERG: Hi. It's Sandy Berg, Vice

1 Chair. I'm back to report after our closed session. And
2 so we'll bring the meeting back to order.

3 The meeting of California Air Resources Board is
4 now in session. And I am here to report that during
5 closed session, we brought the Board up-to-date on four
6 different legal actions. There was no action taken by the
7 Board.

8 And then with no additional public comment, I
9 will close the meeting and see you next month.

10 (Thereupon the Air Resources Board meeting
11 adjourned at 2:32 PM)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E O F R E P O R T E R

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Air Resources Board meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and was thereafter transcribed, under my direction, by computer-assisted transcription;

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 2nd day of March, 2016.



JAMES F. PETERS, CSR
Certified Shorthand Reporter
License No. 10063