

MEETING  
STATE OF CALIFORNIA  
AIR RESOURCES BOARD

CALEPA HEADQUARTERS  
BYRON SHER AUDITORIUM  
SECOND FLOOR  
1001 I STREET  
SACRAMENTO, CALIFORNIA

THURSDAY, DECEMBER 8, 2016

9:15 A.M.

JAMES F. PETERS, CSR  
CERTIFIED SHORTHAND REPORTER  
LICENSE NUMBER 10063

A P P E A R A N C E S

BOARD MEMBERS:

Ms. Mary Nichols, Chair

Ms. Sandra Berg, Vice Chair

Dr. John Balmes

Mr. Hector De La Torre

Mr. John Eisenhut

Senator Dean Florez

Supervisor John Gioia

Ms. Judy Mitchell

Mrs. Barbara Riordan

Dr. Alex Sherriffs

Professor Daniel Sperling

STAFF:

Mr. Richard Corey, Executive Officer

Dr. Alberto Ayala, Deputy Executive Officer

Ms. Edie Chang, Deputy Executive Officer

Mr. Kurt Karperos, Deputy Executive Officer

Ms. Ellen Peter, Chief Counsel

Ms. La Ronda Bowen, Ombudsman

Ms. Emily Wimberger, Chief Economist

Mr. Gerhard Achtelik, Manager, Advanced Clean Cars Branch,  
ECARS

Ms. Analisa Bevan, Assistant Division Chief, Emission,  
Compliance, Automotive Regulations and Science  
Division(ECARS)

A P P E A R A N C E S C O N T I N U E D

STAFF:

Mr. Michael Carter, Assistant Division Chief, MSCD

Ms. Danielle Chamber, Air Pollution Specialist, Mobile Source Control Division(MSCD)

Ms. Annette Hebert, Division Chief, ECARS

Ms. Jessica Johnson, Manager, Heavy Duty Incentives and Training Section, MSCD

Ms. Alexandra Kamel, Attorney, Legal Office

Ms. Margret Kim, Senior Attorney, Legal Office

Mr. Jack Kitowski, Division Chief, MSCD

Ms. Debbi Klossing, Manager, Railroad and Marine Enforcement Section, Field Operations Branch, ED

Ms. Xuping Li, Air Resources Engineer, Emerging Technology Section, Industrial Strategies Division(ISD)

Mr. Jeffrey Lidicker, Air Resources Engineer, ECARS

Ms. Kristen McKinley, Air Pollution Specialist, Diesel Program Enforcement Branch, ED

Mr. Lex Mitchell, Manager, Emerging Technology Section, ISD

Ms. Gabriel Monroe, Attorney, Legal Office

Ms. Annmarie Rodgers, Chief, Compliance Assistance & Outreach Branch, MSCD

Mr. Todd Sax, Division Chief, Enforcement Division

Ms. Elizabeth Scheehle, Branch Chief, Oil & Gas and GHG Mitigation Branch, ISD

Ms. Michelle Shultz Wood, Air Pollution Specialist, Railroad and Marine Enforcement Section, Enforcement Division(ED)

A P P E A R A N C E S C O N T I N U E D

STAFF:

Mr. Mark Stover, Branch Chief, Field Operations Branch, ED

Mr. Floyd Vergara, Division Chief, ISD

ALSO PRESENT:

Ms. Joy Alafia, Western Propane Gas Association

Mr. Marc Aprea, Charge Point

Mr. Will Barrett, American Lung Association

Mr. Sudarshan Bhatija, Stanford University

Mr. Jeffrey Brown, Steye-Taylor Center, Stanford University

Mr. Nicholas Chavez, School Transportation Coalition,  
California Association of School Transportation Officials

Mr. Walker Dimmig, NET Power

Ms. Tiffany Eng, California Environmental Justice Alliance

Mr. Matt Essex, A-Z Bus Sales

Mr. Michael Gravely, California Energy Commission

Mr. Michael Jarred, Assembly Committee on Natural Resources

Ms. Shrayas Jatkar, Coalition for Clean Air

Mr. Ryan Kenny, Clean Energy

Mr. Bill Magavern, Coalition for Clean Air

Ms. Deepika Nagabhushan, Clean Air Task Force

Ms. Urvi Nagrani, Motiv Power Systems

Mr. Brent Newell, Center on Race, Poverty & The Environment

A P P E A R A N C E S C O N T I N U E D

ALSO PRESENT:

Mr. George Peridas, Natural Resources Defense Council

Mr. Ryan Schuchard, CALSTART

Mr. Tom Sheehy, Greenberg Traurig

Mr. Andre Templeman, Carbon Market

Ms. Diana Vazquez, Sierra Club

Mr. Alan Walker, Petroleum Engineer, Department of  
Conservation Division of Oil, Gas, and Geothermal  
Resources

I N D E X

	PAGE
Pledge of Allegiance	1
Roll Call	1
Opening Remarks	2
Item 16-11-1	
Chair Nichols	4
Executive Officer Corey	5
Staff Presentation	6
Board Discussion and Q&A	31
Mr. Jarred	34
Mr. Schuchard	35
Mr. Sheehy	38
Mr. Aprea	42
Mr. Barrett	45
Mr. Kenny	47
Mr. Magavern	48
Ms. Vazquez	50
Board Discussion and Q&A	51
Item 16-11-2	
Chair Nichols	77
Executive Officer Corey	78
Staff Presentation	79
Board Discussion and Q&A	97
Mr. Chavez	110
Mr. Essex	112
Ms. Vazquez	114
Ms. Alafia	116
Mr. Jatkar	117
Ms. Nagrani	120
Board Discussion and Q&A	122
Item 16-11-3	
Chair Nichols	125
Executive Officer Corey	126
Staff Presentation	127
Mr. Newell	141
Ms. Eng	143
Board Discussion and Q&A	145

I N D E X C O N T I N U E D

	PAGE
Item 16-11-4	
Chair Nichols	150
Executive Officer Corey	152
Staff Presentation	154
Mr. Gravely	166
Ms. Nagabhushan	167
Mr. Dimmig	169
Mr. Brown	171
Mr. Bhatija	174
Mr. Peridas	176
Mr. Templeman	178
Board Discussion and Q&A	180
Public Comment	187
Adjournment	187
Reporter's Certificate	188

## 1 P R O C E E D I N G S

2 CHAIR NICHOLS: Good morning, everybody. We're  
3 about to get started. Some of us, including myself, just  
4 arrived, and we're just getting ourselves settled, so I  
5 apologize for being a few minutes late, but we have a  
6 quorum. I will wait to have it officially declared, but I  
7 know we do. And I want to welcome everybody to the  
8 December 8th, 2016 public meeting of the Air Resources  
9 Board, and ask you to come to order. This is the last  
10 meeting of the 2016. And perhaps for different reasons, I  
11 think all of us can say a good thing too. It was a good  
12 year, but we're happy to have it over.

13 All right. With that, let us all get together  
14 and say the Pledge of Allegiance to the flag.

15 (Thereupon the Pledge of Allegiance was  
16 recited in unison.)

17 CHAIR NICHOLS: All right. The clerk will please  
18 call the roll.

19 BOARD CLERK HARLAN: Dr. Balmes?

20 BOARD MEMBER BALMES: Here.

21 BOARD CLERK HARLAN: Mr. De La Torre?  
22 Mr. Eisenhut?

23 BOARD MEMBER EISENHUT: Here.

24 BOARD CLERK HARLAN: Senator Florez?

25 BOARD MEMBER FLOREZ: Here.



1 BOARD CLERK HARLAN: Supervisor Gioia?

2 BOARD MEMBER GIOIA: Here.

3 BOARD CLERK HARLAN: Ms. Mitchell?

4 BOARD MEMBER MITCHELL: Here.

5 BOARD CLERK HARLAN: Mrs. Riordan?

6 BOARD MEMBER RIORDAN: Here.

7 BOARD CLERK HARLAN: Dr. Sherriffs?

8 BOARD MEMBER SHERRIFFS: Here.

9 BOARD CLERK HARLAN: Professor Sperling?

10 BOARD MEMBER SPERLING: Here.

11 BOARD CLERK HARLAN: Vice Chair Berg?

12 VICE CHAIR BERG: Here.

13 BOARD CLERK HARLAN: Chair Nichols?

14 CHAIR NICHOLS: Here.

15 BOARD CLERK HARLAN: Madam Chair, we have a  
16 quorum.

17 CHAIR NICHOLS: Thank you. I have a couple of  
18 announcements to make. First, I want to make sure that  
19 people know that we have interpretation services in  
20 Spanish available for the third item today. That is the  
21 revised Supplemental Environmental Projects policy. And  
22 I'm going to ask the Spanish language interpreter to  
23 repeat this in Spanish, please.

24 Good morning.

25 (Thereupon the interpreter translated.)

1 CHAIR NICHOLS: Thank you.

2 Just to repeat the last sentence, the head sets  
3 that are used for people who want to hear in Spanish are  
4 available outside at the sign-up table, and can be picked  
5 up at any time.

6 Anyone who wishes to testify should fill out a  
7 request to speak card. And those are also available at  
8 the table outside the Board room here. And it should be  
9 turned in to the clerk or a Board assistant prior to the  
10 commencement of the item, so we can put the list together.

11 Speakers should be aware that we will be imposing  
12 a 3-minute time limit on speakers. And we appreciate if  
13 people will state their first and last name when they come  
14 up to the podium. And also, if they will put their  
15 testimony into their own words, rather than reading from a  
16 prepared statement, because it's easier for the Board to  
17 fool. And if you have a written statement, we will read  
18 it as well.

19 For safety reasons, I am required to point out  
20 that we have exits at the rear of the room, and on the  
21 sides of the dais here. In the event of an alarm, we need  
22 to evacuate the room promptly and walk down the stairs,  
23 and evacuate the building promptly. I think that's it for  
24 the housekeeping announcements. So we can move right into  
25 the agenda.

1           And we're going to start this morning with an  
2 informational item to make sure that the Board, and those  
3 who follow our meetings are updated on the progress that  
4 has been made so far in implementing the zero emission  
5 vehicle commitment that is expressed in the recently  
6 approved consent decree that covers the 2 liter engines.  
7 This is an agreement between Volkswagen and the federal  
8 government and ARB.

9           Appendix C contains a commitment by Volkswagen to  
10 invest \$2 billion in zero emission vehicle projects  
11 throughout the United States, 800 million of which will be  
12 invested in California. This is a separate sum paid by --  
13 I'm sorry, there is also a separate sum paid by Volkswagen  
14 into a mitigation trust. And California's share of that  
15 amount, which is the sum that's intended to be used to  
16 develop projects to mitigate the excess NOx that were  
17 caused by Volkswagen's use of a defeat device is about  
18 \$381 million. That fund, the 381 million, is not part of  
19 today's discussion.

20           The consent decree establishes 4 principal areas  
21 of investment to promote and advance the increased use  
22 of -- increased use and availability of zero emission  
23 vehicles in the State. These include infrastructure,  
24 brand neutral public awareness, increased access to zero  
25 emission vehicles, particularly in low income and

1 disadvantaged communities, and a green city project.  
2 These are all major areas of investment to complement our  
3 State's zero emission vehicle program.

4           So I'm looking forward to the staff's  
5 presentation in more detail about how this is going to be  
6 implemented, and how we are advising Volkswagen about  
7 their investments.

8           So turn to Mr. Corey to introduce this item.

9           EXECUTIVE OFFICER COREY: Yes. Thanks, Chair.

10           The consent decree approved on October 25th of  
11 this -- rather the 25th of this year represents the  
12 mitigation of environmental harm caused by Volkswagen's  
13 deception relating to the 2 liter diesel vehicles. And  
14 the consent decree is comprised of a main document and  
15 several appendices, as noted.

16           Appendices A and B specify the buyback and lease  
17 termination terms, as well as the requirements for any  
18 vehicle emissions modification. Appendix D sets up a  
19 mitigation trust to address all past and future excess  
20 emissions of NOx from the 2 liter subject vehicles.

21           Whereas, Appendix C, about which the Board is  
22 being briefed today is a binding commitment by Volkswagen  
23 to invest in ZEV projects in the United States, including  
24 an enhanced and specific commitment in California.

25           The consent decree does not resolve claims

1 relating to 3 liter vehicles, claims for civil penalties  
2 for 2 liter or 3 liter vehicles, or any potential criminal  
3 liability. And as noted, Appendix C requires Volkswagen  
4 to invest \$800 million in ZEV projects over a 10-year  
5 period in California. You'll hear about the types of  
6 projects that are eligible in just a moment.

7 Collectively, the projects will support the next  
8 generation of zero emission vehicles that will be sold in  
9 California helping to grow the State's burgeoning ZEV  
10 Program, and will help lay the zero emissions foundation  
11 for achieving the State's air quality and climate goals.

12 No with that, I'd like to ask Analisa of the  
13 ECARS Division to begin the staff presentation.

14 Analisa.

15 (Thereupon an overhead presentation was  
16 presented as follows.)

17 ECARS ASSISTANT DIVISION CHIEF BEVAN: Thank you.

18 Good morning, Chair Nichols and members of the  
19 Board. Today, I will be providing an overview of certain  
20 elements of the Volkswagen settlement agreement, in  
21 particular Appendix C, the ZEV investment commitment.

22 My presentation will then provide a summary of  
23 California's proposed guidance and suggestions to  
24 Volkswagen regarding their investments. And finally, I'll  
25 go over the timeline and next steps.



1 lease termination, or 2, the option of an emissions  
2 modification in accordance-with-the-technical  
3 specifications prescribed in appendix B, if approved by  
4 government agencies.

5           The consent decree also allows consumers to  
6 choose to do nothing. The bulk of today's presentation  
7 will be about Appendix C. It specifies the terms and  
8 framework for Volkswagen's zero emission vehicle  
9 investment commitment. As described in the previous  
10 slide, the consent decree does not resolve penalties that  
11 may be associated with this case. As such, the ZEV  
12 investment commitment is not a penalty.

13           It is an agreement by the parties that VW will  
14 invest in activities aimed at advancing and promoting the  
15 use of ZEVs. As a VW investment, they will be directly  
16 expending the funds and may own, operate, and profit from  
17 their projects.

18           Appendix D, the environmental mitigation trust,  
19 is intended to fully mitigation all past and future excess  
20 NOx emissions from the 2 liter vehicles. Under the terms  
21 of the consent decree, VW must pay about \$381 million into  
22 a mitigation trust over a 3-year period for projects to  
23 replaces older and dirtier heavy-duty diesel vehicles, and  
24 equip in California -- and equipment in California with  
25 cleaner vehicles and equipment, including advanced zero or

1 near zero emission technologies.

2 I want to make clear here the difference between  
3 appendix C and appendix D. To put it plainly, appendix C  
4 is an investment by VW administered by VW and with  
5 oversight from ARB. And appendix D is funded by VW, but  
6 held by a trustee and administered by a lead agency for  
7 each State.

8 Before I begin talking in more detail about the  
9 ZEV investment commitment in appendix C, I'll provide a  
10 bit more detail about the separate mitigation trust, which  
11 will be established by appendix D.

12 --o0o--

13 ECARS ASSISTANT DIVISION CHIEF BEVAN: For  
14 appendix D, the mitigation -- the environmental mitigation  
15 trust, VW is required to pay \$2.7 billion nationally into  
16 a trust with about 800 and -- sorry -- 381 million  
17 allocated to California.

18 This money is intended to fully mitigate the  
19 total lifetime excess NOx emissions resulting from the  
20 illegal defeat devices in the 2 liter diesel vehicles.  
21 The trust will fund specified mitigation actions to  
22 replace older, dirtier heavy-duty vehicles and equipment  
23 with cleaner vehicles and equipment.

24 The consent decree specifies 9 eligible  
25 mitigation action categories that can be funded. They



1 include scrap and replace funding for on-road, freight,  
2 and drayage trucks, transit, shuttle, and school buses,  
3 ferries and tugs and off-road freight equipment, shore  
4 power for ocean-going vessels, and about 15 percent -- or  
5 up to 15 percent of the trust may be used to fund  
6 light-duty electric vehicle charging stations and hydrogen  
7 refueling stations.

8 --o0o--

9 ECARS ASSISTANT DIVISION CHIEF BEVAN: The  
10 Governor will identify a lead agency to act on the State's  
11 behalf in implementing California's allocation of the  
12 trust. Once the Governor has identified a lead agency,  
13 that agency's tasks will include:

14 Developing a thorough public process of  
15 beneficiary mitigation plan, that describes the overall  
16 use of funds; implementing the beneficiary mitigation  
17 plan, and the mitigation actions identified in the plan;  
18 and submitting semi-annual reports to the trustee on the  
19 implementation status of the mitigation actions.

20 A trustee is expected to be in place by, and  
21 mitigation trust is expected to be effective, in early  
22 2017, potentially in February.

23 VW will deposit the required funds in 3 equal  
24 installments. The first installment was made in late  
25 November. We will return to the Board in 2017 with a

1 status update on appendix D.

2 --o0o--

3 ECARS ASSISTANT DIVISION CHIEF BEVAN: I'll turn  
4 now to a focus on appendix C, the ZEV investment  
5 commitment in California. To start off, I'd like to  
6 provide a sense for the framework ARB used when  
7 considering the ZEV investment commitment portion of the  
8 agreement last spring.

9 ARB wanted the ZEV commitment to support the  
10 growth of the ZEV market in California, and to do so by  
11 increasing infrastructure and awareness, 2 factors that  
12 have been shown to be fundamental to growing the ZEV  
13 market.

14 Consumers will not buy a ZEV if they don't know  
15 about them, and if they don't know where to -- they will  
16 fuel them. ARB will also -- also wanted the commitment to  
17 increase access to ZEVs across broader income sectors of  
18 California. Our guiding principles going into this  
19 agreement were shaped by:

20 The Governor's ZEV Action Plan; SB 350, calling  
21 for greater transportation electrification and increased  
22 access to ZEV transportation options for low income  
23 customers, including those in disadvantaged communities;

24 SB 1275, the 2014 Charge Ahead California  
25 initiative, to bring 1 million electric cars, trucks, and

1 buses to California over the next decade, and ensure that  
2 low income Californians who are disproportionately  
3 impacted by air pollution benefit from the transition to a  
4 clean transportation sector;

5           And SB 535, which also identifies the need to  
6 provide benefits from greenhouse gas emission reduction  
7 programs to disadvantaged communities.

8                           --o0o--

9           ECARS ASSISTANT DIVISION CHIEF BEVAN: Now,  
10 turing to the content of approved agreement, the ZEV  
11 investment commitment in appendix C includes the  
12 following:

13           A commitment to invest \$2 billion over a 10-year  
14 period in ZEV-related programs. Of that \$2 billion, \$800  
15 million will be invested in California. The investments  
16 will be carried out in four 30-month spending cycles. For  
17 each ZEV investment cycle, a plan will be submitted to ARB  
18 for review and approval, and the investments made will be  
19 reviewed annually by ARB and the third-party auditor.

20           The goals of the investment plan laid out in the  
21 consent decree, include supporting increased use of ZEV  
22 technology in the U.S. through investments that promote  
23 and advance the use and availability of ZEVs, investments  
24 that address an existing need or supporting a reasonably  
25 anticipated need, and investments that build or increase

1 public awareness of and access to ZEVs, which could  
2 include increasing access to low and moderate income  
3 consumers and disadvantaged communities.

4 --o0o--

5 ECARS ASSISTANT DIVISION CHIEF BEVAN: The  
6 consent decree establishes 4 investment categories that  
7 support the goals of appendix C. These include ZEV  
8 infrastructure, brand-neutral education and public  
9 awareness campaigns, ZEV access programs, and a green city  
10 initiative. I'll walk through each of these in more  
11 detail on the following slides.

12 --o0o--

13 ECARS ASSISTANT DIVISION CHIEF BEVAN: In  
14 spending category 1, Volkswagen is allowed to propose  
15 investment projects in ZEV infrastructure. Eligible  
16 investment costs include design, planning, construction,  
17 installation, operation, and maintenance of ZEV  
18 infrastructure. This infrastructure installed should  
19 support and advance the use of ZEVs. And these  
20 installations may include:

21 Level 2 chargers at multi-unit dwellings,  
22 workplaces, and public sites; DC fast charger facilities  
23 accessible to all vehicles utilizing non-proprietary  
24 connectors; new heavy-duty ZEV fueling facilities; later  
25 generation charging technologies including high power DC

1 fast chargers, or wireless charging; and, ZEV fueling  
2 stations such as hydrogen refueling stations.

3 To help VW come up to speed in California's ZEV  
4 infrastructure landscape, ARB staff have introduced VW to  
5 the staff at the California Public Utilities Commission,  
6 the California Energy Commission, and GO-Biz. Staff have  
7 also made Volkswagen aware of the California readiness  
8 plans to assist them in siting charging infrastructure.

9 --o0o--

10 ECARS ASSISTANT DIVISION CHIEF BEVAN: In  
11 spending category 2, Volkswagen may invest in education  
12 and outreach programs. As we've learned from a number of  
13 studies, consumer awareness of ZEVs is very low. This is  
14 a clear barrier to growing the ZEV market. VW's education  
15 and outreach campaign investments are to be brand neutral  
16 efforts to increase public awareness while not featuring  
17 favoring or advertising VW's vehicles or services.

18 On the other hand, the consent decree does allow  
19 awareness campaigns materials to include the statement  
20 sponsored by Volkswagen, though it may not be prominently  
21 displayed.

22 --o0o--

23 ECARS ASSISTANT DIVISION CHIEF BEVAN: The third  
24 investment category is increasing ZEV access. These  
25 investment projects are programs or actions that increase

1 public exposure or access to ZEVs. They may include  
2 programs that provide access to ZEVs without requiring  
3 purchase or lease of a ZEV. Example projects in this  
4 category include scrap and replace programs with a ZEV  
5 replacement -- this is an example program exclusive to  
6 California, ZEVS used in a car share program, ride-hailing  
7 services, and in the future, autonomous vehicle services.

8 --o0o--

9 ECARS ASSISTANT DIVISION CHIEF BEVAN: The final  
10 investment category is the Green City initiative. This  
11 4th category is exclusive to California also. The Green  
12 City initiative is envisioned as a concentrated  
13 implementation of many of the investment types we've  
14 already described, infrastructure, public awareness, and  
15 ZEV access. Examples called out in the consent decree  
16 include ZEV car-sharing services, ZEV transit services,  
17 and ZEV freight transport projects.

18 We had a few questions during our workshop asking  
19 about the scope of Green City projects. So I wanted to be  
20 clear that although a Green City program could include a  
21 broad portfolio of environmentally beneficial  
22 transportation projects, only elements of the program that  
23 are specific to zero emission vehicles and supporting  
24 technology can count toward the VW ZEV investment  
25 obligation.

1                   --o0o--

2                   ECARS ASSISTANT DIVISION CHIEF BEVAN: That wraps  
3 up the summary of what is contained in the ZEV Investment  
4 commitment. I'd like to talk now about the advice and  
5 guidance ARB currently plans to provide to VW as they  
6 develop their first ZEV investment plan proposal.

7                   This is where the engagement with the public and  
8 our sister State agencies is and will continue to be  
9 reflected as it is finalized. Taking into consideration  
10 the comments from our public workshop, guidance provided  
11 here today, and from the written comments received through  
12 our open docket, we will compile a final guidance document  
13 to be shared with VW and posted on our website.

14                   We expect VW to consider the guidance provided in  
15 developing their ZEV investment plan proposal, as it will  
16 reflect the goals and terms of appendix C, as well as the  
17 State's needs, priorities, and policy directions related  
18 to the programs that support the ZEV market.

19                   --o0o--

20                   ECARS ASSISTANT DIVISION CHIEF BEVAN: As  
21 identified in the Governor's ZEV action plan, ZEV  
22 infrastructure and public awareness are key to growing the  
23 ZEV market. As I said earlier in the presentation, if  
24 consumers don't know about the cars, and don't know where  
25 to fuel them, they won't buy them or lease them or use





1                   --o0o--

2                   ECARS ASSISTANT DIVISION CHIEF BEVAN: The VW ZEV  
3 investment commitment has the potential to contribute to  
4 real transformation in California. We urge VW to think of  
5 that transformational change in 2 ways, first by making  
6 their investments in transformational technology, and to  
7 help move infrastructure and ZEV access to the next level.

8                   Secondly, while the consent decree specifically  
9 requires that VW invest across a variety of geographic  
10 regions in the state. We urge VW to focus their  
11 investments in a limited number of communities that  
12 represent a variety of community types. Rather than a  
13 sprinkling of projects all over the State, we'd like to  
14 see enough investment in targeted communities to make a  
15 significant difference.

16                   These investments have the potential to transform  
17 communities, particularly disadvantaged communities.

18                   --o0o--

19                   ECARS ASSISTANT DIVISION CHIEF BEVAN: And that  
20 brings me to our next recommendation. As one of the goals  
21 of the ZEV investment commitment is to increase access to  
22 ZEVs, it is important to make ZEVs a more accessible and  
23 attractive option for broader income groups within  
24 California. Therefore, we urge significant investments  
25 that are in and serve disadvantaged and low income

1 communities, particularly in infrastructure and access  
2 programs.

3 --o0o--

4 ECARS ASSISTANT DIVISION CHIEF BEVAN: Although  
5 VW has expressed more interest in plug-in technologies, VW  
6 has many opportunities to invest in the early development  
7 of the hydrogen station network. Hydrogen infrastructure  
8 is important to California and achieves the goals of  
9 appendix C, because it supports technology diversity  
10 within our ZEV program, is scalable to larger vehicle  
11 types, today offers longer range and shorter refueling  
12 times, and as a result, assists with meeting our health  
13 based air quality standards and GHG goals.

14 Establishment of an efficient reliable and  
15 accessible fueling network will open up the market for  
16 fuel cell vehicles opening new opportunities for car  
17 makers, including VW, to successfully market zero emission  
18 vehicles.

19 --o0o--

20 ECARS ASSISTANT DIVISION CHIEF BEVAN: Data  
21 collection and reporting will be important to achieving  
22 the terms and goals of appendix C for California in 2  
23 fundamental ways for transparency and for learning. We  
24 need to be able to measure outcomes that result from the  
25 ZEV measure -- ZEV investments, how the goals of the ZEV



1 for infrastructure to meet our market goals, including the  
2 Governor's target of sufficient infrastructure to support  
3 1 million ZEVs by 2020. We think there is plenty of  
4 opportunity for infrastructure investment for all players.

5 We also urge VW's investments to demonstrate  
6 social responsibility, and a full useful life sustainable  
7 business case. There are -- here, we are looking for  
8 thoughtful investment with good prospects for utilization,  
9 as well as long-term commitment to operations and  
10 maintenance support.

11 --o0o--

12 ECARS ASSISTANT DIVISION CHIEF BEVAN: I'll talk  
13 now about some of the priorities that we've identified for  
14 investment, as well as some examples of projects that we  
15 would recommend VW consider for investment that would  
16 achieve the goals of appendix C and support the ZEV  
17 market.

18 --o0o--

19 ECARS ASSISTANT DIVISION CHIEF BEVAN: Based on  
20 the work we have done for the ZEV mid-term review's  
21 assessment of infrastructure needs, we've identified types  
22 of ZEV infrastructure in the following priority order:

23 One, multi-unit dwelling charging solutions to  
24 address the more challenging issues of providing at-home  
25 charging for those not living in a single-family home.

1           Workplace charging, including both level 1 and  
2 level 2. Workplace charging has multiple benefits,  
3 including expanding daily range for drivers, increasing  
4 awareness of ZEVs, and providing charging for employees  
5 that may not have access to charging at home.

6           Three, DC fast chargers. As the State has quite  
7 a bit of activity underway to fill out major corridors  
8 between metropolitan areas, we recommend DC fast-charger  
9 locations that serves secondary corridors and metropolitan  
10 sites that serve those drivers that may not have access to  
11 either workplace or home charging.

12           And public -- and fourth, public charging  
13 stations, especially at long dwell time locations like  
14 airports, medical facilities and office complexes.

15                           --o0o--

16           ECARS ASSISTANT DIVISION CHIEF BEVAN: We also  
17 urge VW to consider infrastructure investments in hydrogen  
18 fueling projects, including both stations and market  
19 support projects that assist with station commissioning  
20 and standards development.

21           And finally, we would support investment in  
22 infrastructure that serves multiple vehicle sectors, like  
23 medium- and heavy-duty vehicles.

24                           --o0o--

25           ECARS ASSISTANT DIVISION CHIEF BEVAN: Some

1 examples of infrastructure projects that California  
2 recommends under appendix C and that would be valuable to  
3 the State include:

4           One, a workplace charging challenge offering  
5 grants or support for installation of chargers at  
6 workplaces;

7           Two, DC fast charge plazas, a modular build-out  
8 of 50 to 150 kW charging plazas with multiple charge  
9 points with pre-built capacity to upgrade to 350 kW  
10 chargers. Such stations would help address customer  
11 charging needs for those with at-home -- without at-home  
12 or at-work charging options;

13           Three, VGI, vehicle grade integration, standard  
14 implementation to jump start the VGI market development;

15           Four, plug-in vehicle -- a plug-in vehicle garage  
16 concept to fully electrify a parking asset that could  
17 evolve over time to serve car sharing and networked car  
18 programs followed by an upgrade to serve dispatched  
19 autonomous ZEVs;

20           Five, explore models like Burbank's curbside  
21 charging installation chargers in or along with the new  
22 high-tech parking meters that accept credit cards.

23           Six, hydrogen station investments, including  
24 several -- noting that several automakers have already  
25 supported early hydrogen station development by partnering







1 community-based car share programs, zero emission shuttle  
2 services and transit, ride hailing services, and finally  
3 autonomous ZEV services demonstrations.

4 --o0o--

5 ECARS ASSISTANT DIVISION CHIEF BEVAN: As  
6 described previously, the Green City initiative could  
7 bring together many of the investment types already  
8 described into a focused geographic implementation. We  
9 would expect the investment to be transformative for this  
10 community.

11 Based on the guiding principles I outlined  
12 already, we therefore recommend the following be used in  
13 selecting a green city:

14 VW should select a city identified as a  
15 disadvantaged community; there should be opportunities to  
16 improve transportation and vehicle emissions across  
17 multiple vehicle types; we urge VW to leverage existing  
18 transportation plans and community efforts; and, in the  
19 end that VW consider the level of impact that can be  
20 achieved with their investment.

21 --o0o--

22 ECARS ASSISTANT DIVISION CHIEF BEVAN:

23 Additionally, we suggest the following should be  
24 considered as VW narrows their selection of the Green  
25 City:

1           A city that is neither too large to create  
2 transformation nor too small to benefit a significant  
3 population; there should be significant need to improve  
4 air quality; and ideal location will benefit disadvantaged  
5 communities within the selected city; we expect the city  
6 to have the economic and demographic mix to support the  
7 planned initiatives, so that services provided will be  
8 well used; and the selected city should have some  
9 geographic separation or travel patterns that can be well  
10 served by the types of services to be provided.

11           --o0o--

12           ECARS ASSISTANT DIVISION CHIEF BEVAN: In  
13 addition to infrastructure and raising awareness, we  
14 expect a Green City to include several increased ZEV  
15 access components, such as ZEV car sharing, and ZEV  
16 shuttle services or transit. We would also like to see  
17 ZEV freight services and integration of technology  
18 transforming elements like vehicle grid integration and  
19 incorporation of renewable energy into ZEV infrastructure  
20 installations.

21           --o0o--

22           ECARS ASSISTANT DIVISION CHIEF BEVAN: I'll turn  
23 now to our process and next steps.

24           We conducted a workshop in Sacramento last  
25 Friday, December 2nd. Approximately 130 stakeholders were

1 in attendance. The workshop was also webcast, and we  
2 understand many stakeholders watched remotely. After  
3 giving a presentation, much like what we have presented  
4 here today, we took about 2 hours of constructive comments  
5 and suggestions from attendees from a broad cross-section  
6 of stakeholders.

7 Some of the main themes expressed by participants  
8 included:

9 Strong support for electric vehicle  
10 infrastructure, in particular DC fast chargers and  
11 chargers for multi-unit dwellings;

12 Support was also expressed for the use of  
13 renewable energy;

14 Many stakeholde4rs brought up the need to invest  
15 in infrastructure and vehicle programs that support  
16 disadvantaged communities, citing SB 1550's metrics of 25  
17 percent of GHG funds spent in disadvantaged communities  
18 with a further 10 percent of funds spent in low income  
19 communities. It was also suggested that VW investments  
20 create jobs in disadvantaged communities;

21 Numerous stakeholders encouraged VW to invest in  
22 hydrogen stations and welcomed ARB's commitment to remain  
23 technology neutral;

24 --o0o--

25 ECARS ASSISTANT DIVISION CHIEF BEVAN: Comments

1 on the value of outreach and education were mixed. On the  
2 one hand there were those who echoed the recommendation to  
3 support multi-stakeholder efforts, and others that argued  
4 that investment in infrastructure would be more effective  
5 than raising awareness of ZEVs than a marketing campaign;

6           Several EVSE providers commented on  
7 competitiveness issues, such as the need to ensure that VW  
8 does not give away chargers, that they work fairly with  
9 contractors, and that a level playing field is maintained;

10           Stakeholders urged ARB to maintain significant  
11 oversight throughout the implementation of the investment  
12 plans;

13           And several stakeholders described opportunities  
14 to support medium- and heavy-duty ZEVs through deployment  
15 of vehicles and through investment in infrastructure to  
16 serve medium- and heavy-duty ZEVs.

17           --o0o--

18           ECARS ASSISTANT DIVISION CHIEF BEVAN: Our  
19 timeline going forward, now that we have conducted a  
20 public workshop and with input from today's Board meeting  
21 will be to continue to solicit comments from the public  
22 through December 16th, at which point we will combine and  
23 summarize all input received and roll it into a guidance  
24 and recommendations document for Volkswagen.

25           We will share that document with VW and post it

1 to our implementation webpage in early January. VW  
2 meanwhile will be opening a public input process of their  
3 own on December 9th inviting the public to share their  
4 suggestions related to the ZEV investment commitment  
5 directly with VW.

6 VW's input process is being carried out on a  
7 nationwide -- on a nationwide basis and will help inform  
8 their national ZEV investment plan as well as  
9 California's.

10 VW will submit their draft ZEV investment plan to  
11 ARB by February 22nd, 2017.

12 --o0o--

13 ECARS ASSISTANT DIVISION CHIEF BEVAN: The draft  
14 ZEV investment plan submitted in February will include  
15 proposed projects, estimated costs, a timeline for  
16 implementation, and an explanation of how each investment  
17 relates to the identified goals in the consent decree.

18 This first investment plan will outline planned  
19 investments totaling \$200 million. ARB will review the  
20 draft plan for its adherence to the terms and goals of the  
21 consent decree, and approve it or disapprove it in whole  
22 or in part. If disapproved in part, VW has 10 days to  
23 meet and confer with ARB, and if VW submits a new version  
24 of the disapproved parts for ARB approval, the process  
25 repeats. If the plan is disapproved in whole, VW must

1 submit a new draft plan and the process then repeats.

2 --o0o--

3 ECARS ASSISTANT DIVISION CHIEF BEVAN: The  
4 investments to be made by VW are coming at a critical time  
5 as the ZEV market ramps up in the coming years. These  
6 programs and services have the potential to be  
7 transformative and highly supportive of California's  
8 efforts to grow the ZEV market and broaden the reach of  
9 electrified transportation for all Californians.

10 Finally, we look forward to keeping the Board  
11 informed about the ZEV -- the VW ZEV investment  
12 commitment.

13 Thank you for the opportunity to provide this  
14 update. I'm happy to answer any questions.

15 CHAIR NICHOLS: Thanks, Analisa. And I'm sure  
16 there will be questions from the Board. We also have 8  
17 individuals who have signed up to testify on this item as  
18 well. I just wanted to underscore a couple of points  
19 since I was directly involved in the discussions that led  
20 to the creation of this appendix, because I think it's --  
21 it clearly has had an interesting galvanizing effect on  
22 people's thinking about what you could do with money to  
23 help build the ZEV market.

24 Fact number 1 is that the \$800 million is more  
25 money than has ever been invested in the history of the

1 ZEV Program by the State of California, so it's a very  
2 large amount of money. We get so used to dealing with big  
3 figures, I think that we somehow -- sometimes have a hard  
4 time putting them in perspective, but it does have the  
5 potential to be transformative, if it's spent well and  
6 wisely.

7           Secondly, the idea behind this program was  
8 primarily to recognize the fact that by diverting  
9 attention from the move towards zero emission vehicles  
10 with their green diesel program, which turned out to be  
11 not quite as green as it was advertised, that Volkswagen  
12 did have an effect on the market, which was not a positive  
13 one, and therefore it is appropriate for them to be now  
14 investing in this area.

15           But we also knew at the time, and it's  
16 becoming -- there's more detail coming out recently. I'm  
17 not sure how much has been published that Volkswagen has  
18 every intention of becoming a major player in the zero  
19 emission vehicle market, that they themselves are going to  
20 be producing several new models of electric vehicles, in  
21 addition to the one that they have now, which is the Golf,  
22 which is the only -- as far as I know, their only electric  
23 car that's available today.

24           They probably will be replacing that with  
25 something else, but they're looking at different types of

1 models. So there's a sense, which is, I think,  
2 understandable, of, gosh, they -- you know, they did  
3 something bad, and now they're benefiting from it. And  
4 the fact is that this investment, if it's done well, will  
5 benefit Volkswagen. There's no question about that. It  
6 will help them, you know, be a big player in the market,  
7 assuming that they have good vehicles that people want to  
8 buy or lease, but it's also going to help the entire  
9 market.

10           And so I think I just wanted to kind of  
11 underscore the fact that I think our job in all of this is  
12 to counsel with them, and where necessary, you know, be  
13 more aggressive about the fact that the investments that  
14 they're putting out through this fund need to be things  
15 that really do support the market as a whole.

16           There's another whole piece of this that's  
17 happening at the national level. It's not being divided  
18 up among the states, at least there's no intention, as far  
19 as I know, of doing that. This is going to be managed by  
20 EPA.

21           And so we also need to be kind of looking to  
22 complement what's going on at the national level, with  
23 this program as well, even though there's some pieces that  
24 are -- some investments that are unique to California,  
25 because we are both farther along than other places, and



1 because we're -- because we are being acknowledged, I  
2 would say, for the role that this whole -- this whole  
3 diesel scandal had on our State -- the effect it had on  
4 our State. So I just wanted to sort of start with that.

5 Board members, do you want to hear from the  
6 public first and then we'll ask our questions?

7 Okay. Let's go to Michael Jarred then from the  
8 Assembly Committee on Natural Resources. There's  
9 another --

10 MR. JARRED: On the other side?

11 CHAIR NICHOLS: You have to go to the other side.  
12 Sorry. Yeah. Only one microphone there.

13 MR. JARRED: Good morning. Hi. I'd like to make  
14 some brief comments. On September 1st, several Assembly  
15 members sent the Governor a letter on the VW settlement.  
16 Among other things, they asked for a public process. So I  
17 just wanted to thank you for the workshop last week, for  
18 the discussion today, and for actively soliciting public  
19 comments. I think that's important and appreciated.

20 In the September letter, the members of the  
21 Assembly also requested a significant investment in the  
22 scrap and replace with ZEVs. We still feel that is  
23 important, and ask the Board to emphasize that.

24 And in addition, for the public awareness piece,  
25 we believe that it's important that we piggyback on the

1 new ZEV models with extended range, so that we're  
2 increasing public awareness that there's new cars coming  
3 to market with much longer ranges, and also that  
4 investments are integrated with other investments, such as  
5 infrastructure, and SB 1275 investments.

6 And then to also make it truly brand neutral, we  
7 think any public awareness campaign should be run by an  
8 independent third party, not by Volkswagen.

9 And then finally, I'd like to say that  
10 coordination with other infrastructure programs is  
11 important. And I think you guys are already working with  
12 the CPUC and the CEC, but to really look for those gaps  
13 and to try and fill those areas that will not only need  
14 public charging stations, but also will benefit other  
15 programs, such as the 1275 programs.

16 So with that, that's all I have to say.

17 Thank you very much

18 CHAIR NICHOLS: Thank you very much for  
19 participating.

20 Ryan Schuchard.

21 MR. SCHUCHARD: Put this somewhere where I can  
22 see it.

23 Okay. Thank you, Chairman Nichols and Board  
24 members for holding this important meeting. I'm Ryan  
25 Schuchard with CalStart who has been working for 24 years

1 to advance clean vehicle infrastructure programs in  
2 California.

3 First, let me just say thank you to ARB staff for  
4 distilling this very nice summary of ideas following the  
5 meeting last week and since. And I'd like to just offer 3  
6 thoughts associated with appendix C.

7 First, California has established programs that  
8 support electric vehicle market growth, including CVRP,  
9 HVIP, and the recently announced Energy Commission program  
10 to award CVRP-like funding for infrastructure. And given  
11 the recent decrease in cap-and-trade funding, it will be  
12 extremely helpful if these funds can be used to support  
13 existing programs.

14 Relatedly, they could be used to support  
15 important brand neutral EV outreach, such as that through  
16 Veloz, the new version of the plug-in EV collaborative.

17 Second, we'd like to underline the need for funds  
18 to be additional and complimentary and not -- and to take  
19 care not to distort the market. We're concerned in  
20 particular about the risk that funds be used that would  
21 roll-out charging equipment that would be at a discounted  
22 price and undercut existing providers.

23 It is true that VW is legally required to set up  
24 a new entity to distribute these funds, but there's no  
25 requirement that it set-up an EVSP firm and use these

1 funds to compete against others.

2           And third, and finally, if it does become too  
3 difficult for VW to use these funds to help their  
4 competitors in the car industry to sell their products, we  
5 can appreciate that. And the good news that there are  
6 many ways in which the VW funds could be used to support  
7 the industry in other ways that's not anti-competitive.

8           Just a few examples to support medium- and  
9 heavy-duty programs like HVIP and transit agency funding,  
10 the AB 1275 program which supports the used car market,  
11 the new Energy Commission program that I mentioned in a  
12 statewide coordinated workplace charging program.

13           So, in conclusion, the EV sector will take off,  
14 if there's a level playing field, and firms are allowed to  
15 compete in a fair and equitable way. We just need to make  
16 sure that the funds don't distort the market or undercut  
17 current programs.

18           So with that, thanks very much. And CalStart  
19 stands ready as always to engage with ARB and VW to deploy  
20 these resources.

21           CHAIR NICHOLS: Thank you, Mr. Schuchard.

22           Mr. Sheehy.

23           Tom Sheehy.

24           MR. SHEEHY: Great. Thank you so much, Madam  
25 Chair and members of the California Air Resources Board,

1 and staff. It's great to be here this morning.

2 Appreciate just a couple moments.

3 I listened carefully and looked at the agenda  
4 carefully and understand this is all about appendix C. I  
5 don't have a statement to make today, but I do have a  
6 couple of questions. And if there is any light that staff  
7 or Board members can shed, that would be wonderful.

8 With respect to the \$381 million mitigation trust  
9 fund established under appendix D, do we know -- and I  
10 understand that a lead agency hasn't been appointed. I  
11 appreciate all that. But do we know if that trust fund  
12 will, in fact, exist in the State Treasury? That is my  
13 first question.

14 My second question is, do we believe that it will  
15 require appropriation by the California legislature in  
16 order for those funds to exit the mitigation trust fund?  
17 Is there any light on this that anybody here, staff,  
18 remembers could share? I think it would be very good  
19 information for us all to know.

20 CHAIR NICHOLS: Yes.

21 MR. SHEEHY: I apologize. I'm here with  
22 Greenberg Traurig. I'm sorry, Madam Chair.

23 CHAIR NICHOLS: Okay. Yes. I'll ask Ellen  
24 Peter, our chief counsel, to answer those questions.

25 CHIEF COUNSEL PETER: So with respect to the

1 trust, it is going to be a trust that's set up by -- with  
2 the approval of the court. A process is going on right  
3 now to pick the trustee. It will be a combination -- the  
4 people who would be eligible are people like, you know,  
5 Pricewaterhouse, you know, kind of companies that are out  
6 there doing, you know, other mitigation trusts.

7           There would be banks that would be eligible.  
8 We're at the beginning of the selection of the trustee and  
9 writing of the trust. We are -- ARB is in consultation  
10 with U.S. DOJ. But as I said, the judge in the case is  
11 going to set up the trust. And this is very typical as  
12 for other environmental trusts.

13           So the money -- the first payment was already  
14 made. It was made to the court \$900 million. The trust  
15 will probably be set up in the first part of 2017. We  
16 don't know exactly, because the court proceeds at its own  
17 rate. The money will go directly from Volkswagen, the  
18 second two payments, and also this first one will be  
19 transferred by the court to the trustee.

20           Now, the trustee is going to have a couple of  
21 obligations. They're going to make sure that the money is  
22 spent in conjunction with appendix D. And there's a list  
23 of projects that was alluded to before. And so those  
24 projects are going -- are specified. How that actually is  
25 run is depending on the terms of the trust, what the court

1 wants to do, and what the trustee wants to do.

2           So the trustee is going to be investing the  
3 money, because this money is just not going to sit there.  
4 The trustee is going to make sure that the projects that  
5 are selected are audited. The trustee goes out and makes  
6 sure that the projects are implemented. But how the money  
7 actually flows is unknown. The 381 million will not come  
8 to the State of California directly. It will be deposited  
9 as part of the 3 separate payments totaling \$2.7 billion  
10 into the trust. Our share, our allocation of 381 million  
11 was based on the number of 2 liter vehicles that were in  
12 California.

13           So that's how we got our share. And the shares  
14 are all laid out in appendix D. But how it actually goes,  
15 we know the money will not go directly to the State  
16 Treasury. It will go to the trust. And then how it  
17 disburses out through the legislature, that's somewhat up  
18 to the -- what the trustee and the court orders to do.

19           MR. SHEEHY: Thank you, Madam Chair. I  
20 understand. So as I understand counsel then, if the money  
21 is not going to be deposited into the State Treasury --

22           CHAIR NICHOLS: Correct.

23           MR. SHEEHY: -- we believe it will not require an  
24 appropriation by the California legislature in order for  
25 that money to come out.

1 CHIEF COUNSEL PETER: Basically, there's some  
2 options there, in terms of the appropriation. The  
3 Legislature could actually -- let me take a step back.  
4 The trustee has to only appropriate certain projects. So  
5 there's various mechanisms that could happen.

6 But, for example, the legislature could say in  
7 advance, we want to have the money go to the certain kinds  
8 of projects. And then that's what the lead agency submits  
9 to the trustee and they go through it.

10 But the trustee will not give money directly to  
11 the legislature and it's because in other states that once  
12 it goes to the legislature, it goes to the general fund.  
13 So it's set up specifically to not have the money go to  
14 any of the State Treasury. It's not just California.  
15 It's because they just have the -- that's just the way  
16 they run these environmental trusts.

17 The legislature has lots of opportunities to  
18 weigh in on what projects and to work with whoever the  
19 lead agency is, but there will not be unspecified money  
20 flowing from the trust to the State Treasury.

21 CHAIR NICHOLS: So in some fashion, California  
22 gets to direct how the money is spent, but we don't  
23 actually process it ourselves. It doesn't go through us,  
24 as I understand it.

25 MR. SHEEHY: Madam Chair, thank you very much.



1 That was an excellent answer. Very helpful. Thank you so  
2 much.

3 CHAIR NICHOLS: You're welcome. Happy to  
4 clarify.

5 Mr. Aprea.

6 MR. APREA: Good morning, Chairman -- Chairwoman  
7 Nichols and members of the Air Resources Board. And thank  
8 you for allowing me the opportunity to speak before you  
9 today.

10 My name is Marc Aprea with the firm of Aprea and  
11 Micheli. And I'm here today representing ChargePoint the  
12 world's largest and most open network of EV charging  
13 stations.

14 ChargePoint is headquartered in California --  
15 Campbell, California and was founded 8 years ago. The EV  
16 charging industry today is vibrant, growing, competitive,  
17 with many different business models, technology platforms,  
18 incorporating significant innovation.

19 VW's zero emission vehicle investment fund and  
20 the potential to accelerate EV adoption and charging in  
21 California and across the country is tremendous. Yet, how  
22 the consent decree is implemented will determine whether  
23 the goal is met, or whether we will fall short.

24 While we support more investment and competition  
25 in EV infrastructure, the draft guiding principles

1 presented in the slides here today are not adequate in our  
2 opinion. This -- the draft states that investments should  
3 not interfere with or undermine established and emerging  
4 businesses in the marketplace.

5 And while ChargePoint appreciates the intent  
6 behind this language, we believe it does not go far  
7 enough. ChargePoint urges 3 specific additions to the  
8 guidance document.

9 First, investment must stimulate innovation  
10 competition and customer choice, in charging equipment  
11 networks and services, and be consistent with SB 350. The  
12 State, as a matter of policy, has determined in SB 350  
13 that State agencies, when developing guidelines, shall  
14 stimulate competition, customer choice, and innovation.  
15 And so we're making a distinction between interfering with  
16 competition versus stimulating that.

17 CARB must ensure that there is a balancing test  
18 established to review the benefits of proposed  
19 investments, and the potential for any unfair market  
20 advantages or disruptions in the market.

21 The California Public Utilities Commission has  
22 used a balancing test to review utility pilot programs.  
23 We also believe that investment must be brand neutral.  
24 Now, while that's been stated in the guidance document, we  
25 want to make sure that either directly or through use of

1 customer information and data obtained through ownership  
2 of its own single charging network that VW investment  
3 should not advance its own vehicle offerings over those of  
4 competitors.

5           Finally, 3, investments in infrastructure should  
6 be provided to site hosts and third-parties as rebates for  
7 charging stations. There are well established rebate  
8 programs available in the State, including the clean  
9 vehicle rebate program for drivers and the LADWP EV  
10 charging rebate program for infrastructure.

11           Rebates are the best funded structure for  
12 allowing customers the ability to choose charging stations  
13 they want to use, enabling as many possible charging  
14 vendors and network providers to enter the market, and  
15 enabling a positive charging experience for all drivers.

16           Rebates would also encourage skin in the game,  
17 that is leverage private funding through a match or having  
18 the site host cover a portion of the charging station or  
19 its installation.

20           In conclusion, ChargePoint strongly believes that  
21 these elements are vital to allowing California to take a  
22 major step forward ensuring that EV charging marketplace  
23 remains robust, competitive, and on the cutting edge of  
24 technological innovation.

25           I want to thank you all for your time, and we're

1 happy to continue to work with your staff.

2 CHAIR NICHOLS: Thank you.

3 MR. BARRETT: Good morning. I'm Will Barrett  
4 with the American Lung Association in California. Our  
5 organization recently released a report on the health and  
6 climate benefits and challenges associated with vehicle  
7 pollution. We found that California faces about \$15  
8 billion a year in health -- public health and climate  
9 challenges each year due to the fleet of vehicles on the  
10 road today.

11 We're concerned. Obviously, intentionally adding  
12 to this burden represents an unbelievable betrayal of the  
13 public trust, and provides a greater support for the need  
14 for California strong ZEV commitments and investments.

15 Our study found that a widespread transition to  
16 ZEVs in the coming decades would spur billions of dollars  
17 in public health and climate benefits. And we think that  
18 moving forward, as the staff has laid out with  
19 California's specific ZEV solutions tailored to what we  
20 need here is critical.

21 Specifically, we appreciated the focus in the  
22 staff's presentation on early meaningful investments at  
23 the outset, and ensuring that the new investments made  
24 here are not displacing any investments that have already  
25 been made adding to existing programs.

1           A strong investment in disadvantaged communities  
2 consistent with California law making sure that the  
3 communities most impacted by pollution are going to  
4 benefit through this program.

5           Investing in medium- and heavy-duty  
6 infrastructure solutions, we want to see investments in  
7 ZEV trucks, freight solutions, transit buses and school  
8 buses. We think those are all important categories to  
9 include, as well as broadening the discussion to include  
10 hydrogen. We think that's an important element of the  
11 program, including both the ZEV charging and hydrogen  
12 infrastructure.

13           And finally, we support the strong emphasis on  
14 the public education campaign. The Lung Association is  
15 part of the California Plug-In Electric Vehicle  
16 Collaborative. We think this existing program is really  
17 well suited. And as they transition to the new Veloz  
18 nonprofit, we think that's an important foundation Veloz  
19 to consider for carrying forward this important work.

20           Similarly, we had a call yesterday with some of  
21 our partners in the New England states. We know that  
22 similar work is going on there. And we think that this  
23 momentum is building for good strong public education  
24 campaigns is vital.

25           Finally, I just wanted to say we continue to look

1 forward to working with you all to make sure as these  
2 investments go forward they're monitored, and that the  
3 promise that this scandal offers now is really carried out  
4 to the benefit of Californian's health in our environment.  
5 I want to make sure that the monitoring is there to make  
6 sure that we're actually getting the benefits that will be  
7 claimed.

8           So with that, just thank you all and Happy  
9 Holidays.

10           CHAIR NICHOLS: Thank you.

11           MR. KENNY: Hi. Good morning, Mary -- or Chair  
12 Nichols, members of the Board.

13           My name is Ryan Kenny. I'm with Clean Energy.  
14 We're the nation's largest provider of natural gas and  
15 renewable natural gas transportation fuel.

16           Just a quick comment. We're a little concerned  
17 that the investment decisions for appendix C are not  
18 mutually exclusive for appendix D. And it's a little  
19 early for investment decisions, but we're concerned about  
20 the spill-over from C maybe into D. And, of course, you  
21 know, we believe that the investment decisions 4d should  
22 actually focus on immediate reductions of NOx and focus on  
23 heavy-duty truck space, which, of source, is the largest  
24 emitter of NOx by percentage in the State.

25           So we do believe that the policies should focus

1 on a 0.02 NOx performance standard. That's technology and  
2 fuel neutral. And that the decisions that might be in C  
3 do not take up too much in D. That might end up  
4 happening. So with that, I thank you for your time.

5 CHAIR NICHOLS: Thank you.

6 MR. MAGAVERN: Good morning. Bill Magavern with  
7 Coalition for Clean Air. We appreciate all the work ARB  
8 has done on trying to redress the Volkswagen scandal, and  
9 have 3 major points to make this morning.

10 One is we urge ARB to use all of its authority  
11 under the consent decree to make sure that every penny of  
12 this investment is spent for the public interest in  
13 expanding zero emission vehicles and the infrastructure  
14 for them.

15 And we don't think that Volkswagen is a company  
16 that has earned the benefit of the doubt or any leeway,  
17 because let's remember the reason we're here is that they  
18 intentionally defrauded their customers, among whom I  
19 believe are at least 2 Board members.

20 (Laughter.)

21 MR. MAGAVERN: And even worse than that, they  
22 committed an assault on the health of millions of people,  
23 both in California and around the world. And they did  
24 that deliberately and knowingly.

25 So we think that you need to stay very involved.

1 And let me give an example of that. You have the  
2 principle that these investments should be additional and  
3 complimentary and also the consideration to avoid  
4 undermining existing and emerging businesses. And we  
5 completely agree with that. I think it's going to require  
6 sustained involvement by ARB to make sure that those  
7 principles are actually observed in the implementation.

8           Second point, we very much agree with the  
9 emphasis on expanding access to EVs and EV infrastructure  
10 for those communities that in the past have not enjoyed  
11 access to the cleanest vehicles.

12           And you're appropriately looking to the Charge  
13 Ahead law, SB 1275, as well as SB 350, and the laws on  
14 climate investments in disadvantaged communities SB 535,  
15 and recently updated with AB 1550. So appreciate your  
16 including those.

17           And I think we can look to programs like the  
18 light-duty equity pilot programs under the Charge Ahead  
19 law, like the popular scrappage and replace program, as  
20 well as we know that we need to make charging  
21 infrastructure more available in multi-family dwelling.

22           And thirdly, we support the inclusion of medium-  
23 and heavy-duty vehicles, because we know that, in addition  
24 to the light-duty sector, we very much need to electrify  
25 the heavy-duty sector buses and trucks. And these are



1 sources of a lot of the NOx, and, of course, NOx is the  
2 pollutant that Volkswagen most inflicted on us with what I  
3 believe actually is a crime. So I'm glad that criminal  
4 investigations are continuing and appreciate the work that  
5 you're doing here.

6 CHAIR NICHOLS: Thank you.

7 MS. VAZQUEZ: Good morning, Chair, and Board  
8 members. I just want to repeat what my colleagues from  
9 Coalition for Clean Air and American Lung just mentioned,  
10 but also add specifically and emphasize importance of  
11 really developing our secondary market. I know there has  
12 been mentioned of primary market in getting low to  
13 moderate income families, but we understand a lot of these  
14 consumers do not buy primary cars, so really looking into  
15 that.

16 And the data collection, I know there was mention  
17 of really having transparent data, but also, you know, I  
18 know it's an emerging market, but if we can focus our  
19 energies and research in that market and see how we can  
20 actually expand that for low to moderate income families,  
21 but also looking at the infrastructure within those  
22 communities, because one thing is getting them into  
23 vehicles, another thing actually getting them to  
24 understand how to charge these vehicles.

25 And as Bill just mentioned, really investing in

1 the heavy-duty sector, specifically on the bus fleet  
2 sector and our school buses that we're going to hearing in  
3 our next segment is how do we actually invest these  
4 monies. We understand it's a lot of money, but in the  
5 grand scheme of things, it's not really a lot in the next  
6 10 years. So how do we actually have effective  
7 investments are going to really last beyond 2030 years of  
8 our life and really propelling this market to the next  
9 level.

10           And we just look -- really look forward to really  
11 working with CARB staff and also really the transparency  
12 that we want from VW, and really making sure that whatever  
13 they indicate in their plans is transparent with the  
14 public, with really the consumers, but also individuals  
15 who are going to be benefiting from this, and really  
16 having them understand why it happened, and how we can  
17 actually prevent this from happening again.

18           So thank you.

19           CHAIR NICHOLS: Thank you. That concludes the  
20 list of witnesses. Is there anybody else who didn't sign  
21 up but wanted to speak?

22           Okay. Then let's turn back to the Board and I'll  
23 start this direction here.

24           Mr. Gioia.

25           BOARD MEMBER GIOIA: Thank you. I wanted to sort

1 of address my comments to one particular issue. And let  
2 me first say, I strongly support the guidance providing  
3 greater investment in disadvantaged communities. So --  
4 and I realized it's guidance.

5           So what I wanted to raise is how we define  
6 disadvantaged communities. As I think many of us have  
7 seen, there have been some concerns expressed over the  
8 CalEnviroScreen tool across the State. I'm very familiar  
9 with the issues that have been raised from the Bay Area,  
10 both Congress -- the legislative delegation in the Bay  
11 Area, as well as by the Bay Area Air Quality Management  
12 District.

13           There's a number of communities in the Bay Area  
14 like West Oakland near the Port of Oakland, parts of East  
15 Oakland, portions of Richmond and other areas of San Jose,  
16 and -- that are very low income, disadvantaged communities  
17 under the definition that the local air district provides,  
18 but are not included within CalEnviroScreen. And I think  
19 that's true in other parts of the State as well.

20           So what I really would like to strongly suggest  
21 and sort of hear back from staff is that the guidance that  
22 we provide to Volkswagen expand the definition of  
23 disadvantaged communities. I don't want to repeat the  
24 specifics that were in the various letters. You all have  
25 that.

1           So that it is not limited -- I think this is an  
2 opportunity. We're not bound by the definition of the  
3 CalEnviroScreen tool in our guidance to Volkswagen, but we  
4 do want to have the investments be in disadvantaged  
5 communities.

6           There are number of disadvantaged communities not  
7 within the CalEnviroScreen, so we should expand it under  
8 some kind of criteria. So I'd like to hear from staff how  
9 they would anticipate doing that, and how they would  
10 convey that in their guidance document.

11           ECARS ASSISTANT DIVISION CHIEF BEVAN: We look  
12 forward to taking comment from folks who have suggestions  
13 in that area. Tools that could be useful for that.

14           BOARD MEMBER GIOIA: Right. I did -- I forwarded  
15 the letters that came from the Bay Area legislative  
16 delegation as well as the Bay Area Air Quality Management  
17 District --

18           ECARS ASSISTANT DIVISION CHIEF BEVAN: Okay.  
19 I'll look at those.

20           BOARD MEMBER GIOIA: -- the Metropolitan  
21 Transportation Commission that sort of lay out some  
22 specific criteria and suggestions.

23           ECARS ASSISTANT DIVISION CHIEF BEVAN: Okay.  
24 Thank you. We'll look at those.

25           BOARD MEMBER GIOIA: So let me understand.

1 It's -- so we're not bound by the EnviroScreen. So you  
2 would -- how do we sort of make this clear to Volkswagen,  
3 if we do this?

4 ECARS ASSISTANT DIVISION CHIEF BEVAN: So we do  
5 want to give them guidance that they --

6 BOARD MEMBER GIOIA: Yes.

7 ECARS ASSISTANT DIVISION CHIEF BEVAN: -- invest  
8 in disadvantaged communities. And so it's going to be  
9 important for us to help them define what that is.

10 BOARD MEMBER GIOIA: Yes.

11 ECARS ASSISTANT DIVISION CHIEF BEVAN: You're  
12 right that we're not bound. The consent decree doesn't  
13 contemplate a definition of disadvantaged communities. So  
14 resources that we can look at, tools that we can use, and  
15 share with Volkswagen would be extremely helpful there and  
16 we'll reference those.

17 BOARD MEMBER GIOIA: So we could say, it meets,  
18 for example, the CalEnviroScreen communities plus these  
19 other communities under this criteria or definition.

20 ECARS ASSISTANT DIVISION CHIEF BEVAN: Right,  
21 yes.

22 BOARD MEMBER GIOIA: Okay. And I'd like to sort  
23 of stay involved and see how you develop that and provide  
24 that. I mean -- or -- and you should be in contact with  
25 the Bay Area Air Quality Management District to hear from

1 them and get further, sort of, guidance on that.

2 ECARS ASSISTANT DIVISION CHIEF BEVAN: That's  
3 very helpful. Thank you.

4 BOARD MEMBER GIOIA: Thanks.

5 EXECUTIVE OFFICER COREY: Yeah, I just wanted to  
6 add, Supervisor, I think your perspective help on that  
7 would be really useful, and there is a very intentional  
8 reference here beyond SB 535 --

9 BOARD MEMBER GIOIA: Correct.

10 EXECUTIVE OFFICER COREY: -- with reference to  
11 1550, which also had --

12 BOARD MEMBER GIOIA: Right.

13 EXECUTIVE OFFICER COREY: -- low income and other  
14 elements that were introduced. So there is some  
15 flexibility here, so that would be useful in your help.

16 BOARD MEMBER GIOIA: Great. Thank you.

17 CHAIR NICHOLS: Okay. Yes, Professor Sperling.

18 BOARD MEMBER SPERLING: I'd like to support the  
19 basic thrust of the agreement in terms of getting a lot of  
20 money into charging stations. I know there's a lot of  
21 concerns about competitiveness, but the reality is that  
22 it's -- there is not a good business model for building  
23 charging stations. You just can't make money out of it,  
24 unless you find some niches where you're going to charge  
25 extortionist rates.

1           So we need -- and here we are only -- at 3  
2 percent market penetration in California, and we already  
3 don't have enough stations. They're not happening.  
4 They're not rolling out. The investments are not being  
5 made. The PUC is limiting what the utilities can do. You  
6 know, that's another related question. But at the end of  
7 the day, the number one priority should be getting money  
8 out there as the -- as Chairman Nichols was saying,  
9 getting money out there for these charging stations.  
10 That's our top priority. We're going to -- we're going to  
11 suffocate the market if we don't do that.

12           And it's consumer -- and consumers don't want  
13 to -- I mean, consumers won't buy a vehicle, unless they  
14 see the charging stations out there. They won't use them  
15 much, and that's why there's not a good business model  
16 there, but they need to see them out there so it's almost  
17 for psychological reasons and for market development.

18           So, you know, I want to really emphasize I think  
19 this -- what we're doing in terms of getting a lot of  
20 funding here for charging stations. That's unequivocally  
21 good.

22           CHAIR NICHOLS: I'll turn down to this direction.  
23 Yes, keep going.

24           Ms. Riordan.

25           BOARD MEMBER RIORDAN: Yes. I just wanted to

1 highlight one item that was addressed in the speaker  
2 category, which was the secondary market. And I have  
3 talked to staff -- and by the way, staff, this was an  
4 excellent outline, and I appreciate it very much.

5           A lot of the people I know in the area of where I  
6 am are going to look for the secondary market. There's  
7 just no question. We need to help them by providing some  
8 charging stations, as Dr. Sperling said, but we also --  
9 and it's very difficult, but many of the people who live  
10 in the inland counties, i.e. the San Bernardino and  
11 Riverside counties, travel significant distances for their  
12 work.

13           So we've got to find out where these workplaces  
14 are or workplaces that may have the opportunities to also  
15 take in some charging stations, so that they can get back  
16 home, because they're going to be using those early items  
17 that -- or cars that may not have the range that they  
18 need. So I just want to hopefully encourage you. It's a  
19 difficult task, but to try to have Volkswagen, or maybe we  
20 even can provide some help to them, to figure out where  
21 these people are working.

22           A lot of them are traveling from 2 counties into  
23 L.A. County to work. They may be traveling also to Orange  
24 County, but I tend to think they're more apt to be  
25 traveling into L.A. County. And if we can find out what



1 those patterns are and establish some opportunities,  
2 perhaps some parking structures, perhaps in -- on the  
3 workplace for charging stations. I think that would help  
4 us tremendously in encouraging people to get into that  
5 secondary market.

6 Thank you.

7 CHAIR NICHOLS: Thanks. I think that's a very  
8 good comment. It also sort of builds on the earliest  
9 comment from Analisa about data and information, because  
10 this is an area where we all need better information,  
11 everybody who's involved in this market.

12 Senator Florez, I think you had your hand up  
13 next.

14 BOARD MEMBER FLOREZ: Yes. Thank you.

15 I agree with everything obviously everyone is  
16 saying. I have questions about the presentation and some  
17 questions about some of the slides.

18 One of the things that kind of transcended the  
19 presentation was this notion that we ought not reward  
20 Volkswagen for being a bad player by, in essence, giving  
21 them advertising or trying to be as much as brand neutral  
22 as possible. How do we really hone that in, in terms of  
23 our guidance principles?

24 At some point, during the presentation, it seemed  
25 to -- I think I caught in one sense we were saying things

1 should be balanced, but yet at the same time, we were  
2 giving them some notion of some sort of advertising. How  
3 do we balance that to make sure that people aren't pulling  
4 into a Volkswagen charging area, you know, in some way,  
5 and Volkswagen gets to reap the benefit of that?

6 ECARS ASSISTANT DIVISION CHIEF BEVAN: So on the  
7 education and outreach, that's sorts of the first primary  
8 area where we might think about them reaping benefit or  
9 being direct in --

10 BOARD MEMBER FLOREZ: I think it was the  
11 sponsored by that kind of took me. So, you know, yeah.

12 ECARS ASSISTANT DIVISION CHIEF BEVAN: So the  
13 education and outreach is intended to raise awareness and  
14 spark interest in zero emission vehicles. It can't  
15 feature prominent -- can't feature Volkswagen's products  
16 prominently, compared to other products that are included  
17 in the advertising or marketing, but it can, at the end,  
18 say brought to you by Volkswagen, but again not  
19 prominently.

20 So just a flash screen.

21 BOARD MEMBER FLOREZ: And it says sponsored by  
22 Mary Nichols or --

23 (Laughter.)

24 BOARD MEMBER FLOREZ: -- sponsored by the  
25 California Air Board? Or, you know, I mean --

1 (Laughter.)

2 CHAIR NICHOLS: Well, maybe I could -- I could  
3 add a little bit to this, because I think the idea here is  
4 that, at least from our perspective, we are trying to  
5 steer, as I think at least one of the people who spoke  
6 indicated, in the direction of putting the funds into a  
7 larger campaign. Both we and the east coast 177 states  
8 are working actively to try to create public outreach  
9 campaigns.

10 If that happens, when it happens, because I think  
11 it's really a when now, I think the understanding is that  
12 the campaign itself will have a brand name, but then the  
13 members will all get recognized. So presumably,  
14 Volkswagen would, along with it -- and by the way, the --  
15 what I've heard -- maybe it's from you. So if I'm just  
16 repeating it back, okay -- is that Volkswagen prefers not  
17 to be the major sponsor of any of these efforts. They  
18 want to contribute, but they would prefer not to be the  
19 major donor, because that has some backlash potential as  
20 well.

21 ECARS ASSISTANT DIVISION CHIEF BEVAN: That would  
22 be in the case of the multi-stakeholder projects, like the  
23 PEVC Veloz program or the north east states public  
24 education campaign, right, they -- they're more likely to  
25 be interested in being a member of that with many partners

1 contributing. But the education and outreach campaign  
2 that they would undertake themselves would be in the form  
3 of raising awareness, telling folks these cars are  
4 available.

5           There are examples of the -- almost like a public  
6 service announcement, but then brought to you by  
7 Volkswagen at the end.

8           And then to your question --

9           BOARD MEMBER FLOREZ: Yeah, it's still -- now,  
10 we're back to zero then again.

11           (Laughter.)

12           BOARD MEMBER FLOREZ: So brought to you by  
13 Volkswagen. I'm just wondering -- I really like the  
14 approach that the Chairwoman just mentioned as some sort  
15 of larger campaign, or some sort of -- you know, there are  
16 other competitors. I think we had a few of them testify  
17 today about that worrisome aspect of it.

18           So as we begin to put out, if you will, for their  
19 consideration, as I understand it, I would hope that we  
20 would hone in on that larger campaign and try to minimize,  
21 as much as possible, kind of the Volkswagen EV charging  
22 stations, something of that sort.

23           ECARS ASSISTANT DIVISION CHIEF BEVAN: So that's  
24 a separate issue is the charging stations. And those can  
25 be owned, operated, and profited from by Volkswagen. And

1 the idea there, this kind of gets at the concept that I  
2 may not have been entirely clear about, that this isn't a  
3 penalty. This is urging them to invest in this  
4 marketplace in these services. And so they're creating a  
5 brand really in the infrastructure world. And --

6 BOARD MEMBER FLOREZ: But aren't we helping  
7 select some of these areas. You just mentioned some key  
8 areas that I think any competitor would love to be in.  
9 And are we giving them that opportunity to, because of the  
10 settlement, enter into those types of areas where  
11 competitors either aren't ready or about to do -- move  
12 into that area, and giving them sort of preferential  
13 treatment?

14 ECARS ASSISTANT DIVISION CHIEF BEVAN: I don't  
15 know that we're giving them any preferential treatment.  
16 We're guiding them using the same publicly available  
17 information that others have in terms of --

18 BOARD MEMBER FLOREZ: But we're saying we're  
19 going to do this in the first 30 months. I mean, it was  
20 pretty clearly stated that our preference in this entire  
21 deal is to get this effort pushed within the first  
22 investment period, which is the first 30 months. And I'm  
23 just wondering if that kind of pushes them out there as a  
24 kind of either a first adopter or an early entrant? I  
25 mean, how do we reconcile a very big push in the first

1 Investment period where they have to be ready and to move  
2 in that area where maybe competitors aren't going to be  
3 able, and we're actually asking them to be in preferential  
4 places, which we all agree are great places. So how do we  
5 balance that?

6 ECARS ASSISTANT DIVISION CHIEF BEVAN: That is an  
7 interesting balance. And we are asking them to find the  
8 gaps in California where other people aren't investing or  
9 that there is great need. And in some cases, those are  
10 going to take some time to develop the business case for  
11 and find the hosts, and really get projects underway.

12 But we are asking them to be as diligent and as  
13 quick as possible in getting started, because we do really  
14 want to be able to measure what's been accomplished after  
15 the first 30 months.

16 BOARD MEMBER FLOREZ: Okay. Just 2 more  
17 questions. I'm sorry. I guess just to end that part of  
18 the -- my thinking, and that is if we're rush -- if we're  
19 pushing for 30 -- a first investment period of 30 months,  
20 if we have a preference of where we think these areas  
21 should be, if we're asking Volkswagen to meet that, we, in  
22 some essence, are pushing them in a direction where others  
23 aren't, where others might want to be. And I just want to  
24 make sure they're not in a competitive advantage and -- to  
25 players who haven't been bad players in this space. So I

1 just don't want -- I just want to make sure we're not  
2 pushing them in some sort of preferential way to areas.

3           Two other questions I have. And then a request  
4 of the Chair and to the staff. Obviously, there was a  
5 congressional hearing on this yesterday. One of the  
6 issues was whether or not, at least debated there, was  
7 whether there was a market assessment. And it seemed  
8 to -- the EPA seemed to be saying there was no market  
9 assessment on their level. Have we done a market  
10 assessment yet in terms of how we view this area, or are  
11 we kind of stating, you know -- our preferences, are they  
12 base on a market assessment or --

13           ECARS ASSISTANT DIVISION CHIEF BEVAN: A market  
14 assessment of what? I'm sorry. I didn't -- I wasn't able  
15 to watch the --

16           BOARD MEMBER FLOREZ: Of kind of the EV -- the EV  
17 infrastructure --

18           CHAIR NICHOLS: The future of EVs and the need  
19 for infrastructure.

20           BOARD MEMBER FLOREZ: Right.

21           ECARS ASSISTANT DIVISION CHIEF BEVAN: Okay.  
22 Sure. Well, we have the advantage of having been engaged  
23 in a mid-term review for the last 4 years.

24           BOARD MEMBER FLOREZ: Yeah.

25           ECARS ASSISTANT DIVISION CHIEF BEVAN: And I've

1 had early access to some of the findings, especially in  
2 infrastructure. And so our recommendations are informed  
3 by what we've identified in our mid-term review  
4 assessment.

5 BOARD MEMBER FLOREZ: Okay. Great. They could  
6 have used you yesterday at the hearing.

7 (Laughter.)

8 CHAIR NICHOLS: I'm sure.

9 BOARD MEMBER FLOREZ: The other question I have  
10 was the data question that was raised yesterday in  
11 yesterday's hearing about, you know, how transparent is  
12 data, how can we share data? I think you touched on that  
13 in a slide, but maybe you can give us our version of that  
14 kind of data look?

15 ECARS ASSISTANT DIVISION CHIEF BEVAN: We haven't  
16 determined yet exactly what we're going to be asking  
17 Volkswagen to provide us in the way of data, but we do  
18 certainly want to know where are the chargers, are they  
19 being used, what are the issues that has come -- that have  
20 come up in terms of reliability, durability, up-time,  
21 things like that, to inform both how effective their  
22 investments have been, but also what we can learn from  
23 them to share with other entities that are investing in  
24 infrastructure, as an example.

25 BOARD MEMBER FLOREZ: Okay. I guess what was



1 said yesterday at least was that they have a 1 year or  
2 annual data window. That's a long time to not be able to  
3 access data. And I'm just hoping that as we start to  
4 think of our data needs that we're not kind of locked into  
5 that 365 day nobody gets to see it except for Volkswagen.  
6 So I hope that we are going to look at that as well.

7 ECARS ASSISTANT DIVISION CHIEF BEVAN: Yes. We  
8 actually meet with Volkswagen twice a year to check in on  
9 the status of their projects, and expect to be in  
10 relatively constant communication with them.

11 BOARD MEMBER FLOREZ: Okay. Great. Last  
12 request. I think the -- Madam Chair, the Pro Tem may have  
13 sent a letter requesting some information from staff  
14 regarding 350, all of the legislation you just kind of  
15 went through, and to make sure that's somehow coordinated  
16 and matching. And I would just hope we could get a  
17 response back to the Pro Tem. And the legislature  
18 generally will have the same questions at some point in  
19 time, so we might as well get ahead of it. So I'm just --  
20 if that's possible, that would be great.

21 ECARS ASSISTANT DIVISION CHIEF BEVAN: Yes,  
22 that's in progress.

23 BOARD MEMBER FLOREZ: Thank you.

24 CHAIR NICHOLS: Great. Ms. Mitchell.

25 BOARD MEMBER MITCHELL: Thank you.

1           So I understand from the requirements of appendix  
2 C that we won't have direct control over what happens with  
3 this investment money, but we will have some oversight,  
4 which I think we should exercise to the extent that we  
5 can.

6           A couple of things mentioned in the programs that  
7 I think would be important to emphasize, is the scrap and  
8 replace program. We already have the EFMP Plus-Up  
9 program. And a scrap and replace program that VW engages  
10 in could certainly build upon that program.

11           And also, Bill Magavern mentioned an important  
12 point is that when we are trying to get more EVs into  
13 disadvantaged communities, we really need to be thinking  
14 about the charging for those vehicles. And so it becomes  
15 even more important to find a solution to the multi-family  
16 dwelling charging problem. And that isn't easy, because,  
17 as you know, a lot of condominium owners have to have that  
18 connection directly to their condominium or to their  
19 apartment, so that they're charged for that electricity,  
20 so -- but there are other ways I think that it could be  
21 done with credit cards or with some other way to charge  
22 that electricity.

23           And I think it's really important that we kind of  
24 lead the way in some guidance on how that could be done.  
25 But those 2 things go together, the EVs into disadvantaged

1 communities and their ability to charge.

2           The other thing that I think we have neglected is  
3 the moving forward with electric vehicles in the  
4 medium-duty range. And there is so many tradesman out  
5 there that are using these medium-duty trucks or vans, and  
6 they are, at least in Southern California, all over, 4 or  
7 5 or 6 counties to deliver whatever services or goods that  
8 they are engaged in.

9           And also we've seen the sales of these kinds of  
10 vehicles have just gone way up with low gasoline prices,  
11 but there aren't many models in that range. And I don't  
12 know how we get -- address that or whether this money  
13 would be a way to address it, but it's something we should  
14 keep in mind.

15           The other thing I think, which is included in our  
16 plan, which is important that we are technology neutral.  
17 The infrastructure for charging, et cetera is -- includes  
18 hydrogen. One thing that is mentioned in the plan is  
19 these EV charging corridors. That is going to be critical  
20 to moving an EV market forward.

21           And I know we've identified some of these  
22 corridors already, so I would hope that that would be  
23 included in our guidance to Volkswagen.

24           With respect to the Green City's program, I  
25 encourage the engagement of the League of California

1 Cities, and CSAC to help, you know, guide those programs  
2 into the right places. And those are wonderful resources,  
3 the League of Cities could certainly help. They already  
4 have their Beacon Program, their green program, which  
5 could be very useful, I think, to VW as they move in this  
6 direction.

7 Thank you.

8 CHAIR NICHOLS: Good comment.

9 Dr. Balmes.

10 BOARD MEMBER BALMES: Well, as one of those 2  
11 board members --

12 (Laughter.)

13 BOARD MEMBER BALMES: -- with the dirty  
14 Volkswagen, I literally, Ms. Mitchell, can share, I  
15 literally just got my offer letter for what they're going  
16 to pay for me to sell it to them -- so let it back to  
17 them. I want to -- well, first of all, to say that coming  
18 late in the game here in terms of today's discussion, most  
19 of what I had to say has already been said. But there's  
20 one point that I think I would like to bring more  
21 attention to, and it was alluded to in Analisa's  
22 presentation about sort of the tension between increasing  
23 the market for EVs by building infrastructure, which I  
24 totally agree is important, versus an awareness  
25 campaign -- public awareness campaign.

1           And I personally don't have the expertise to say  
2 how important that latter pieces is, but I think it's  
3 important. And it's come up multiple times in our  
4 discussions. This is a great agency that comes up with  
5 evidence-based regulations, but communication with the  
6 public is not our strong suit.

7           (Laughter.)

8           BOARD MEMBER BALMES: And so I think -- I think  
9 there is a role here for that. My experience with public  
10 campaigns is on the public health side. And the smoking  
11 cessation campaigns in California have been very  
12 effective. And when they've been relatively defunded with  
13 changes of administration, smoking cessation rates have  
14 fallen. And then when resources have been put back into  
15 an effective campaign, cessation rates have increased.  
16 And I have to say effective campaign. It needs, you know,  
17 slick advertising, which, you know, Volkswagen clearly can  
18 do.

19          (Laughter.)

20          CHAIR NICHOLS: Probably better than we can.

21          BOARD MEMBER BALMES: I think so. But I think  
22 where I'm sort of publicly questioning is how much goes to  
23 building infrastructure? And I think that's -- you know,  
24 it's very important. And I'm not trying to say it's not,  
25 but I think we -- how much -- we need to question how much

1 needs to go into advertising? And I don't know how clear  
2 we are in that guidance to Volkswagen on this. I don't  
3 know if anyone wants to make a comment.

4 CHAIR NICHOLS: We haven't divided the money up  
5 into pots and said how much has to go to each of those, if  
6 that's the question.

7 BOARD MEMBER BALMES: Yeah. No, I wasn't asking  
8 for a dollar figure, but sort of balance.

9 DEPUTY EXECUTIVE OFFICER AYALA: So maybe I can  
10 just add a couple comments to give the Board some  
11 reassurance, because you pointed to evidence informing our  
12 process. And the two things that I want to point out is  
13 the infrastructure in education and awareness are two of  
14 the principal barriers that a significant amount of  
15 research done by places like UC Davis and other academic  
16 institutions have pointed out to us. So it's strictly and  
17 purely driven by the evidence that we have come across.  
18 So that is what is guiding our decisions.

19 And the other thing is absolutely we want to  
20 achieve the balance that Senator Florez was talking about,  
21 in terms of it's going to be part of the process. This is  
22 going to be an iteration where we want to engage with the  
23 company, with the Board, with the public. And we are  
24 anticipating dedicating, and hopefully getting new  
25 resources, so that we can begin this tracking process.

1           And that is one way that we achieve this balance  
2 that we understand we need to achieve. But to the point  
3 about how much goes to infrastructure versus education, we  
4 want to, as part of the process, identify the ideal  
5 solution for that. We think we need to do both. And we  
6 completely agree with you that the first thing that we'd  
7 recognize is that we are the worst at communicating.

8           (Laughter.)

9           DEPUTY EXECUTIVE OFFICER AYALA: And the first  
10 thing we did is said that we had to go and hire a  
11 essential professional, somebody who can actually help us  
12 with the social sciences and the -- you know, what I call,  
13 the human dimension, because, you know, as an engineer,  
14 I'll be the first to admit, you know, we can do great  
15 things, but communication is not our fore forté.

16           BOARD MEMBER BALMES: Yeah, so that's -- that's  
17 reassuring --

18           (Laughter.)

19           BOARD MEMBER BALMES: -- but, you know, what I  
20 fear is that we need a lot resources towards  
21 infrastructure. And, you know, if we just give just a  
22 little bit to the public messaging, you know, that will be  
23 sort of, excuse my phrase, pissing in the wind.

24           ECARS ASSISTANT DIVISION CHIEF BEVAN: Maybe I  
25 can help with a bit of context. With the federal program,

1 the national level, the consent decree actually  
2 establishes a range of funding for the 30 -- each 30-month  
3 cycle of 25 million minimum, and 50 million maximum. So  
4 on the national level, we expect to see at least 25  
5 million spent on public awareness of the 2 billion divided  
6 by 4. So maybe that provides a bit of a context or a  
7 range or order of magnitude --

8 BOARD MEMBER BALMES: Yeah. Thank you.

9 ECARS ASSISTANT DIVISION CHIEF BEVAN: -- of a  
10 sense of what they're going to spend.

11 CHAIR NICHOLS: Any other comments?

12 Mr. Eisenhut.

13 BOARD MEMBER EISENHUT: Yeah. We may be at the  
14 end of this discussion, so -- but I had -- I wanted to  
15 add, I guess, I'm a Field of Dreams guy. And so I think  
16 that an emphasis -- I would endorse Dr. Sperling's comment  
17 with regard to an emphasis on infrastructure.

18 And a second point. With regard to disadvantaged  
19 communities, I hope this -- when we look at that  
20 definition, and the possibility of inclusion or exclusion  
21 of communities that that's a statewide look not a  
22 specifically regional look. So I just add that comment.

23 Thank you, Madam Chair.

24 CHAIR NICHOLS: Thank you.

25 Ms. Berg.



1           VICE CHAIR BERG: Thank you.

2           The things that really stuck out in my mind from  
3 Chairman Nichols and also from staff was transformative.  
4 This is really a significant amount of money. But from  
5 all my esteemed Board members, I think we've spent it 3  
6 times.

7           (Laughter.)

8           VICE CHAIR BERG: And that's what my biggest  
9 concern is. If we truly want transformative, we're going  
10 to have to help VW be able to choose an area that -- or  
11 areas that truly could be transformative, which means  
12 somebody's going to get disappointed.

13           Otherwise, the other option is really being the  
14 belle of the ball with money that you can help a lot of  
15 different things go incremental. So I do think it's  
16 important that we do be very specific on what we want,  
17 because otherwise all is we're going to hear back is what  
18 VW didn't do right. And that's not fair.

19           So I would really, really encourage, not only the  
20 Board, but staff, to be very clear. Do we want to be  
21 transformative? Then you need to put significant funds  
22 after a transformative outcome.

23           Do you want to help be incremental? Then we can  
24 go broad and help many things get to the next level.

25           Thank you.

1 CHAIR NICHOLS: Thanks.

2 Yes, Dr. Sherriffs.

3 BOARD MEMBER SHERRIFFS: Thank you. Just  
4 thinking about some of the comments. You know, initially,  
5 well, it's great that VW has a long-term commitment to EV.  
6 You know, aligned incentives are very, very important. It  
7 also suggests though is that there's been a lot of  
8 expression of concern about reaching multi-family  
9 dwellings, about EJ communities. I don't know what VW's  
10 market is? And it's important, I think, that for this to  
11 succeed, and partly the comments about, you know, to be  
12 truly transformative, I think we have to be focused,  
13 because there's not enough to do a little bit everywhere.

14 So we need to understand what VW's focus is going  
15 to be and think about where are the gaps, and where are we  
16 good at filling those gaps. And likewise, well, how do we  
17 steer them, even though they may not want -- it's not  
18 their vision. Yeah, but this is not to reward them.  
19 We're not here to punish them, but, you know, we're here  
20 to make this for the public good, for the public health to  
21 make up for that deficit that's been created by this.

22 So I think to do this well, to be coordinated, we  
23 really do need to understand where their natural  
24 incentives are to be moving in a direction, and where the  
25 gaps are going to be.

1           CHAIR NICHOLS: I think that's a very good  
2 comment. I think we should probably wrap it up at this  
3 point, but I do want to just add, first of all, our Board  
4 Member Diane Takvorian, who was not able to be here today  
5 because of a scheduling conflict did send me some notes.  
6 And she wanted to both congratulate the staff on the  
7 report, which she thought did a really good job of  
8 capsulizing what was heard at the workshops, and also to  
9 add one additional point on the public awareness side,  
10 which is that it needs to include a multi-cultural and  
11 multi-lingual outreach component especially in order to  
12 reach disadvantaged communities. And just, in general, in  
13 the State of California, I think that has to be an aspect  
14 of anybody's marketing campaign.

15           I also wanted to really second Dr. Sperling's  
16 comment about the big gap between the amount of  
17 infrastructure that's out there, and the amount that is  
18 needed to support the kind of growth that we're talking,  
19 about, we are -- we have a drop in the bucket at the  
20 moment, in terms of what we're going to be needing.

21           So I -- despite the fact that I know there is the  
22 concern about competition and innovation, and we don't  
23 want to be stifling those in any way, shape, or form, I  
24 think our major objective is to get the infrastructure out  
25 there. And that's particularly true from the consumer

1 perspective that we -- our job, I think, is to be thinking  
2 about the consumer and the potential consumers are making  
3 this easy for them. And the existence of infrastructure  
4 is part of the marketing of these vehicles in and of  
5 itself, seeing the charging stations out there, especially  
6 if they're working charging stations and people are using  
7 them is part of what gets people interested in the  
8 possibility of acquiring or using one of these vehicles.  
9 So I think there's a -- there's a synergistic effect here.

10           Anyhow, as we heard before, this is an ongoing  
11 discussion, and a lot of interest. The workshop, I saw  
12 the photo from the workshop. It was standing room only.  
13 You know, great interest on the part of many different  
14 stakeholder groups. So this is exciting and we look  
15 forward to getting updates from you all on a regular  
16 basis.

17           So I think with that, we should move on to our  
18 next agenda item, since this is just an formation item.  
19 We didn't have to take any action on it.

20           We should move on to the school bus issue.

21           And this is one that I'm really glad is coming  
22 back before us. And I know several Board members have  
23 been very active in working to try to accelerate and  
24 expand our program in this area. I want to point out  
25 that, you know, we have still a population of old school

1 buses out there that are unfairly targeting children,  
2 while they are being transported to and from school, as  
3 well as people who are simply, in some cases, standing in  
4 front of the school while the bus is idling or dropping  
5 off kids at school. They are really noticeably one of the  
6 less well controlled types of vehicles that are out there  
7 on the roads today.

8           So back in June we asked the staff to give us an  
9 update on funding that would be available and ways that we  
10 could accelerate school bus projects. We heard testimony  
11 at that hearing about the potential, but wanted to pin  
12 down the facts of the situation and develop a strategy.

13           So, Mr. Corey, would you please kick off this  
14 item.

15           EXECUTIVE OFFICER COREY: Yes. Thanks, Chair.

16           So as you noted, in June, the Board tasked staff  
17 with updating the California school bus population  
18 inventory and developing a plan to clean up remaining  
19 dirty school buses in the State. Staff is in that process  
20 and is providing this update.

21           Staff surveyed the California school bus  
22 population in close coordination with the California  
23 Association of School Transportation Officials, and the  
24 School Transportation Coalition, as well as other  
25 stakeholders.









1 bus cleanup. This slide shows the major sources of State,  
2 federal, and local funding that has been allocated to  
3 school buses over the last 15 years.

4 The Lower Emission School Bus Program was  
5 established in 2001. ARB staff in coordination with the  
6 local air districts and the California Energy Commission  
7 developed guidelines that set the criteria for the program  
8 for school bus replacements and retrofits, with the goal  
9 of reducing children's exposure to harmful diesel exhaust.

10 The Zero Emission Bus Commercial Deployment  
11 Project was approved in October 2016 to advance technology  
12 in the school bus fleet, and has been allocated to fund 29  
13 battery electric school buses in 3 Sacramento school  
14 districts.

15 To date, more than \$500 million has been invested  
16 to clean up over 10,000 school buses.

17 --o0o--

18 AIR POLLUTION SPECIALIST CHAMBERS: In order to  
19 determine how many school buses still need to be cleaned  
20 up, a variety of factors must be taken into account,  
21 including the age or model year of the school bus. We  
22 know, based on engine emission standards, that older  
23 school buses emit more particulate matter than newer  
24 school buses. We must also determine if the school bus  
25 has a particulate matter exhaust filter. Particulate

1 matter exhaust filters reduce PM emissions by at least 85  
2 percent. And annual mileage tells us if buses operate  
3 reduced mileage on an annual basis. Therefore, they emit  
4 less PM.

5 Low-use school buses often serve as backups and  
6 are most commonly the oldest school buses in the fleet.

7 --o0o--

8 AIR POLLUTION SPECIALIST CHAMBERS: To fully  
9 understand the inventory, we need multiple data sources to  
10 define the California school bus population. No one  
11 source gives us a clear answer of what needs to be done to  
12 clean up the school bus fleet. The 2014 CHP school bus  
13 inspection data is our primary data source for determining  
14 school bus population.

15 School buses are required to be inspected once  
16 every 13 months to legally transport children. This is  
17 our most complete data source, but we need more key  
18 information on retrofit PM filters and annual mileage.

19 To supplement the CHP inspection data, staff  
20 compiled information from other sources, such as lists of  
21 State funded school buses, and those funded through local  
22 air districts, information from the truck and bus  
23 regulation reporting system and DMV registration data.

24 Our last source was a direct attempt to get  
25 information directly from the school districts via a

1 school bus fleet survey.

2 --o0o--

3 AIR POLLUTION SPECIALIST CHAMBERS: At the end of  
4 August 2016, ARB, the California Association of School  
5 Transportation Officials, or CASTO, and the School  
6 Transportation Coalition put together a school bus fleet  
7 survey for fleet and maintenance supervisors.

8 The survey was distributed to over 600 fleet  
9 supervisor contacts, as well as distributed in the CASTO  
10 monthly newsletter and through the California Department  
11 of Education contact list.

12 Staff followed up with phone calls to the  
13 transportation managers and emails to district  
14 superintendents. As of December 2nd, we have received  
15 approximately 250 surveys, which total approximately 7,200  
16 school buses.

17 We will continue to compile survey responses into  
18 our final data set, as they come in.

19 --o0o--

20 AIR POLLUTION SPECIALIST CHAMBERS: We know there  
21 are many stakeholders interested in school bus cleanup, so  
22 we reached out through a public forum and one-on-one  
23 meetings. We held a public workshop in early November, in  
24 which 188 participants were in attendance. At the  
25 workshop, we discussed and gathered input on preliminary

1 data results, current and potential funding sources, and  
2 cleanup prioritization.

3 In addition, we have held numerous one-on-one  
4 conference calls with various stakeholders, including  
5 local air districts and CAPCOA, school districts, school  
6 bus sales and retrofit installers, as well as several  
7 associations.

8 We appreciate the support and engagement from our  
9 school bus partners, and we look forward to ongoing  
10 cooperation and partnership.

11 --o0o--

12 AIR POLLUTION SPECIALIST CHAMBERS: After  
13 compiling the school bus data sources, we broke down the  
14 school bus fleet of 25,400 school buses by fuel type.  
15 Approximately, 65 percent are diesel fueled, and make up  
16 our main area of focus and concern.

17 Obtaining more detail on the school bus fleet has  
18 helped us understand how we can prioritize the cleanup.  
19 We'll look at the school bus population in more detail on  
20 the next slide.

21 --o0o--

22 AIR POLLUTION SPECIALIST CHAMBERS: This slide  
23 demonstrates the breakdown of the various categories that  
24 make up the school bus population in California. Let's  
25 start with the bottom 10 percent of the school bus

1 population. This is the portion in gray. We need more  
2 information to categorize these records. Key information  
3 is missing, such as gross vehicle weight rating fuel type,  
4 engine model year, or the compliance option.

5 As we continue to gather more data, we continue  
6 to see this category discrete -- decrease and disperse  
7 among the other categories.

8 The next category, shown in blue, makes up  
9 approximately 34 percent of the school bus population.  
10 This category includes fuel types, other than diesel, such  
11 as gasoline, natural gas, propane, hybrid, and electric  
12 school buses. These are not a primary concern for PM  
13 exposure.

14 Another 36 percent of the school bus population  
15 shown in green is made up of those diesel school buses  
16 that have PM exhaust filters installed, whether it be a  
17 retrofit or an original equipped filter that comes down  
18 standard 2007 and newer model year engines. Because these  
19 school buses have significant PM controls, they are not a  
20 priority for cleanup.

21 The next portion, shown in yellow, makes up 15  
22 percent of the school bus population. This category  
23 includes those school buses that are currently in  
24 compliance with the truck and bus regulation, but are  
25 nearing the end of their useful life. While they are not

1 the highest priority for cleanup, they are an upcoming  
2 priority.

3           And finally, the top 5 percent, shown in, red  
4 designates the immediate priority category of school buses  
5 that are unfiltered. This is the dirtiest category of  
6 school buses in the fleet. We will talk about these last  
7 2 categories in more detail on a later slide.

8   --o0o--

9           AIR POLLUTION SPECIALIST CHAMBERS: Overall,  
10 California has made great progress to ensure that children  
11 have the opportunity to ride clean school buses to and  
12 from school. From the Children's Exposure School Bus  
13 Study to the regulations that are currently in place,  
14 along with the funding investments that have been directed  
15 to school buses, we have significantly accelerated the  
16 turnover of the school bus fleet, and have reduced PM  
17 exposure for children.

18           We need to focus on the 20 percent of the school  
19 bus population that includes the immediate and upcoming  
20 priority categories of school buses shown on the previous  
21 slide.

22           The data distribution shows us that school bus  
23 cleanup is a statewide issue, rather -- ranging throughout  
24 both rural and urban areas. Although a lot has been done  
25 to clean up the school bus fleet, school district, air

1 districts, and ARB still have more work to do.

2 --o0o--

3 AIR POLLUTION SPECIALIST CHAMBERS: There is a  
4 wide range of project options for school bus cleanup.  
5 This slide shows the estimated cost for various school bus  
6 projects listed in order from the least expensive to the  
7 most expensive.

8 Projects range from \$20,000 for a retrofit PM  
9 filter up to 130 to 185 thousand dollars for conventional  
10 replacements.

11 And finally, battery electric zero-emission  
12 school buses, ranging from 225 to 400 thousand dollars.

13 You can see that cleaner new technology options  
14 are available, as long as the funding resources are  
15 available.

16 --o0o--

17 AIR POLLUTION SPECIALIST CHAMBERS: Based on the  
18 project costs that were listed on the previous slide, PM  
19 exhaust filters are the most cost effective option for  
20 cleaning up school buses. For comparison purposes, for  
21 every 1 conventional diesel school bus replacement,  
22 \$165,000, 8 school buses could be retrofit at the cost of  
23 \$20,000.

24 While everyone would prefer to get a new  
25 replacement bus, PM exhaust filters will continue to play

1 a role in cleaning up the school bus fleet where feasible.

2 --o0o--

3 AIR POLLUTION SPECIALIST CHAMBERS: We will move  
4 on to some potential funding sources available to fund  
5 school bus projects. School districts have the ultimate  
6 responsibility for ensuring clean and healthy  
7 transportation for students. The funding sources on this  
8 slide represent air quality funding sources to support  
9 school districts in cleaning up their school bus fleet,  
10 including advancing technology.

11 The chart shows the potential funding sources and  
12 breaks down the amount of funding for each source, the  
13 project's types that the source will fund, and indicates  
14 if the funding source is designated only for school bus  
15 projects.

16 While each of these funding sources can be used  
17 to clean up school buses, each source has its own set of  
18 stipulations. Most of these sources fund more projects  
19 than just school buses, and school buses must compete  
20 against other priorities for funding.

21 I want to highlight the low carbon transportation  
22 investment funding, which is designed to promote clean  
23 transportation and reduce greenhouse gas emissions. In  
24 October of this year, \$10 million was approved for the  
25 Rural School Bus Pilot Project. This funding source



1 prioritizes funding for advanced technology replacements  
2 in small air districts, but will also fund conventional  
3 replacements.

4           Because advanced technology projects are  
5 prioritized, and because of the high cost of technology,  
6 fewer school buses will be funded through this source, but  
7 will contribute to advancing the school bus fleet into the  
8 future. This is the only source listed that is  
9 exclusively dedicated to school bus projects.

10           Next, I will highlight the Carl Moyer funding,  
11 which is used at the discretion of the local air  
12 districts. Approximately 10 percent of the Carl Moyer  
13 funding is dedicated to the State reserve. ARB staff is  
14 currently coordinating with CAPCOA to determine how to use  
15 this funding in the 2017-2018 fiscal year. School bus  
16 projects are one potential project category. And we heard  
17 at the workshop held in November that many school  
18 districts want to understand ways to combine the various  
19 funding sources available. We will be working with the  
20 air districts and partner State agencies to foster this  
21 knowledge where possible, because many of these programs  
22 allow for co-funding and leveraging opportunities.

23                           --o0o--

24           AIR POLLUTION SPECIALIST CHAMBERS: The next part  
25 of this presentation, we will discuss the priorities we

1 identified earlier. The top 5 percent of the school bus  
2 fleet is an immediate priority, and an additional 15  
3 percent is an upcoming priority that will require  
4 expeditious action over the next few years.

5 The minimum number of school buses listed in each  
6 category are estimates due to a portion of unknown data in  
7 our data set. These numbers may be higher than what is  
8 shown.

9 The estimated cleanup cost listed is based on  
10 conventional diesel replacements and PM filter retrofits,  
11 and does not take into account the use of advanced  
12 technology.

13 We will discuss each of these categories in more  
14 detail on the next 3 slides.

15 --o0o--

16 AIR POLLUTION SPECIALIST CHAMBERS: We'll start  
17 by discussing the immediate priority school buses. This  
18 category includes those school buses that are compliant  
19 under the truck and bus regulation, but have received  
20 extensions, and therefore do not have PM exhaust filters  
21 installed.

22 This category includes those buses that have  
23 received an extension for either a recalled PM exhaust  
24 filter, and are currently awaiting the replacement filter  
25 substrate, and those buses in which there is no PM filter

1 technology available.

2           The filter recall extension will expire August 1,  
3 2017, and the extension for no technology available  
4 willing expire January 1, 2018.

5           The timing makes this category a priority because  
6 once the extensions have expired, many of the State  
7 funding sources are no longer eligible due to legislative  
8 restrictions. For the school buses that had the recalled  
9 filter substrate, sufficient SEP funding is available to  
10 replace all the filters if the bus can accommodate a new  
11 retrofit.

12           However, due to physical restraints or exhaust  
13 characteristics, it is assumed that some buses cannot be  
14 retrofitted and those buses will need to be replaced. The  
15 total estimated cleanup cost includes the hire cost of  
16 replacing up to 50 percent of these buses.

17           The next steps include utilizing the existing  
18 school bus SEP, as well as encourage local air districts  
19 to prioritize and fund replacements of school buses that  
20 fall into this category.

21           For funding within ARB control, staff is looking  
22 for ways to frontload our expenditures to be able to  
23 replaces these school buses. There are various potential  
24 funding sources, but each have specific limitations and  
25 constraints on how and when the funding can be used.

1 Staff will continue to investigate all possible avenues to  
2 obtain the necessary funding in a timely manner.

3 --o0o--

4 AIR POLLUTION SPECIALIST CHAMBERS: We will  
5 continue the second category of immediate priority school  
6 buses that are currently out of compliance with the truck  
7 and bus regulation. The vast majority of school buses are  
8 in compliance with the truck and bus rule. However, our  
9 recent analysis indicates about two and a half percent are  
10 out of compliance.

11 This category includes a handful of pre-1977  
12 model year school buses, which had an earlier deadline to  
13 be replaced as of January 1, 2012, because these buses  
14 pre-date all federal safety standards for school buses.  
15 This category also includes buses that could be retrofit  
16 with a PM filter, but do not have one installed and have  
17 passed their compliance deadline of January 1, 2014.

18 The next steps for this category include working  
19 with local air districts and school districts to help  
20 bring them into compliance. The Enforcement Division is  
21 currently working with some school districts, some as a  
22 result of complaints from the public and will continue to  
23 work with non-compliant fleets to bring them into  
24 compliance.

25 --o0o--

1           AIR POLLUTION SPECIALIST CHAMBERS: Finally, we  
2 will discuss the upcoming school bus cleanup priorities.  
3 This category of buses are compliant under the truck and  
4 bus regulation, but are approaching the end of their  
5 useful life.

6           The different types of school buses included here  
7 fall into 3 subcategories. Some are filtered 1994 and  
8 older buses, others are low-use buses that operate less  
9 than 1,000 miles per year, and finally, some are  
10 unfiltered lighter diesel buses.

11           Because the low-use buses in this category are  
12 typically the oldest and dirtiest school buses in the  
13 fleet, we want to encourage the turnover of these buses as  
14 soon as possible. This category must be taken into  
15 account now, because it could take some time to secure the  
16 funding necessary. Next steps include supporting school  
17 transportation advocates to secure school bus funding  
18 moving forward, in order to continue to advance the  
19 California school bus fleet.

20   --o0o--

21           AIR POLLUTION SPECIALIST CHAMBERS: We must take  
22 into account the various challenges of cleaning up the  
23 school bus fleet. Overall, there is limited funding  
24 allocated to school transportation. Both school districts  
25 and air districts have multiple funding priorities. Air

1 districts cannot always prioritize school bus funding,  
2 because school buses are not usually the most cost  
3 effective projects.

4 In addition, not all air districts collect DMV  
5 fees. Therefore, local funding is not available for  
6 school bus projects in some districts. And because this  
7 SEP funding is variable from year to year, there is not a  
8 guaranteed amount each year for school bus cleanup. ARB  
9 has a limited role in influencing these challenges.

10 --o0o--

11 AIR POLLUTION SPECIALIST CHAMBERS: In terms of  
12 what ARB can do, it's clear that we need to focus on  
13 cleaning up the unfiltered school buses that staff  
14 designated as an immediate priority. These are the  
15 redesignate categories on the slides you saw earlier.

16 We plan to continue to educate school bus  
17 officials on the school bus requirements, funding  
18 opportunities, and ways to combine or leverage funds  
19 available, continue to support the school bus SEP moving  
20 forward, as well as continue enforcement of the school bus  
21 provision of the truck and bus regulation.

22 ARB staff will promote clean technology and  
23 support opportunities to foster peer-to-peer knowledge  
24 sharing of fleet experiences with advanced technology.  
25 And we will assess the demand and encourage future

1 allocations of local carbon transportation funding, such  
2 as through the rural school bus pilot project.

3 --o0o--

4 AIR POLLUTION SPECIALIST CHAMBERS: We know it's  
5 important to bring together all available resources to  
6 ensure clean transportation for the children of  
7 California, and working with our partners is critical in  
8 that effort. To that end, we plan to further refine our  
9 school bus inventory and share our findings with CAPCOA to  
10 determine appropriate funding opportunities. We will also  
11 encourage the designated lead agency of the VW mitigation  
12 funds to consider an allocation for clean school bus  
13 transportation.

14 And we plan to work with school transportation  
15 advocates to assist in efforts to secure school bus  
16 funding in the future.

17 We know that the school bus fleet will  
18 continuously need to be turned over and a sustained  
19 funding source for school bus transportation is the most  
20 ideal solution to address this issue. ARB staff are ready  
21 to help in any effort to establish more funding and are  
22 committed to cleaning up the California school bus fleet  
23 and make the fleet as clean as possible.

24 --o0o--

25 AIR POLLUTION SPECIALIST CHAMBERS: This

1 concludes the presentation, and we'd be happy to answer  
2 any questions that you have.

3 CHAIR NICHOLS: Thank you.

4 I think you've done a really good job of  
5 assessing the situation and giving us the background  
6 information that we had requested, but I want to disagree  
7 slightly with one of the comments that you made. And that  
8 is that I think ARB does have a role to play in  
9 prioritizing this particular topic, bringing attention to  
10 it, and upping the level of concern. It's one of those  
11 things that we're making progress, we're working, and I  
12 know you are doing a lot to reach out to others, and I'm  
13 sure we're going to hear from some people who come forward  
14 in a minute about both the opportunities and the  
15 challenges, but I think this is going to take a much more  
16 concerted effort to really get some place in a reasonable  
17 period of time. And I'm impatient.

18 (Laughter.)

19 CHAIR NICHOLS: I also think the only way to  
20 really accelerate the progress in a meaningful way is to  
21 set some targets, and come up with a plan for meeting  
22 them, including sort of identifying what's needed, and  
23 then trying to figure out a way to go after the funds.

24 So this is an area which I think was really  
25 brought home last June by our 2 newest Board members who



1 have a specific focus and background on environmental  
2 justice. Both of them had really raised the issue of  
3 whether we were doing enough in this area. And so I'd  
4 like to invite Dean Florez to just say a few words, at  
5 this point, if you would.

6 BOARD MEMBER FLOREZ: Yeah, thank you. I do.  
7 Great presentation, by the way, and good analysis.

8 I would say one of the things we need to do with  
9 this analysis is really find an opportunity with our  
10 government affairs person here to proactively ask the  
11 legislature to hold a hearing on this.

12 I think we have really uncovered a lot of good  
13 data. The reason I say that is I did, at some point, put  
14 in legislation for bus cleanup way back in the day when we  
15 thought traps was the answer. And, you know, the world  
16 has moved so quickly from that point.

17 And I do agree with the Chairwoman that given  
18 your slide on the aging scale of these, it's a much more  
19 comprehensive problem than trying to just fund a swath of  
20 these, and somehow think that we're not going to have to  
21 continue to fund.

22 And, of course, the point on your slide that says  
23 that some air district don't offer that opportunity of  
24 dollars, given DMV fees, is another thought process that  
25 the legislature should really tackle in trying to figure a

1 more holistic way to do this.

2 I know it's probably too late to get into the  
3 Governor's State of the State, but I would say that this  
4 would be a great thing for the Governor's office to  
5 consider and lead and the transportation folks as well,  
6 along with the air districts.

7 So I would say for the Volkswagen settlement  
8 dollars we were just talking about earlier, I would say  
9 that that should be some part of this, and some mix of  
10 this. I'm not sure what that is, but it certainly doesn't  
11 solve the comprehensive problem, as the Chairwoman said,  
12 of what we're going to be doing with an aging fleet going  
13 forward, till we turn these all the way over.

14 And I will say that one of the comments made  
15 earlier that would be transformative is clearly, I think,  
16 what Diane and I were talking about. And really, we were  
17 stirred to action because our Chairwoman said I'm shocked  
18 that we have so many buses on the road that way. And so  
19 we kind of sprung into action, along with obviously the  
20 other Board members, who all see this as a very big win.

21 So I would just hope we would spend a little  
22 time. I know I will spend a little time with the  
23 legislature trying to figure out what their ongoing  
24 program should be. I think they have to be part and  
25 parcel of the solution.

1           And I just want to thank staff for doing a really  
2 thorough job. This is very pretty but deep dive, I think,  
3 as we've gotten into the subject.

4           CHAIR NICHOLS: Thank you.

5           Dr. Balmes.

6           BOARD MEMBER BALMES: Well, I just want to  
7 compliment staff on really an extent deep dive, as Senator  
8 Florez mentioned. This is the kind of response that we  
9 like to see when we ask for more information. I mean,  
10 this is just comprehensive. A couple of things that came  
11 up in my briefing. In terms of dollars per ton, this is  
12 an expensive kind of remediation program. But when you  
13 factor in the health -- the potential health benefits and  
14 savings and health costs, I think the scale tips the other  
15 way sort of big time, because we're talking about kids  
16 here, and their lifetime -- their lifecycle with regard to  
17 disease risk, growth of lung function, as you highlighted  
18 in terms of the Children's Health Study data.

19           If lungs don't fully develop as they can, then  
20 kids are at greater risk as adults for suffering  
21 disability from lung diseases later on.

22           So I think, if we get kind of pushback with  
23 regard to moving forward aggressively with regard to  
24 school bus remediation, we -- because it's expensive, we  
25 should keep the health costs and health benefits in mind.

1           And then the second thing was, there's a slice of  
2 buses that are gasoline. And I know in one of the slides  
3 that's bunched in with cleaner vehicles, CNG, and -- yeah,  
4 there we go -- what is it, 15 percent are gasoline. And,  
5 you know, I know they're cleaner than diesel, but they're  
6 not clean, especially if they're older gasoline buses. So  
7 that's just another thing to keep in mind.

8           You know, diesel should be the target initially,  
9 but I'd like to see the gasoline buses go the way of all  
10 flesh as well.

11           (Laughter.)

12           CHAIR NICHOLS: Thanks.

13           Yes, Dr. Sperling.

14           BOARD MEMBER SPERLING: So I want to follow up on  
15 those two comments. And, you know, I did enjoy and  
16 appreciate the deep dive, but I'm going to suggest a  
17 little deeper dive. I think we need to bring a little --  
18 I mean, if we're going to -- if we're serious about this,  
19 we need to bring just a little bit more science to this.

20           And Dr. Balmes started down that path, but I  
21 think the first question is, you know, what percent of  
22 children are using school buses? And then, of those, are  
23 they disproportionately low income or not? I mean, is  
24 this even more of an EJ issue than we know or think?

25           CHAIR NICHOLS: That's fair.

1 BOARD MEMBER SPERLING: Number -- so that's the  
2 first question. The second one deals -- starts where Dr.  
3 Balmes was going and exposure levels. I mean, it would be  
4 good to understand a little bit. I know there's been a  
5 lot of research done. You know, what are the exposure  
6 levels, both inside the buses and outside the buses?

7 And that leads to that third question about cost  
8 effectiveness. And if, you know, conventional measures of  
9 cost effectiveness, as Dr. Balmes said, don't -- you know,  
10 are misleading, let's do some better way based on exposure  
11 and adjusted for age of the kids. And if it still comes  
12 out as not so cost effective, maybe we ought to be getting  
13 creative about finding some other solutions to this  
14 problem.

15 I mean, you know, replacing buses that go 1,000  
16 miles a year, I mean, that -- or retrofitting it, you  
17 know, there's probably a reason they only go 1,000 miles a  
18 year. And so maybe we need some more creative thinking  
19 about how to go about it.

20 CHAIR NICHOLS: One of the most difficult issues  
21 that I've been involved with in my time on the Air  
22 Resources Board, and that -- that covers a lot of  
23 territory is a situation where there was some church run  
24 after school program in Long Beach run by a minister who  
25 had gotten very creative about getting kids from the

1 neighborhood and bringing them in for a very good quality  
2 after-school program. And the reason why he came to our  
3 attention is because he was transporting these kids in  
4 buses that had been de-accessioned from other fleets,  
5 because they were too dirty and they didn't meet any  
6 standards at all. And he was hoping to get an exemption  
7 from us or for the -- from the legislature to be allowed  
8 to continue to use these buses, because that was all he  
9 could afford to do.

10           You'll be happy to know that the mists of time  
11 have covered the actual ending of the story. I think we  
12 ended up giving him more time to solve this problem, and  
13 also work to try to help get him funding to get better  
14 buses, which is really what the answer was in the long  
15 run. I mean, I can help but think that with some of these  
16 that there are foundations out there, and charitable  
17 organizations that, if we were to help start this ball  
18 rolling and really identify the targets, would, you know,  
19 come in and buy a cleaner bus for people. It wouldn't all  
20 have to be done with Moyer funds or something like that.

21           Supervisor Gioia, you had your hand up.

22           BOARD MEMBER GIOIA: So just a question/comment.  
23 And I appreciate when I got some briefing on this in  
24 the -- before from the staff. I asked whether what we  
25 looked at were sort of dedicated bus fleets or fleets that

1 are under contract to school districts. And that's what  
2 this includes.

3 BOARD MEMBER SHERRIFFS: Uber buses.

4 BOARD MEMBER GIOIA: Pardon?

5 BOARD MEMBER SHERRIFFS: Uber buses.

6 BOARD MEMBER GIOIA: Right, uber. Those special  
7 buses.

8 (Laughter.)

9 BOARD MEMBER GIOIA: In many areas around the  
10 state, especially in urban areas, school bus service is  
11 really sometimes part of a fixed route service or other  
12 service by the local provider. And I know -- so this  
13 didn't really look at that fleet, as I understand it.

14 And many of those urban areas have bus systems  
15 that are, you know, high quality buses, and less polluting  
16 and all of that, but some don't, and it may be -- you  
17 know, and I'm less familiar with them. I'm familiar with  
18 the ones in the Bay Area. So how do we sort of get a  
19 handle and look at those school bus services that are  
20 provided by a -- by some type of bus agency that's not  
21 covered here. And are there any gaps there?

22 So do we -- how do we understand that area,  
23 because there's a lot of -- I mean, potentially there's a  
24 lot of kids in this State that do, you know, the districts  
25 don't have regular school buses like this. So how do we

1 look at those and understand where the gaps may exist  
2 there, and how do we help fund? Because I think those  
3 kids should not be at a disadvantage.

4 And, you know, we've heard so much from transit  
5 agencies the struggle to keep transit service. And so the  
6 extra cost of getting new zero emission buses or lower  
7 polluting buses is important, but it's costly. So how do  
8 we address that?

9 MOBILE SOURCE CONTROL DIVISION CHIEF KITOWSKI:

10 Yeah, I'm -- I think that's a really good point.  
11 And this goes along with the point that Dr. Sperling made.  
12 We did, maybe what you want to call is, the first level  
13 deep dive, but there are so many layers to this that are  
14 interesting and worth pursuing.

15 We've started a greater coordination with some of  
16 the school bus associations. And I think coming out of  
17 that is not only what we focused on today, a  
18 prioritization of where some of that initial funding  
19 should go, because we can clearly identify dirtier buses,  
20 but what does the future of school bus transportation look  
21 like? One of the areas that clearly came out of this is  
22 we may be able to come up with a solution to address that  
23 sort of immediate knead and catch up, if you will, but  
24 sustained funding is what's absolutely essential.

25 What does sustained funding look like, and how



1 does it address the broader school bus program? And it's  
2 one of those areas we'll have to have on our list to  
3 tackle.

4 BOARD MEMBER GIOIA: All right. So what's the  
5 plan to actually look at that?

6 MOBILE SOURCE CONTROL DIVISION CHIEF KITOWSKI:

7 Well, I think the plan is for us to have it on  
8 our list when we talk to the school bus associations and  
9 understand what is being done in this area. At this  
10 point, I don't --

11 BOARD MEMBER GIOIA: Or in talking with other bus  
12 agencies where you may not have a -- I don't know if  
13 they're part of -- like in the East Bay, AC Transit for  
14 example provides a lot of bus service. I don't know if  
15 they're part of a school bus association or not. So  
16 working through the normal transit associations as well.

17 MOBILE SOURCE CONTROL DIVISION CHIEF KITOWSKI:

18 We will do that.

19 BOARD MEMBER GIOIA: Right. Thanks.

20 CHAIR NICHOLS: Yes.

21 BOARD MEMBER SHERRIFFS: Yeah, and I would just  
22 add it's great to hear -- we do need to dig even deeper in  
23 terms of the science. I think anecdotally, because I  
24 guess I'm here doing penance for my youngest daughter, who  
25 has asthma, and hated, hated riding in the school bus, and

1 also got headaches, and did not participate in some  
2 things, if she was going to have to ride on the school  
3 bus.

4 So it's a little hard to measure those kinds of  
5 things, but we do need to understand better the population  
6 that's using them, the direct as well as the indirect  
7 effects in order to build that coalition. And I'm glad  
8 that Senator Florez thinks --

9 CHAIR NICHOLS: What's your daughter's name?

10 BOARD MEMBER SHERRIFFS: -- we have that  
11 coalition in the legislature.

12 CHAIR NICHOLS: What's your daughter's -- what's  
13 your daughter's name?

14 BOARD MEMBER SHERRIFFS: What's her name?

15 CHAIR NICHOLS: Uh-huh.

16 BOARD MEMBER SHERRIFFS: Sarah.

17 CHAIR NICHOLS: Okay. So we call it Sarah's law.

18 (Laughter.)

19 CHAIR NICHOLS: And we use her picture.

20 BOARD MEMBER SHERRIFFS: She'll be thrilled.

21 With an H. With an H.

22 (Laughter.)

23 CHAIR NICHOLS: Well, no, I'm teasing a little  
24 bit, but I do think that, you know, there's a -- there  
25 really is a human element to this. It's not just all

1 about statistics. And you're right, we need to find  
2 better measures of cost effectiveness as one of the  
3 outcomes of this project. So this again was an  
4 informational item, but it's an opportunity.

5 I'm sorry, one more -- two more actually. Just  
6 one. Okay.

7 BOARD MEMBER FLOREZ: I just have an additional  
8 request on the data --

9 CHAIR NICHOLS: Okay.

10 BOARD MEMBER FLOREZ: -- that Dr. Sperling had  
11 mentioned. One, and I can say this with maybe 14 years  
12 of -- I don't think we've ever had this deep of a dive on  
13 school buses, so I really, truly a believer in this  
14 particular cause. So I want to say going deeper, as Dr.  
15 Sperling mentioned, is absolutely vital. The deeper you  
16 can go and the more data sets you can provide, and the  
17 more data, I would just hope that we have an opportunity  
18 to have that at a legislative forum for policymakers who  
19 are going to be part and parcel of this on a non-bill, not  
20 a vote, not yes or no, not 10 minutes, but a proactive  
21 discussion about the State of the State of where the  
22 California Air Resources Board sees school buses going.

23 And I think it's a great opportunity for our  
24 board to interact with the legislature on an issue we've  
25 done a lot of research on, which I think they would be

1 very appreciative. So, one, I would hope we do that. I  
2 would also say Dr. Sperling's point -- I get back to what  
3 I was thinking about -- on those issues of EJ, I would  
4 start for every district that has a school -- a free  
5 school lunch program as kind of, you know, exactly where  
6 one might look at in terms of the ages of those particular  
7 buses. That always kind of leads me to a conclusion that  
8 sometimes I think is going to be correct, but sometimes  
9 isn't.

10 So I think Dr. Sperling is correct. I mean, my  
11 assumption would be all those free school lunch programs  
12 are devoid of, you know, any sort of good school bus, but  
13 you might be surprised. And so I'd like to hopefully be  
14 surprised once you dig into that data set.

15 CHAIR NICHOLS: Thank you.

16 Dr. Balmes.

17 BOARD MEMBER BALMES: Just one last point. I  
18 totally agree with Professor Sperling's desire to have  
19 more data. Again, it's one of the things I like about our  
20 agency is that we're data driven. I would say that --  
21 that we do have information, which staff alluded to about  
22 exposures. You were asking for more exposure data. We  
23 know exposures on diesel -- old diesel buses it's bad.  
24 This agency has commissioned reports in this regard. And  
25 there have been independent studies from other groups as

1 well.

2           So I don't think we need a whole lot on exposure  
3 data in terms of old diesel buses. But how they're used  
4 is another story.

5           CHAIR NICHOLS: Okay. Thank you. We do have 6  
6 people who actually said they wanted to speak to us on  
7 this topic. So if you want to come down, please, and  
8 we're -- we are being a bit slow this morning, but we  
9 welcome your comments as well.

10           MR. CHAVEZ: Honorable Board and staff, thank you  
11 for giving me the change to speak today.

12           I had something prepared. Well, first of all,  
13 I'm here on behalf of the School Transportation Coalition  
14 and the California Association of School Transportation  
15 Officials.

16           I just wanted to thank the staff for their work  
17 in putting together this study, and taking this deep dive  
18 into where school transportation fleet is today. And so  
19 going off the Board discussion on the question of the  
20 disadvantaged students and their -- how much they ride the  
21 buses, we've tried to put together studies -- statewide  
22 studies on figuring that out, but it's really hit or miss  
23 on getting that information from districts.

24           But one thing I have talked to on an anecdotal  
25 level from different districts is that the majority -- or

1 there's a higher rate of students disadvantaged who do  
2 ride those buses to school for, and other, anecdotal  
3 reasons as they tend to have parents who have work early  
4 in the morning, they can't take their kid to school. If  
5 there is a car in the family, that might be used. There's  
6 not two cars. Whereas, other more privileged families  
7 have the opportunity of taking their student off the bus  
8 and taking them to school, if there are some more  
9 emissions or other issues with the bus.

10           With that, I also wanted to just -- we just  
11 appreciate the information compiled in this presentation,  
12 and just putting all the information together on the  
13 existing funding sources, the cost of retrofits and  
14 replacement, and the breakdown of the current priority.  
15 That was -- that's very valuable for districts as there --  
16 it helps them in their interest in addressing their own  
17 fleet needs.

18           I also applaud the staff in capturing the issues  
19 that the school transportation official face in addressing  
20 their feet -- fleet within the context of the competent --  
21 competitive underfunded school district budget. Many  
22 times school districts are unaware of the information  
23 contained in this presentation. And if they do, and they  
24 are aware of the funding sources, they can lose out to  
25 other interested industries when they're trying to apply

1 for these funding sources.

2           So with that, we just encourage more specific  
3 funding sources for school districts, so they can  
4 competitively get those -- funding.

5           So with that, we just -- we just want to  
6 underscore the amount of resources that the staff put in  
7 to outreaching to the different school district fleet  
8 providers, and getting all that information together.  
9 They had a lot of calls, a lot of emails going out, just  
10 constant meeting with us, and making sure that everything  
11 was going as planned, and we were getting to the bottom of  
12 it.

13           With that, I just -- words can't express the full  
14 gratitude of the transportation community -- school  
15 transportation community, and the amount of focus and --  
16 and in this investigation on school transportation in  
17 California.

18           With that, thank you.

19           CHAIR NICHOLS: Thank you. Thanks for being so  
20 responsive.

21           MR. ESSEX: Good morning, Chair Nichols, Board  
22 members and staff. I'm Matt Essex with A-Z Bus Sales and  
23 we're out of Colton in our Sacramento location here.

24           One question before I go into my prepared notes  
25 is to answer Dr. Sperling. One hundred percent of every

1 special needs child in this State is entitled to a ride to  
2 school.

3           Again, I don't know what that is in EJ, but, you  
4 know, that's a huge figure for our most fragile kids is  
5 they are all entitled. And I guarantee you there's a lot  
6 of old buses out there.

7           So Nico talked about the funding programs for  
8 school districts. And I can assure you they appreciate  
9 the funding for clean air school buses, especially since  
10 2008. They also look forward to continuing this  
11 partnership with ARB to help clean up the air for kids.

12           Private school bus contractors transport a  
13 significant percentage of our kids as well, probably about  
14 25 to 30 percent of them statewide. So that's around six  
15 to seven thousand buses out of the 25,400 that staff had  
16 talked about.

17           And a good proportion of those children are  
18 special needs, the ones we're just talking about. So  
19 right now there are no funding programs for private  
20 contractors, but history has shown a very large fleet in  
21 Southern California went from 0 to 30 percent using  
22 propane school buses, using a combination of differential  
23 and incentive funding provided by the local air district.

24           So we hope that the ARB can either help address  
25 this private contractor funding gap, either with funding



1 or helping to fund -- helping to leverage funding from  
2 other sources. Also, we know fuel neutrality is an ARB  
3 policy that gets us to our clean air goals faster. 2017  
4 is going to see engines in production school buses that  
5 cert to the optional standards below 0.2 NOx today.

6           There are also funding projects in discussion to  
7 get even more school bus engines to cert all the way down  
8 to the 0.02 NOx level. Combining those 0.02 NOx engines  
9 with renewable fuels is going to help school buses -- or  
10 help school buses have fuel options other than electric to  
11 get to zero and near zero in the short term.

12           We continue to support the ARB and the clean air  
13 goals of the State. And thank you all for your time.

14           CHAIR NICHOLS: Thank you.

15           MS. VAZQUEZ: Good morning, Chair and Board  
16 members. My name is Diana Vazquez. I'm here on behalf of  
17 Sierra Club California, and just really trying to  
18 emphasize what we have talked about in the first segment  
19 is how do we actually invest these monies in a  
20 transformative way. And this is a perfect opportunity for  
21 these monies.

22           And I really want to repeat comments that were  
23 done by Dan Sterling[sic] and also Senator Florez is we  
24 need more data to really see where is the problems, and  
25 how we can actually help our more disadvantaged school

1 districts. And I'm really glad to hear the collaborative  
2 approach that CARB and the local air districts are working  
3 with the school districts. Been hearing a lot of lack of  
4 information, lack of access to the school districts. A  
5 lot of school districts are not thinking school buses,  
6 they're thinking other issues. But how do we help them to  
7 really elevate this measure.

8 And really, the comment that Chair Nichols  
9 mentioned is how do we actually start putting benchmarks.  
10 And just to give an overall view is we have been working  
11 with another coalition on advanced clean transit rule.

12 We -- the bus fleet in the school sector is  
13 double to the public transit fleet. And just to get  
14 something more -- just put it really in context is we're  
15 thinking -- we're really thinking about 25,000 buses. And  
16 then in the public sector we have 10,000 buses. So we can  
17 do it right in this sector. The rest of the sector is  
18 going to follow, and really looking at how do we actually  
19 leverage what we have right now to really establish  
20 something that's effective, because a lot of these schools  
21 are really depending on these buses.

22 But also, too, a lot of these school districts  
23 also contract these school buses for other means. So  
24 really looking at what are those other potential avenues  
25 that these school buses are actually getting into, because

1 the school district uses these buses as revenue. They  
2 actually contract with other third-party vendors. So just  
3 putting that in context and actually trying to get more  
4 information on how these buses are being used and what are  
5 the other forms that these buses are being used, other  
6 than the school districts.

7 Thank you.

8 CHAIR NICHOLS:

9 MS. ALAFIA: Good morning. My name is Joy  
10 Alafia. And I'm with the Western Propane Gas Association.  
11 Thank you for this opportunity to speak with you and for  
12 all the work that staff has done. I really appreciate it.  
13 And some of the information was enlightening even for us  
14 at our association.

15 I just want to highlight a couple of things about  
16 propane, and frankly where we are today, where we plan to  
17 be mid-term, and where we're looking to be long term  
18 post-2030, 2050, and how it aligns with some initiatives  
19 that you have at CARB.

20 So as was presented in the slides, propane has a  
21 very significant 6 percent market share of school buses.  
22 And it's in part because of the cost, but it's also  
23 because of lower greenhouse gas emissions, NOx emissions,  
24 particulate matter particularly when looking at -- at  
25 diesel.

1           And they also run quieter. We're heard from a  
2 lot of school bus drivers that they like the fact that  
3 they don't hear the loud roar. Instead, they're able to  
4 focus on the kids on their buses.

5           Near term, as was mentioned earlier, we're  
6 looking and pushing for some of the low NOx certification,  
7 so 0.05, very soon, and then 0.02. We're also, as an  
8 association, looking at -- this is a brand new thing for  
9 us as an association, but hybrid technology, plug-in  
10 hybrid opportunities with propane and electric.

11           Long term, we've committed to investing in  
12 renewables as well. We're looking at opportunities for  
13 biopropane. The National Renewable Energy Lab has  
14 produced a White Paper, and we plan to explore that even  
15 further. Biopropane is produced in the Netherlands, and  
16 we would like to make that commercially viable here in  
17 California.

18           So with that, I just wanted to paint the  
19 landscape of where propane is today and where we plan to  
20 be in the future, and hopes that we are eligible for  
21 continued support and funding from CARB.

22           Thank you.

23           CHAIR NICHOLS: Thanks for the update.

24           MR. JATKAR: Hi. Good morning, Chair Nichols and  
25 members of the Board. Shrayas Jatkar with Coalition for

1 Clean Air. I first wanted to thank the Board for  
2 elevating this issue back in June and directing staff to  
3 come back and share more information, and address the  
4 problem of school buses that continue to pollute at high  
5 levels -- at unacceptably high levels. And I want to  
6 thank the staff for the November workshop and involving  
7 the public and helping to figure out how we can overcome  
8 some of the challenges such as insufficient data, lack of  
9 funding, and look forward to continuing that discussion.

10 A couple of comments that I'll make. First is  
11 support what Chair Nichols had said about setting goals  
12 and a timeline for addressing this population of the  
13 dirtiest school buses. So while we do need more data, it  
14 is data, I think, to support that effort to create a good  
15 plan and identify good targets of the school buses that  
16 need to be cleaned up.

17 Second, is in terms of the criteria of how we  
18 prioritize this cleanup. It sort of perhaps goes without  
19 saying that, you know, looking at the emissions is most  
20 important as the place to start. And what we heard today  
21 is that not only looking at the age of the buses, but  
22 there's many factors because of how buses are used, so  
23 looking at mileage as well is very important, and thinking  
24 about how those buses are used.

25 I appreciate the comments about environmental

1 justice and disadvantaged communities. We think that it's  
2 appropriate to include that as part of the criteria of how  
3 these -- this cleanup is prioritized. And at the same  
4 Board meeting in June we heard that ARB's research showed  
5 that we have been effective at targeting cleanup in  
6 environmental justice communities. And we're achieving  
7 greater reductions in air pollutants in those EJ  
8 communities compared to non-EJ communities. Of course,  
9 pollution remains too high and greater in those EJ  
10 communities.

11 And then the last point is one that many of us  
12 have been talking about and I'm trying to figure out a  
13 different word than transformative or transformational,  
14 but it really is, I think, a good word to use here. But I  
15 would also just remind all of us that we support the State  
16 strategy to pursue zero emission technologies everywhere  
17 feasible. And near zero with low carbon renewable fuels  
18 everywhere else.

19 We think school buses, like transit, are ripe for  
20 electrification and that transformational change here is  
21 also moving towards replacement with zero emission buses.  
22 And, of course, we heard that there's a \$7 million grant,  
23 3 school districts in the Sacramento area. We should  
24 learn the lessons of that grant program to support greater  
25 and more widespread electrification of our school buses.

1           And lastly, I would just say that we should also  
2 think about other pilots that we could pursue in this  
3 area, such as vehicle-to-grid integration. These school  
4 buses are largely sitting idle for a lot of the time  
5 during the day, and there's more to be done perhaps on the  
6 sort of energy storage and vehicle to grid integration  
7 side. So thank you.

8           CHAIR NICHOLS: Great.

9           MS. NAGRANI: I'm Urvi Nagrani from Motiv Power  
10 Systems. And I wanted to thank you for bringing up this  
11 topic and having a good starting point to kind of delve  
12 into the data. There are a few key points, which I wanted  
13 to address in terms of how we can have more comprehensive  
14 data and analysis, beginning with how we talk about costs.  
15 When we were looking at the slide, which had the least  
16 expensive to most expensive solutions, that was upfront  
17 capital costs, specifically, and that did not include any  
18 of the operational costs, any of the maintenance costs,  
19 any of the long-term funding you would need to actually  
20 implement a solution.

21           This is very important, because if you're talking  
22 about, for example, a Class A school bus, you're looking  
23 at about \$0.67 to \$0.80 per mile cost of operation between  
24 your fuel, your maintenance, and ongoing work.

25           Meanwhile, with an electric, you're looking at

1 somewhere between \$0.07 to \$0.14. Now, that upfront  
2 capital cost looks like a huge barrier to entry, if you  
3 only see it as one cost as opposed to part of a total cost  
4 of an ownership model.

5 Now, that also has very different impacts for a  
6 school bus fleet that is managed by the school district,  
7 and has all of their operational costs in-house versus a  
8 private fleet, which might have access to private capital  
9 markets. So when we're looking at what is the cost and  
10 how can we act in that space, we have to keep in mind the  
11 financial constraints of who is operating the vehicle and  
12 how that impacts a deployment schedule.

13 And next point would be that specifically also  
14 you mentioned a large pool of funding, you showed some of  
15 the various areas that are both school bus specific and  
16 not. And I think there's a very key thing of while  
17 funding pools exist, the diversity of funding, the  
18 different constraints, and the different timelines create  
19 a knowledge barrier that makes it harder for school  
20 districts who don't have designated staff to chase after  
21 these monies to actually access them.

22 An easy first-come first-served approach that  
23 aligns with the school year helps fleets invest in a  
24 simple easily manageable way. If there are grants that  
25 the timeline kick-off, for example, with the recent CARB



1 grants for the City of Sacramento, and how that school bus  
2 deployment is going to work with Elk Grove and Twin  
3 Rivers, the delay in GGRF funds meant that we had to  
4 change the timelines. And the fact of the matter is all  
5 of those delays change whether or not a school bus goes  
6 into service at the beginning of the year. It impacts  
7 whether or not drivers are getting trained before the  
8 school year starts.

9           And when we're talking about a school district  
10 where your first goal is always going to be getting your  
11 kids to school. We have to be aware that we cannot add  
12 additional barriers to meeting that mission need.

13           And then lastly, I just wanted to caution you  
14 about using vehicle miles traveled as your key metric for  
15 usage. And the reason for that is a school district is  
16 going to put out however many buses they have to put out  
17 to get their kids to and from class. And one route might  
18 be many miles away and just do a few stops, and others  
19 might be doing a series of stops --

20           CHAIR NICHOLS: That's your time.

21           MS. NAGRANI: So hours of usage would be more  
22 appropriate. Thank you very much for your time.

23           CHAIR NICHOLS: Thank you. That was a very  
24 substantive presentation. And your comments about the way  
25 to calculate costs were very valid -- valuable. And I

1 think we will fold that into the thinking. So thank you.

2 We don't have any other witnesses signed up on  
3 this item. I don't think we need to say much more, other  
4 than to ask the staff to go back and pursue this item  
5 further.

6 BOARD MEMBER GIOIA: Can I -- Can I just add one  
7 more thing? Yes, one more comment after listening.

8 CHAIR NICHOLS: Go ahead.

9 BOARD MEMBER GIOIA: Thanks. I've spent a lot of  
10 time over the last 18 years working with local -- our  
11 local school district on transportation -- school  
12 transportation issues as a member of the Board of  
13 Supervisors and so, I've seen this problem firsthand for a  
14 long time.

15 And, you know, in the context mostly of a public  
16 system where there's public agency -- public transit  
17 agencies, but sometimes contracted services. And the  
18 message I hear over and over again, and I just want to  
19 amplify this is that this is a huge cost issue for  
20 schools. In fact, we worked on a program in the East Bay  
21 that developed free school bus funding for every kid in  
22 the school district on free or reduced lunch in a high  
23 school, in West Contra Costa. And then we funded it  
24 through a transportation sales tax.

25 And we heard over and over from school districts

1 about this challenge. So I just think it's really  
2 important to not put an extra cost burden on the school  
3 districts, who are already facing trying -- get students  
4 to school. We fund, even on our social service  
5 department, kids from low income families were having  
6 trouble paying for -- this is why did -- tried to do free  
7 bus service, pay for a bus to get to school, in missed  
8 school days.

9 So I just want to ensure that we're not doing  
10 something to force the school district to absorb a cost.  
11 Everything is a cost benefit, right? I mean, getting kids  
12 to school is their highest priority, and after-school  
13 programs, that was the other issue.

14 So I just want to just amplify that, and I  
15 appreciate hearing from folks from districts. And again,  
16 not to leave out those districts that have other school  
17 buses that aren't through the typical arrangements that we  
18 saw in this study.

19 CHAIR NICHOLS: Thanks. That's a useful  
20 perspective.

21 BOARD MEMBER SHERRIFFS: Can I? I'm sorry.

22 CHAIR NICHOLS: Did you want -- yes, please.

23 BOARD MEMBER SHERRIFFS: Just a couple. One,  
24 following up on that. Thinking about some of our  
25 revisitation and success with the truck and bus rule

1 thinking about capital costs and finding loan money, so  
2 that there are other solutions and other agencies that we  
3 need to look to to help with this problem.

4           And I just -- earlier discussions about how we're  
5 not very good communicators with the public. Well, a  
6 school bus emblazoned with, you know, low NOx, battery  
7 repowered, this is incredible advertising, an incredible  
8 way to tell the public that these technologies work. And  
9 I think they create pride in communities when people see  
10 these things, so that -- that's an important benefit that  
11 we need to think about as we move on these, is the  
12 advertising that -- the dollars that we gain.

13           CHAIR NICHOLS: Free advertising on buses.

14           Yes. Okay. Thanks. Does that conclude this?

15           Yes, it does okay. Let's take a short break for  
16 the court reporter, and everybody else to have a stretch  
17 and the staff to change places. And just come back in 10  
18 minutes. Yeah, 10 minutes.

19           Thanks.

20           (Off record: 11:53 a.m.)

21           (Thereupon a recess was taken.)

22           (On record: 12:06 p.m.)

23           CHAIR NICHOLS: Okay. We're back in business.

24           Our next item is an update on the Supplemental  
25 Environmental Projects work that's been going on here at

1 the Board. This is another informational item, and it's  
2 from the Enforcement Division, which has been revising its  
3 policies on SEPs, as they call them, consistent with a new  
4 law that was passed in 2015.

5 Supplemental Environmental Projects, or SEPs, are  
6 intended to be environmentally beneficial projects that a  
7 person or an entity subject to an enforcement action can  
8 agree to undertake voluntarily as part of a settlement of  
9 the action and is a way to offset some portion of a civil  
10 penalty.

11 In late 2015, the legislature passed and the  
12 Governor signed AB 1071, which directed agencies within  
13 CalEPA to adopt a policy allowing the amount of a SEP to  
14 be up to 50 percent of the Enforcement Action. AB 1071  
15 also required ARB to implement a public process to develop  
16 a SEP policy that benefits disadvantaged communities and  
17 to consider the relationship between the location of a  
18 violation and the location of the SEP.

19 Finally, AB 1071 requires ARB to make a list of  
20 eligible SEPs available to the public. So this is an  
21 update on the staff's work on this project.

22 And, Mr. Corey, would you introduce this item,  
23 please?

24 EXECUTIVE OFFICER COREY: Yes. Thanks, Chair  
25 Nichols. So for the past 5 months, staff has held 14

1 workshops in 8 disadvantaged communities across the State  
2 soliciting input from community members and stakeholders  
3 to help formulate revisions to our Supplemental  
4 Environmental Projects policy. The revised policy we're  
5 presenting to you today describes the types of eligible  
6 SEP projects, preference criteria for prioritizing SEPs  
7 necessary and different ways in which SEPs may be funded.

8 We believe the proposed policy meets both the  
9 intent of AB 1071, and will lead to the funding of  
10 projects that will make a significant difference in  
11 disadvantaged communities. We'll also be presenting a  
12 list of eligible SEP proposals compiled from community  
13 members and stakeholders in disadvantaged communities.

14 Now, I'd like to introduce Michelle Shultz Wood  
15 who will begin the staff presentation.

16 Michelle.

17 (Thereupon and overhead presentation was  
18 presented as follows.)

19 AIR POLLUTION SPECIALIST SHULTZ WOOD: Thank you,  
20 Mr. Corey. And, good morning, Chair Nichols and members  
21 of the Board.

22 Today, I'll present staff's proposed Supplemental  
23 Environmental Projects policy, which updates ARB's current  
24 SEP policy to incorporate the requirements of AB 1071  
25 signed into law last year.

1           In addition to the policy, I will discuss the  
2 proposed SEP process, the responsibilities of a SEP  
3 administrator, and summarize the types of proposals that  
4 we have received to date.

5           We are looking for your input today on the  
6 proposed policy and the implementation process. With that  
7 input, we will move forward, finalize the policy, and  
8 implement our new process.

9                           --o0o--

10           AIR POLLUTION SPECIALIST SHULTZ WOOD: This slide  
11 provides an outline of what we will be discussing today.  
12 I will start with an introduction.

13                           --o0o--

14           AIR POLLUTION SPECIALIST SHULTZ WOOD: Our goal  
15 is to achieve compliance. We identify violations and work  
16 to reach a mutual settlement with the violator to resolve  
17 the case. Through the settlement process, we obtain  
18 compliance, assess penalties, and in many cases work with  
19 the violator to offset a portion of their penalty with a  
20 Supplemental Environmental Project, or SEP.

21                           --o0o--

22           AIR POLLUTION SPECIALIST SHULTZ WOOD: The  
23 California Public Resources Code defines a SEP as an  
24 environmentally beneficial project that a person subject  
25 to an enforcement action voluntarily agrees to undertake

1 in settlement of the action and to offset a portion of  
2 their civil penalty.

3 --o0o--

4 AIR POLLUTION SPECIALIST SHULTZ WOOD: Penalty  
5 money offset to SEPs within a given year will vary, based  
6 on the cases that are settled each year and the associated  
7 penalties. Because of AB 1071, and because we expect that  
8 many violators will choose to implement a SEP through the  
9 new proposed process, we expect SEP funding to be between  
10 \$1 million and \$5 million per year.

11 --o0o--

12 AIR POLLUTION SPECIALIST SHULTZ WOOD: The  
13 proposed SEP policy includes all of the following  
14 components specifically required by AB 1071:

15 A public process to solicit potential SEPs from  
16 disadvantaged communities; an increase in the maximum  
17 percentage of a penalty which a SEP may offset from 25  
18 percent to 50 percent; a new requirement to keep a list of  
19 approved SEPs that may be selected to settle a portion of  
20 an enforcement action and to provide that list to Cal EPA  
21 annually. The first list of SEP proposals will be sent to  
22 CalEPA this month. And, consideration of the relationship  
23 between the location of the violation and the location of  
24 the proposed SEP with a focus on projects in disadvantaged  
25 communities.



1                   --o0o--

2                   AIR POLLUTION SPECIALIST SHULTZ WOOD: Our goal  
3 today is to get your feedback on our proposed approach,  
4 including SEP selection and preference criteria. With  
5 your input and with input through our ongoing public  
6 process, we would implement the new policy.

7                   --o0o--

8                   AIR POLLUTION SPECIALIST SHULTZ WOOD: I will now  
9 talk about current Supplemental Environmental Projects.

10                  --o0o--

11                  AIR POLLUTION SPECIALIST SHULTZ WOOD: ARB  
12 currently funds 3 SEPs. They are: The California Council  
13 on Diesel Education and Technology, or CCDET, the School  
14 Bus and Diesel Emission Reduction Fund, and the Foundation  
15 for California Community Colleges Small Engine Maintenance  
16 and Repair Courses.

17                  --o0o--

18                  AIR POLLUTION SPECIALIST SHULTZ WOOD: The CCDET  
19 SEP was established in 2005 to support development and  
20 implementation of ARB's Heavy-Duty Vehicle Inspection  
21 Program and the Periodic Smoke Inspection Program through  
22 certifying opacity testers and diesel mechanics.

23                  Today, it is a consortium of 6 community colleges  
24 that trains the next generation of diesel mechanics to  
25 maintain new technology diesel engines and vehicles.

1 Funding allows colleges to purchase engines, vehicles,  
2 software, and other materials for training purposes where  
3 they would not otherwise be able to do so.

4           These types of vocational programs have high  
5 expenses per student, and the SEP helps ensure robust  
6 training programs.

7           CCDET also certifies opacity testers for  
8 conducting tests consistent with cargo handling equipment  
9 regulations. These tests help ensure engine and  
10 after-treatment systems terms are functioning properly.

11           Finally, CCDET trains violators to comply with  
12 opacity requirements and conducts special projects,  
13 including the development of outreach materials for truck  
14 owners, operators, and mechanics on the importance of  
15 preventive maintenance.

16                           --o0o--

17           AIR POLLUTION SPECIALIST SHULTZ WOOD: The School  
18 Bus and Diesel Emission Reduction SEP was created in 2011  
19 to fund replacement filters for recalled Cleaire retrofit  
20 systems. Sufficient funding has now been collected to  
21 implement the replacement program. And this work is  
22 ongoing. The SEP also allows funding for vehicle  
23 replacements that go above and beyond regulatory  
24 requirements.

25           As discussed in the last item, significant

1 funding for school buses is needed. And while this SEP is  
2 helpful, SEP funds will not be sufficient by themselves to  
3 upgrade the school -- the statewide school bus fleet.

4 School buses have been regulated through the Truck and Bus  
5 Rule since that rule was first adopted. Staff has  
6 successfully closed enforcement cases against school  
7 districts, which failed to meet regulatory requirements

8 Funding and enforcement efforts can work together  
9 to solve the school bus problem and protect children from  
10 exposure to diesel exhaust.

11 --o0o--

12 AIR POLLUTION SPECIALIST SHULTZ WOOD: ARB  
13 enforces the small off-road engine regulation and has  
14 settled numerous cases. Many of the companies involved in  
15 those settlements expressed interest in a SEP, but there  
16 was not an appropriate SEP with a nexus to small off-road  
17 engine settlements.

18 As a result, the Small Engine Maintenance and  
19 Repair Training SEP was established in 2014. The SEP is  
20 implemented through the Foundation for Community  
21 Colleges -- California Community Colleges, and fulfills  
22 the need to train future mechanics in the diagnosis and  
23 repair of small engines.

24 --o0o--

25 AIR POLLUTION SPECIALIST SHULTZ WOOD: Next, I

1 will talk about community engagement.

2 --o0o--

3 AIR POLLUTION SPECIALIST SHULTZ WOOD: As we  
4 develop the updated SEP policy, we worked closely with  
5 residents and representatives disadvantaged communities.  
6 For the past year, we have dedicated staff to attend  
7 monthly Environmental Justice Taks Force meetings across  
8 the State to get an understanding of the enforcement  
9 issues within these communities, and to work through the  
10 task force to solve community issues. We used these  
11 meetings to get input on policy development.

12 In addition, we held 2 series of workshops to get  
13 input on project proposals and the updated SEP policy,  
14 including a total of 14 workshops in 8 locations, all of  
15 which had translation services provided. Our goal was to  
16 get as much input from disadvantaged communities as  
17 possible.

18 --o0o--

19 AIR POLLUTION SPECIALIST SHULTZ WOOD: This  
20 section describes our proposed SEP policy.

21 --o0o--

22 AIR POLLUTION SPECIALIST SHULTZ WOOD: Our  
23 proposed SEP policy implements AB 1071. Implementing the  
24 policy will require a sustained commitment to a public  
25 process and a partnership with disadvantaged communities

1 to identify project proposals for funding. Under the  
2 policy, we would continuously solicit project proposals,  
3 post eligible SEPs to our website, and provide our list to  
4 CaleEPA annually. CaleEPA will maintain a library of  
5 eligible SEPs for all of the BDOs.

6 The policy defines SEP selection criteria and  
7 preference criteria to choose among SEPs, if necessary.  
8 It describes the categories of eligible SEPs and three  
9 methods by which SEPs can be funded.

10 --o0o--

11 AIR POLLUTION SPECIALIST SHULTZ WOOD: Under the  
12 proposed policy, a SEP may be eligible if it meets all of  
13 the following criteria:

14 It furthers ARB's purpose by reducing the risk  
15 burden posed to public health, preventing future air  
16 quality problems or improving the injured environment.

17 The SEP has a nexus to the violation, either  
18 through location - the SEP improves air quality in the  
19 community where the violation occurred - or through the  
20 pollutant - the SEP improves air quality by addressing the  
21 pollutants involved in the violation.

22 Includes a detailed project proposal to ensure  
23 the project is technically, economically, and legally  
24 feasible.

25 The SEP does not benefit the violator.

1           And the SEP goes above and beyond regulatory  
2 requirements that are otherwise required by a federal,  
3 State, and/or local entity.

4                           --o0o--

5           AIR POLLUTION SPECIALIST SHULTZ WOOD: Nexus is  
6 an important part of the policy, and is used to match  
7 settlements to projects. Nexus is the relationship  
8 between the violation and the proposed project. Each  
9 violation occurs in a location and involves one or more  
10 pollutants.

11           Proposed projects and cases will be matched  
12 through location or pollutant by ARB as a part of the  
13 settlement process or by a SEP administrator after a  
14 penalty check has been deposited.

15           We believe that initially given the proposed  
16 projects received, there will be sufficient money to fund  
17 all projects, but the policy provides criteria should  
18 ranking become necessary in the future.

19           We also believe that projects in all geographic  
20 regions of the State will be fundable, because so many  
21 violations involving mobile sources have a statewide  
22 geographic nexus. For violations that have a strong  
23 location nexus, project funding will be considered where  
24 the violation occurred.

25                           --o0o--

1           AIR POLLUTION SPECIALIST SHULTZ WOOD: Under the  
2 proposed policy, ARB prefers SEPs that provide direct  
3 emissions or exposure reductions, benefit disadvantaged  
4 communities, provide community benefits, and/or provide  
5 multi-media benefits.

6                           --o0o--

7           AIR POLLUTION SPECIALIST SHULTZ WOOD: A SEP  
8 proposal is required to be considered for funding. The  
9 SEP proposal will be reviewed to determine if the project  
10 meets the SEP policy criteria. The details of the  
11 proposal, such as the organization description and  
12 experience, project description, timeline, itemized budget  
13 and emissions benefit description will demonstrate if a  
14 SEP is technically, economically, and legally feasible.

15           Once the review is complete, and the SEP is  
16 determined to meet the requirements of the policy and is  
17 feasible, it will be added to the eligibility list. SEP  
18 proposals can be submitted on a continual basis. A SEP  
19 recipient can be anyone that submits a SEP proposal that  
20 meets the policy requirements.

21                           --o0o--

22           AIR POLLUTION SPECIALIST SHULTZ WOOD: So far,  
23 we've received 14 proposals. Of these, one project will  
24 provide clear exposure reductions. The other projects  
25 would provide indirect emissions or exposure reductions at

1 varying levels, but would offer valuable community  
2 benefits. As we are evaluating each of these projects to  
3 ensure selection criteria are met, and to assure  
4 feasibility, we're confronting questions about which  
5 projects are truly appropriate for SEP funding.

6 For example, some projects would provide less air  
7 quality benefit, but provide improvements to community  
8 amenities. Park improvements, community gardens, and tree  
9 planting are examples.

10 In another example, some projects with broad  
11 community support would provide local scale air monitoring  
12 and/or educational programs, but would not provide direct  
13 emission reductions. The SEP selection and preference  
14 criteria will guide our decisions because they reflect the  
15 values that we, as an organization, place on different  
16 kinds of projects. We are interested in the Board's  
17 opinions about what types of projects we should value as  
18 most important.

19 --o0o--

20 AIR POLLUTION SPECIALIST SHULTZ WOOD: Once a  
21 settlement has been reached in an enforcement case, the  
22 violator will be asked to offset a portion of their  
23 penalties to fund a SEP as part of their settlement. If  
24 they agree to this, staff will ask them to choose a SEP  
25 from the eligibility list that has a nexus to the



1 violation as outlined in the SEP policy.

2           If they don't voluntarily agree to participate in  
3 a SEP, the entire penalty amount will go to the Air  
4 Pollution Control Fund. We believe, given a robust choice  
5 of SEPs, most violators will choose to participate. There  
6 are 3 ways that a SEP can be funded.

7           Our preference is to match case settlements  
8 directly to SEPs that can fully be funded. The violator  
9 will pay SEP money directly to the SEP recipient. When a  
10 SEP cannot be fully funded by the violator, they can  
11 deposit the SEP money into a SEP administrator's account.  
12 In this case, the SEP administrator will disburse the  
13 funds to the recipient.

14           The third option is for a violator to choose to  
15 design and implement a SEP themselves.

16                           --o0o--

17           AIR POLLUTION SPECIALIST SHULTZ WOOD: When the  
18 violator has chose a SEP that can fully -- that can be  
19 fully funded by the offset penalty in their settlement,  
20 the violator pays their SEP money directly to the SEP  
21 recipient. In this case, the SEP recipient is liable for  
22 ensuring that the project is completed and is responsible  
23 for oversight, tracking, and reporting on the progress and  
24 completion of the SEP, as well as post-accounting  
25 expenditures to ARB.

1                   --o0o--

2                   AIR POLLUTION SPECIALIST SHULTZ WOOD: In cases  
3 where the offset penalty is not enough to fully fund a SEP  
4 on the eligibility list offered to the violator, the SEP  
5 money can be deposited into a SEP administrator's account.  
6 Currently, this is an option for the CCDET School Bus and  
7 Small Off-Road Engine SEPs. We are looking to establish a  
8 new SEP administrator for projects benefiting  
9 disadvantaged communities.

10                   --o0o--

11                   AIR POLLUTION SPECIALIST SHULTZ WOOD: A violator  
12 can also choose to design and implement a SEP themselves.  
13 In this case, the violator is liable through the  
14 completion of the SEP, as well as project oversight,  
15 tracking, and reporting to ARB. We do not anticipate that  
16 this option will be used very often, and typically see  
17 this happen about once a year.

18                   --o0o--

19                   AIR POLLUTION SPECIALIST SHULTZ WOOD: This  
20 section describes comments we received in the workshops  
21 and how we addressed them.

22                   --o0o--

23                   AIR POLLUTION SPECIALIST SHULTZ WOOD: During the  
24 workshops, we heard many comments from stakeholders.  
25 Communities want projects to improve the location where



1 your thoughts on the policy and proposed implementation.  
2 With your comments, we will finalize and implement the  
3 policy, provide a proposal list to CalEPA, and begin  
4 approving new SEPs.

5 We will be updating the Board annually on the  
6 implementation of the SEP program and the projects that  
7 have been funded.

8 Thank you.

9 CHAIR NICHOLS: Thank you. We have 2 witnesses  
10 who've signed up. If there's no comment from the staff,  
11 at this point, we'll turn to Brent Newell and Tiffany Eng.

12 MR. NEWELL: Thank you very much. Good afternoon  
13 Madam Chair, members of the Board. I rise to speak in  
14 support of the proposed SEP policy. It's implementing a  
15 law that directs funds to disadvantaged communities, yet  
16 also takes their project proposals as SEPs.

17 And the criteria for an acceptable SEP is written  
18 in such a way as to promote real community enhancements.  
19 The staff member who is making the Board presentation  
20 discussed parks. And there's one particular example that  
21 I'd like to highlight is a kind of SEP that is going to  
22 advance environmental justice by providing more access to  
23 parks and recreational opportunities in disadvantaged  
24 communities, yet also reduces the exposures that children  
25 will experience in disadvantaged communities.

1           It's a proposal in Rexland which is in Kern  
2 County. It has horrible air pollution, as you all know.  
3 And children who go to play soccer outdoors often face  
4 limitations from the air quality in the valley. You know,  
5 on bad air days, they're supposed to stay inside, right?  
6 Recess is canceled. This community wants an indoor soccer  
7 field constructed so that children in the community can go  
8 play soccer, not be affected by that horrible outdoor air  
9 pollution. They would not have to travel 20 miles to the  
10 nearest public soccer field in northeast Bakersfield.  
11 They would not have to go to a private soccer facility  
12 that charges \$55 an hour, and requires them to come up  
13 with insurance -- liability insurance to use the soccer  
14 field.

15           So, you know, a project like this meets this very  
16 progressive SEP criteria, which not only requires that  
17 pollution be reduced, but exposures are reduced. Let's  
18 reduce exposures to children who want to be active and  
19 play soccer.

20           And it also directs benefits to communities like  
21 Rexland, where these kinds of facilities just don't exist.  
22 So a SEP policy that helps even the playing field when it  
23 comes to access to recreational facilities, but also  
24 protects children from exposures to harmful air  
25 pollutants.

1           So thank you very much

2           CHAIR NICHOLS: Thank you.

3           Tiffany.

4           MS. ENG: Hi. Good afternoon, Madam Chair, ARB  
5 Board members. My name is Tiffany Eng, and I'm here today  
6 on behalf of the California Environmental Justice  
7 Alliance, or CEJA.

8           I wanted to thank you for this opportunity to  
9 speak today, but also for the 2 workshops, both in August  
10 and October, that I participated in. It was a really good  
11 experience to give -- to both learn about the SEPs --  
12 proposed draft SEPs policy and to give feedback.

13           The staff that you have are really great to work  
14 with. They addressed a lot of our concerns in response to  
15 our comments in a really practical manner, so we thank you  
16 for that effort.

17           We wanted to give a couple of points of feedback  
18 to the draft policy, mostly in -- as it attempts to  
19 fulfill the intent of AB 1071. We wanted to really  
20 emphasize the need to direct investments to the most  
21 disadvantaged communities affected by violations. And we  
22 know that ARB can do this by ensuring that SEPs prioritize  
23 the needs of disadvantaged communities first and foremost  
24 when approving of SEP projects.

25           First of all, we wanted to make sure that there's

1 a more nuanced and clear definition of community benefits  
2 in the criteria and guidelines. We know that is very  
3 open, but giving more definition would be really helpful,  
4 as well as benefiting disadvantaged communities, what  
5 exactly that could mean. We know that SEPs are intended  
6 to be direct, meaningful, and benefits that include  
7 community input or voices. So finding ways to have great  
8 community engagement and involvement or even partnership  
9 would be greatly appreciated.

10           Second, when SEP projects are listed on ARB's  
11 website -- and I think the ARB has done a really great job  
12 of doing that in the past -- of noticing the violator, the  
13 fine, and the project that's been addressed through the  
14 violation, if there could be descriptions of the SEP  
15 project with the amounts, and also have maybe even a  
16 public space to give feedback on certain SEP projects that  
17 community members can say which projects are really  
18 helpful to their neighborhoods or which might not be as  
19 helpful to the neighborhood. That could be a huge benefit  
20 to show that we really trying to have that nexus of  
21 linking SEPs to the projects that are most in need of  
22 being funded.

23           Third, while we understand that ARB will allow  
24 violators to propose and implement their own SEP, we, of  
25 course, highly discourage this on the record, mostly

1 because we really want to make sure benefits flow to  
2 environmental justice communities. And we want to see, if  
3 possible, ARB can kind of encourage SEP projects to be  
4 chosen that really do flow to EJ communities first and  
5 foremost.

6 Fourth, when ARB selects a third-party  
7 administrator, we hope that there will be 2 things. One  
8 is that third party administrator will have a lengthy and  
9 documented history of working with and partnering with  
10 environmental communities, and a history even of  
11 administering SEPs. We know that there's some foundations  
12 that have worked with different CalEPA agencies that are  
13 really great at doing that work, including certain  
14 foundations to make sure that those resources are flowing.

15 So we have a couple other comments I'll submit  
16 over a letter. But thank you so much for your time and we  
17 look forward to continue to work with you on this.

18 CHAIR NICHOLS: Thank you.

19 Well, thanks for your participation throughout  
20 the process. This is an opportunity if Board members have  
21 additional thoughts to weigh in at this point, or I'm sure  
22 you can give feedback to the staff also, but if you would  
23 like to make any comments.

24 Mr. Gioia.

25 BOARD MEMBER GIOIA: Sure. I just wanted to sort



1 of address 3 areas quickly. One, raise the same issue  
2 about how we define disadvantaged communities, as I  
3 mentioned on the earlier item, so I won't repeat that,  
4 because I don't think we're bound by the CalEnviroScreen.

5           Second, understanding that is -- is there a good  
6 faith effort always to try to find a disadvantaged  
7 community closest to where the violation occurred? How  
8 does that come out in the weighting policy. I mean, I  
9 think from an equity standpoint, the closer the use of the  
10 funds are to where the damage was done is really  
11 important. So if you can just briefly talk about that, I  
12 think that's an important criteria.

13           Third, the opportunity for community or citizen  
14 input and engagement in determining the SEPs.

15           ENFORCEMENT DIVISION CHIEF SAX: So, yes, I can  
16 answer. My name is Todd Sax. I can answer all 3 of those  
17 questions.

18           The first with relationship to defining  
19 disadvantaged communities, you are correct, AB 1071  
20 doesn't reference CalEnviroScreen. And so we're looking  
21 at CalEnviroScreen as a measure of whether or not a  
22 community is a disadvantaged community, but a applicant,  
23 in their proposal is free to argue that they are  
24 benefiting a disadvantaged community, even if they don't  
25 fall within the confines of what CalEnviroScreen would

1 consider.

2           So we can go broader on that than  
3 CalEnviroScreen, and we're, I think, consistent with where  
4 you were coming from on the previous item.

5           With regards to your second question about a good  
6 faith effort for location, the answer is yes, there, will  
7 be a good faith effort on that. What's interesting about  
8 ARB violations that's different from violations at, for  
9 example, the Water Board or the Department of Toxics, is  
10 that a lot of our violations involve certification  
11 violations or trucking company violations, where a  
12 trucking company may operate all over the State.

13           BOARD MEMBER GIOIA: Right.

14           ENFORCEMENT DIVISION CHIEF SAX: And a  
15 certification violation could be sold anywhere in the  
16 State. And that cuts both ways for us. On the one hand,  
17 it provides less of a strong geographic nexus, on the  
18 other hand, it allows us to fund projects where there  
19 might not be very many violations.

20           Some of the areas we conducted workshops in were  
21 in the Imperial Valley and we don't typically see a lot of  
22 violations in those areas, but there are needs for funding  
23 there. And so we see opportunities to engage them on SEPs  
24 and potentially help support them through projects that  
25 have a statewide geographic nexus.

1           With your question with regards to citizen input  
2 we are committing to an ongoing public process to  
3 implement this. And so there will be ongoing  
4 opportunities for communities to participate through the  
5 ongoing workshops that we'll have to continue to drum up  
6 additional supplemental environmental project proposals.

7           BOARD MEMBER GIOIA: Thank you.

8           CHAIR NICHOLS: You know, it's difficult to -- I  
9 think you've covered the ground here well, and framed the  
10 issues. I think we're going to learn more in the  
11 application of the policy than we can -- we can't push  
12 much further in an abstract situation really until we're  
13 confronted with some choices and have an opportunity to  
14 kind of work them through. And I'm hoping that it may be  
15 even in the guidance or the policy itself, you could sort  
16 of commit to an evaluation based on, you know, year or 2  
17 years worth of work to see how it -- how it comes out,  
18 because inevitably there will be things that come up that  
19 we haven't thought of.

20           CHAIR NICHOLS: Yes, Mr. Florez.

21           BOARD MEMBER FLOREZ: Maybe just on the comment  
22 that was our last presenter. So we have a pretty strongly  
23 worded letter from a member of our Committee. And I'm  
24 just wondering you said, Mr. Sax, that we're going to  
25 continue to continue to have ongoing conversations. Can

1 we make sure that we integrate a little bit of the EJAC  
2 concerns, as you move forward, just so we can go through  
3 them, and they feel a little more comfortable around --  
4 about the connection between EJ communities and the work  
5 that you're doing, particularly around community benefit.  
6 I think it has been mentioned by the CEJA representative  
7 just to make sure we're in alignment there. I kind of get  
8 where you're going on it, but I think it would be great to  
9 see if we can get them a little more comfortable.

10 Thank you.

11 ENFORCEMENT DIVISION CHIEF SAX: (Nods head.)

12 CHAIR NICHOLS: Okay. Other comments?

13 If not, let's just thank you for the work and  
14 keeping us posted. I think I'm delighted to hear that  
15 there has been so much engagement with groups around the  
16 State, and that, generally speaking, not 100 percent but  
17 to a considerable extent, there has been strong support  
18 from the environmental justice groups for where you all  
19 are heading, as well as, of course, for the legislation  
20 itself. So it's nice to see that. Thanks.

21 ENFORCEMENT DIVISION CHIEF SAX: Thank you.

22 CHAIR NICHOLS: One more comment. Sorry, excuse  
23 me. Too close.

24 VICE CHAIR BERG: No. I just wanted to piggyback  
25 on our Chair comment. This is great for business as well.

1 This is a really good opportunity for business to  
2 participate and see the need of how important these  
3 projects are and what's going on in communities.

4 And so I'm very supportive from that perspective  
5 as well.

6 CHAIR NICHOLS. Okay Good point.

7 Okay. We have one more item, another  
8 informational item. This is a day for education and  
9 conversation. That's great.

10 So we're going to hear last about some of what  
11 the staff has been up to and thinking about carbon capture  
12 and sequestration.

13 Okay. So this is an update -- carbon capture and  
14 sequestration is, and has been really from the beginning  
15 of AB 32, one of the elements of our long-term climate  
16 strategy. As we work towards our 2020 goals, we're also  
17 looking at how we move beyond them and think further  
18 ahead, including to 2050.

19 And we have looked at a number of different  
20 studies and scenarios that indicate that, at some point  
21 after you've conserved, and changed fuels, and reduced  
22 emissions, that you still have a need to do something with  
23 the unavoidable emissions that are still going to be  
24 troubling us.

25 So this is something that continues to be

1 considered to be a critical area, and may well also turn  
2 out to be a way to save cost of achieving carbon  
3 reduction's ambitious goals, if -- if the technology  
4 works, and that's always the big if.

5           Just last month, the International Energy Agency  
6 released a report describing CCS as an integral part of  
7 implementing the Paris climate agreement, and highlighting  
8 the importance of carbon capture and sequestration to  
9 address power and industrial emissions, and outlining the  
10 necessity of this technology being utilized.

11           To many of us, it seems as though this has -- is  
12 a new and novel concept, and it has not been utilized to a  
13 great extent in California, despite efforts to identify  
14 potential projects. There actually are projects out there  
15 that have been in existence for many years, including one  
16 in Norway. And, of course, we have been seeing injection  
17 of carbon dioxide underground as part of enhanced oil  
18 recovery operations for many years really since the 1970s.

19           So it's a technology that is not unknown, but it  
20 isn't being deployed widely. And one of the major reasons  
21 for that is that there is no agreed upon strong accounting  
22 methodology for the benefits of these projects. So  
23 because of that, we've seen a absence of proposals for  
24 offsets coming in into our climate market for this kind of  
25 program.

1           There are a lot of applications for carbon  
2 capture and sequestration within fuel production industry  
3 and power generation that can reduce the impacts of fossil  
4 fuel use. And so it could be an important bridge to a  
5 lower carbon future. And it has the ability, clearly the  
6 potential, to yield some negative, even, carbon emissions.

7           So if California can find a way that meets all of  
8 our needs from an overall environmental perspective, and  
9 if we can do the accounting in a way that's satisfactory,  
10 this could be a very powerful way for California to  
11 continue its climate leadership. And because of that,  
12 we've committed to developing an accounting framework that  
13 would support the potential inclusion of carbon capture  
14 and sequestration projects in the climate program.

15           So today, this is an update on where the staff is  
16 on that project. It's not again being presented for any  
17 action today, but it's an opportunity for Board members to  
18 become familiar with what's going on in this area, as well  
19 as the public. And we'll -- we presumably will be hearing  
20 further on this in months to come.

21           So let's start now with the presentation. Mr.  
22 Corey, do you want to introduce it?

23           EXECUTIVE OFFICER COREY: Yes. Thanks, Chair  
24 Nichols. So as we move towards our long-term greenhouse  
25 gas emission reduction goals, of 80 percent below 1990

1 levels by 2050, carbon capture and sequestration, or  
2 you'll be hearing it over and over, CCS, is widely  
3 considered a critical element to contain costs, address  
4 sources with few alternatives, and potentially, as the  
5 Chair noted, achieve negative emissions.

6 Staff has been beginning the work to develop a  
7 quantification methodology, which could be used by our  
8 climate programs and potentially other jurisdictions'  
9 programs to properly implement and account for reductions  
10 due to CCS.

11 This will allow California to continue its  
12 leading role in climate change mitigation and enable CCS  
13 projects in the short-term that will lay the groundwork  
14 for long-term widespread availability of CCS.

15 So far, staff efforts have been primarily focused  
16 on increasing knowledge and soliciting stakeholder  
17 concerns and public comments on the science, policy, and  
18 environmental and social impacts of CCS. Staff has  
19 completed initial workshops, technical discussions,  
20 stakeholder meetings, research and site visits.

21 I'll now ask Xuping Li from the Industrial  
22 Strategies Division to begin the staff presentation.

23 Xuping.

24 (Thereupon an overhead presentation was  
25 presented as follows.)



1 AIR RESOURCES ENGINEER LI: Thank you, Mr. Corey.

2 Good afternoon Chair Nichols, members of the  
3 Board. Today, I will be presenting an informational item  
4 on carbon capture and sequestration or CCS in short.

5 The objectives are to provide you background  
6 information on the technology, and update you on our  
7 progress and the plans on CCS related efforts over the  
8 next few years.

9 --o0o--

10 AIR RESOURCES ENGINEER LI: As shown in this  
11 overview, we will cover several aspects of CCS today,  
12 including background, potential in California, and lessons  
13 learned from natural gas underground storage leaks,  
14 staff's design principles, and our next steps.

15 --o0o--

16 AIR RESOURCES ENGINEER LI: California is a  
17 leader in climate reduction -- pollution reduction with  
18 ambitious greenhouse gas reduction goals. Carbon capture  
19 and sequestration is an important part of the state's  
20 overall long-term climate strategy. As we implement  
21 strategies to meet our 2030 goals, we must keep an eye on  
22 how we meet our 2050 goals. Many studies show that CCS is  
23 most likely necessary and can reduce costs to reach those  
24 goals.

25 As an example, last month the International

1 Energy Agency released a report describing CCS as an  
2 important part -- integral part of implementing the Paris  
3 climate agreement and highlighting the importance of CCS  
4 to address power and industrial emissions, and to deliver  
5 net negative carbon emissions.

6 Specific to California, the California Council on  
7 Science and Technology found almost all solutions to 2050  
8 goals require CCS.

9 However, CCS projects have not been able to  
10 participate in California's climate programs due to the  
11 lack of quantification methodology, or QM.

12 --o0o--

13 AIR RESOURCES ENGINEER LI: Recognizing the  
14 importance of CCS in the long-term, ARB has been following  
15 the technology and has recognized it in all ARB scoping  
16 plans. And in 2010, ARB along with the Energy Commission,  
17 and the Public Utilities Commission created a blue ribbon  
18 review panel to determine what was needed to allow and  
19 enable CCS in California.

20 Among other things, it concluded that ARB should  
21 be the lead agency to analyze and regulate greenhouse gas  
22 emission benefits from CCS projects. The remainder of  
23 their findings are available on our website -- webpage.  
24 In order to enable CCS projects to move forward, the Board  
25 and legislature have directed ARB and the staff to develop

1 a quantification methodology, which would define how CO2  
2 reductions from CCS project should be accounted for in  
3 California's climate programs.

4 Staff has been spent the last -- the past year  
5 consulting with experts and coordinating with other State  
6 and federal agencies in preparation for development of the  
7 quantification methodology.

8 To date, we have held 6 technical discussion  
9 sessions with broad participation from industry, academia,  
10 and environmental organizations, including the  
11 Environmental Justice Advisory Committee. Staff will  
12 continue this engagement throughout the development  
13 process.

14 --o0o--

15 AIR RESOURCES ENGINEER LI: This graph  
16 illustrates the different steps of CCS and CO2  
17 utilization. First, CO2 is captured and compressed from  
18 large stationary sources, such as power plants, or  
19 industrial processes, including ethanol production, and  
20 gas processing.

21 A typical capture process for CCS is to flow the  
22 exhaust to gas from a combustion source, such as a power  
23 plant through a chemical solvent which separates and  
24 purifies the CO2 from the rest of the flue gas. Capture  
25 cost is the primary component of CCS cost, and capture the

1 cost largely depends on the composition of gas stream.  
2 Some industrial sources, such as ethanol production, have  
3 a stream of CO2 and water in the exhaust, and only require  
4 water removal to achieve pure CO2, which has a lower cost  
5 for a CO2 capture.

6 After CO2 is compressed, it is transported to a  
7 site where it can be utilized in a product or injected  
8 underground. One example of utilization is to use CO2 as  
9 a reagent in cement production. When injected  
10 underground, it is called geological sequestration. We  
11 will talk about this more on the next slide.

12 --o0o--

13 AIR RESOURCES ENGINEER LI: This slide shows the  
14 multiple geological subsurface areas where CO2 can be  
15 sequestered. Generally, CO2 is injected either into deep  
16 saline reservoirs or active or depleted oil and gas  
17 reservoirs. These reservoirs tend to be thousands of feet  
18 beneath the surface deep enough that CO2 remains in place.  
19 A well designed injection site will have a thick  
20 impermeable layer above it, usually shale -- shale. So the  
21 CO2 cannot migrate to the surface due to buoyancy.

22 Most existing CCS projects deliver their CO2 to  
23 active oil fields, where CO2 is injected to enhance oil  
24 recovery. A portion of the CO2 injected is trapped in the  
25 pore space of the reservoir and cannot be recovered. The

1 rest of the injected CO2 is produced with the oil and can  
2 either be reinjected or sequestered or it can be  
3 transported and used in other injection projects.

4 We would like to point out that our current  
5 efforts are focused on geological sequestration of CO2,  
6 such as in saline reservoirs, or CO2 enhanced oil recovery  
7 projects. We plan to analyze and include utilization with  
8 CO2 during future efforts.

9 --o0o--

10 AIR RESOURCES ENGINEER LI: CCS technology is  
11 currently available at commercial scale worldwide. None  
12 of the existing commercial scale CCS projects are in  
13 California, but some projects are associated with fuel  
14 production and may supply fuel to California market.

15 Currently, there are 20 commercial scale CCS  
16 projects with one commercial scale saline injection  
17 process in Norway on-line and injecting for about 20  
18 years.

19 The combined injection rate of all the projects  
20 shown is about 40 million metric tons per year, which is  
21 about 10 percent of the annual greenhouse gas emissions in  
22 California. Although, the ma majority of the CCS projects  
23 inject into enhanced oiled recovery fields, 5 current  
24 projects inject into deep saline reservoirs.

25 --o0o--

1 AIR RESOURCES ENGINEER LI: CCS projects are  
2 currently allowed and are regulated primarily by the U.S.  
3 EPA under regulations to protect underground drinking  
4 water, as well as greenhouse gas reporting regulations.  
5 These regulations require rigorous well integrity and  
6 monitoring of injection projects. The drinking water  
7 regulations serve as a proxy for climate protection under  
8 U.S. EPA's regulations.

9 The logic is that if CO2 does not leak into  
10 subsurface aquifers, it will also not leak to the  
11 atmosphere. Our quantification methodology will focus on  
12 California's climate programs and climate benefits, rather  
13 than clean water protection.

14 Main barriers for wide deployment of CCS include  
15 long-term liability, pore space ownership, landowner  
16 considerations, costs and the financing.

17 --o0o--

18 AIR RESOURCES ENGINEER LI: Several State and  
19 federal agencies have oversight or interest in CCS. We  
20 have coordinated with all of these agencies, since they  
21 each of an important role to play. The U.S. Department of  
22 Energy is focused on CCS research, development, and  
23 demonstration in the U.S. U.S. EPA has established  
24 regulations for CCS, including the underground injection  
25 control and the greenhouse gas reporting programs.

1 In California, the Division of Oil and Gas and  
2 Geothermal Resources, or DOGGR, has primary authority for  
3 permitting Class II wells under the U.S. EPA Underground  
4 Injection Control Program. Class II well permitting  
5 regulates injection wells in oil and gas operations,  
6 including enhanced oil recovery.

7 Given DOGGR's expertise on injection and well  
8 related issues, we have representative Alan Walker at the  
9 table.

10 California Geological Survey has expertise in CO2  
11 storage potential and site analysis. California Energy  
12 Commission and the California Public Utilities Commission  
13 have been tasked with the development and implementation  
14 of the emission performance standards for power plant.  
15 CCS can potentially play a role in this standard.

16 Finally, State Water Resources Control Board  
17 coordinates with DOGGR on well permitting and water  
18 quality issues.

19 --o0o--

20 AIR RESOURCES ENGINEER LI: In addition to  
21 working with other agencies, staff has solicited inputs  
22 from non-governmental environmental organizations and the  
23 environmental justice community. Several environmental  
24 organizations are supportive of CCS as long as we include  
25 strong standards to ensure permanency of the CO2

1 reductions. Environmental justice groups have reached  
2 consensus, including impacts to landowners and increased  
3 local oil production from CO2 enhanced oil recovery  
4 projects. We will be considering these concerns as we  
5 develop the quantification methodology.

6 --o0o--

7 AIR RESOURCES ENGINEER LI: To put into  
8 perspective the potential use of CCS in California, the  
9 State has significant amount of subsurface storage space  
10 potentially suitable for CCS. The California Geological  
11 Survey estimated subsurface reservoirs could sequester at  
12 least 30 gigatons of CO2, which is equivalent to 60 years  
13 of California's current greenhouse emissions.

14 CCS could be used either as a stand-alone  
15 strategy for climate change mitigation such as in refinery  
16 specific measure, or as a method of compiling with our  
17 climate programs, such as the LCFS or cap and trade.

18 --o0o--

19 AIR RESOURCES ENGINEER LI: Essentially, any  
20 large point of carbon emissions could utilize CCS,  
21 including fuel production facilities and the power plants.  
22 CO2 capture cost is a primary component of CCS cost, and  
23 largely depends on the concentration composition of the  
24 CO2 stream. The more concentrated the CO2 stream, the  
25 less expensive it is to capture the CO2. If the CO2



1 stream is mixture of CO2 and water, such as in an ethanol  
2 plant or pure CO2 is already a byproduct, such as in gas  
3 procession, the cost of CO2 capture is significantly  
4 lower.

5 --o0o--

6 AIR RESOURCES ENGINEER LI: We did want to  
7 address the Aliso Canyon natural gas leak, and how it is  
8 related to CCS. CCS projects are quite different from  
9 natural gas storage projects in terms of health and  
10 environmental risks, particularly due to differences in  
11 CO2 versus methane. However, the need for proper site  
12 selection, strong well integrity requirements and rigorous  
13 monitoring apply in both cases.

14 U.S. DOE and the U.S. Department of  
15 Transportation released recommendations for underground  
16 storage facilities after Aliso Canyon, and several  
17 recommendations addressed those points. We will consider  
18 those recommendations, as well as others.

19 In particular, U.S. DOE's National Energy  
20 Technology Lab has developed several best practice manuals  
21 for CCS, based on existing projects. Following these and  
22 other best practice manuals will reduce potential risks.

23 --o0o--

24 AIR RESOURCES ENGINEER LI: Staff has identified  
25 storage permanence as a key area of focus, because

1 ensuring permanence will both maintain CCS climate  
2 benefits and minimize its environmental risks. A focus on  
3 prevention through proper site selection, site and risk  
4 management and regulatory standards will minimize risks.

5 As mentioned earlier, CCS projects are in  
6 operation today, and the CO2 enhanced oil recovery  
7 projects have been in operation for decades with no CO2  
8 leaks have been recorded to date. Staff have and will  
9 continue to solicit input from experts and concerned  
10 stakeholders.

11 --o0o--

12 AIR RESOURCES ENGINEER LI: Staff developed  
13 design principles to guide our CCS-related activities to  
14 ensure a robust methodology with environmental integrity.  
15 First, and foremost, we must develop a program that  
16 projects public health and the environment. We need  
17 robust greenhouse gas monitoring reporting, and  
18 verification that ensure reductions are real, permanent,  
19 quantifiable and enforceable.

20 As mentioned previously, we are focused on leak  
21 prevention and incorporating best practice for key factors  
22 that can minimize leak risks. CCS technologies span  
23 multiple scientific fields, so it is important to base our  
24 program on sound science, and to include other agencies in  
25 the development process.

1           Additionally, staff is committed to developing a  
2 robust program through a transparent public process.  
3 Lastly, our goal is for the CCS program to serve as a  
4 model for other jurisdictions.

5                               --o0o--

6           AIR RESOURCES ENGINEER LI: This slide reiterates  
7 the U.S. EPA process for CCS permitting and shows that ARB  
8 standards would build on those requirements. A CCS  
9 project can occur today. In the U.S., a project would  
10 need to first apply for and be granted a permit under the  
11 underground injection control regulations. In California,  
12 enhanced oil recovery projects are regulated by DOGGR.  
13 Whereas, saline injection projects are regulated by the  
14 U.S. EPA.

15           The process we're outlining today addresses the  
16 strict requirements of California's climate programs. ARB  
17 standards will be developed with expert input and build  
18 upon existing requirements. After development, we will be  
19 bringing the quantification methodology and other  
20 documents back before the Board.

21           I will describe those document -- products more  
22 on the next slide.

23                               --o0o--

24           AIR RESOURCES ENGINEER LI: The main product we  
25 have discussed is the CCS quantification methodology,

1 which would quantify the climate benefits of CCS projects.  
2 In addition to the quantification methodology, moving  
3 forward, we plan to develop a permanency protocol, which  
4 would ensure that any climate benefits of CCS projects  
5 meet the stringent requirements of our climate programs.  
6 Our plan is to integrate this protocol into the ARB  
7 climate programs that incorporate CCS. This protocol  
8 would be developed through our robust stakeholder process,  
9 and brought to the Board as part of rule-making  
10 amendments.

11 AIR RESOURCES ENGINEER LI: This slide shows the  
12 timeline for the quantification methodology and the  
13 protocol development. First, we would develop a concept  
14 paper describing our proposed plan at high level. We plan  
15 to release that document in the first quarter of 2017 with  
16 a subsequent work shop. We then develop a draft  
17 quantification methodology and the protocol by the second  
18 or third quarter of 2017, and hold additional workshops  
19 for these documents.

20 We plan to finalize the quantification  
21 methodology and the protocol by the end of 2017, and bring  
22 those items to the Board in early 2018.

23 --o0o--

24 AIR RESOURCES ENGINEER LI: As mentioned earlier,  
25 CCS is a critical element of reaching our 2050 climate

1 goals. As we move towards our 2030 goals, we must not  
2 lose site of our 2050 goals. As such, ARB is engaged in  
3 long-term CCS activities, which include:

4 Exploring targeted mid-term adoption strategies  
5 to enable widespread long-term adoption; exploring  
6 enabling carbon negative technologies; investigating  
7 potential CCS direct measures, and considering  
8 incorporation of CO2 utilization into the quantification  
9 methodology and the protocol.

10 This concludes our presentation. We'll be happy  
11 to answer any questions you may have.

12 CHAIR NICHOLS: We do have 7 witnesses who've  
13 signed up to speak on this, so why don't we hear from them  
14 and then proceed to Board discussion.

15 So we have a list up there on the board. So if  
16 you -- you know where you are, come on down.

17 MR. GRAVELY: Okay. Sorry. Good afternoon,  
18 Chair Nichols and Board members. I'm Mike Gravelly, from  
19 the California Energy Commission, Research and Development  
20 Division. I'm just here to support the efforts that have  
21 been completed to date and the continuation of these  
22 efforts. We had about a 10-year efforts with the  
23 Department of Energy called the West Coast Carbon Regional  
24 Sequestration Partnership, of which ARB was actively  
25 involved with us in that. And we did several projects

1 under there.

2           The research basically clearly indicates the need  
3 for this quantification methodology in this protocol. It  
4 is not a commercial product yet, but we continue to do  
5 research and focus in that area. So I think we would  
6 support, again, the continued effort and the development  
7 of and the publishing of this.

8           I think one of the key steps to the  
9 commercialization of this technology would be to have this  
10 methodology, because it takes away some of the uncertain  
11 questions of how it will be used in the future.

12           And again, so we do anticipate continuing to  
13 support the effort. And we're just hoping -- happy that  
14 you're doing this. And I think it is valuable for the  
15 community and the industry and the whole.

16           Thank you.

17           CHAIR NICHOLS: Great Thank you.

18           MS. NAGABHUSHAN: Good afternoon. Madam Chair  
19 and members of the Board. My name is Deepika Nagabhushan.  
20 I'm the California representative of the Clean Air Task  
21 Force. Most of my comments are going to echo the  
22 presentation that was given, and all the comments that  
23 have previously been made.

24           Clean Air Task Force has appreciated very much  
25 the opportunity to provide input to the ARB during the

1 many technical workshops that were held over the year in  
2 advance of this workshop -- this meeting.

3 I'm here with my colleague, Bruce Hill, who has  
4 presented at the workshop as well. Clean Air Task Force  
5 believes carbon capture and storage is a necessary  
6 technology for de-carbonating -- de-carbonization of the  
7 power sector. And apart from that the industrial sector  
8 has only CCS as an option to cut emissions.

9 CCS consists of carbon capture, transport, and  
10 storage technologies that have been in use for nearly half  
11 a century. And through CCS, CO2 is safely stored in deep  
12 geologic formations many feet underground, where there's  
13 thousands of feet of impermeable strata above it.

14 California is establishing this model of -- this  
15 model standard which is -- with which a CO2 injector for  
16 permanent storage can be securely stored, monitored, and  
17 accounted for, for the purposes of emission reduction.  
18 And this is an important process, because it will likely  
19 reach well beyond California boundaries.

20 And CATF believes that to help demonstrate a  
21 quantifiable, permanent carbon emission reduction a  
22 foundation of rigorous but smart and achievable rules must  
23 be set.

24 CATF believes that QM must include in-depth site  
25 investigation and site selection process that requires the

1 selection of only the most robust, secure, and low risk  
2 sites avoiding adverse local community impacts.

3 The site selection process must also require  
4 demonstration of the presence of redundant ceiling layers  
5 overlying the storage reservoir. And it should also  
6 require proven integrity of legacy wells in the reservoir.

7 QM should be accompanied by site-specific,  
8 risk-based monitoring requirements that are informed by  
9 the site investigation process. QM should also recognize  
10 the differing needs of CO2 storage in saline brines and  
11 through enhanced oil recovery and depleted oil fields.

12 Thank you.

13 CHAIR NICHOLS: Thank you.

14 MR. DIMMIG: Hello. My name is Walker Dimmig. I  
15 manage government affairs, environmental affairs, and  
16 regulatory affairs for a company called NET Power.

17 I'd like to thank the Air Resource[sic] Board for  
18 allowing me to comment today. NET Power is a  
19 collaboration between several large companies within the  
20 power sector, Exelon, a large Chicago-based utility,  
21 Chicago Bridge & Iron, a global engineering and  
22 construction firm, 8 Rivers Capital, a technology  
23 development firm, and Toshiba corporation, one of the  
24 largest turbine developers in the world.

25 NET Power has developed a novel means of carbon



1 capture from natural gas. The technology is not like the  
2 other CCS technologies with which members of the board  
3 might be familiar, not like the technologies that have  
4 been in the public eye more recently.

5 It uses a new power cycle that relies on a super  
6 critical CO2 working fluid instead of steam. It uses oxy  
7 combustion. And the result is the enables inherent  
8 low-cost carbon capture.

9 This is also a today technology. NET Power is  
10 currently building a demonstration plant, a 50 megawatt  
11 demonstration plant, down in La Porte, Texas. That plant  
12 will come on line later in 2017. We also are already  
13 currently developing several commercial plants, the first  
14 of which we hope to have on line in 2020.

15 We believe this technology can have a large  
16 impact in California. We virtually eliminate all air  
17 emissions from a natural gas power plant. We have greater  
18 than 97 percent carbon capture, and complete elimination  
19 of NOx due to the use of oxy combustion.

20 These plants do not require water. We don't use  
21 steam. Therefore, we don't need makeup water. So if we  
22 air cool, they're completely water free and an impact  
23 would produce some water.

24 They provide low cost, flexible, dispatchable  
25 power. We believe these plants will be able to compete

1 head to head with emitting combined cycle natural gas  
2 power plant.

3           And because of this, as a result, we think  
4 deploying this technology, alongside a suite of other  
5 technologies, would enable by far the deepest  
6 de-carbonization pathways to be pursued.

7           We're commenting today, because we believe that  
8 California has been a leader in addressing CO2 emissions.  
9 We think it's a great opportunity for California to lead  
10 on CCS, which is a required technology for us to meet our  
11 carbon targets, and we encourage the implementation of  
12 methodology and processes that enables projects like this,  
13 like ours, to be developed. The topic today is -- is one  
14 that is a necessary for element project development in  
15 order for us to have plants put on the ground.

16           Thank you very much.

17           CHAIR NICHOLS: Thank you.

18           MR. BROWN: Chair Nichols and Board, and I think  
19 my wife and kids would like one of these speaker timers  
20 whenever I speak to them --

21           (Laughter.)

22           MR. BROWN: -- or go into a Polonius moment.

23           I'm Jeff Brown. I teach clean energy project  
24 development at Stanford. Prior to that, I was a clean  
25 energy project developer. And prior to that spent 25

1 years financing energy and power development projects.

2           And the ARB is the nation's most influential air  
3 regulator. My wife thinks that this is like being a rock  
4 star getting to talk to ARB. She's an environmental  
5 lawyer.

6           (Laughter.)

7           MR. BROWN: But here's a few brief observations.  
8 And there's one that I did not write down in what I  
9 provided you, which is you guys have a bit of an  
10 accounting duty weighed against an environmental  
11 emergency, so QM is important. It's important to account  
12 for molecules of CO<sub>2</sub>. But in projects I look at that are  
13 emitting millions of tons of year, for sure, now you know  
14 it, it's going to happen.

15           The question is if you put it underground in a  
16 pretty good spot, whether 1 or 2 percent leaks over 100  
17 years, it's an accounting problem, rather than an  
18 environmental emergency.

19           A couple of quick items. Number one, the CO<sub>2</sub>  
20 capture techniques are really well known. They're well  
21 known because they originated in chemical industries,  
22 where the CO<sub>2</sub> had to be removed because it was in a  
23 contaminant, or it was needed in the product. So, for  
24 instance, one type of fertilizer, urea, we capture 130  
25 million tons a year. It just gets turned into fertilizer,

1 so no one talks about it.

2           Second, CO2 injection underground the U.S. has  
3 put approximately 1 billion tons of CO2 underground in the  
4 last 40 years, a billion. At the same time, we have 5,000  
5 miles of CO2 pipelines that are already there. So if  
6 there were going to be gigantic problems, we would have  
7 had some inkling, I think.

8           CO2 is cost effective. Not to mention new  
9 technologies, like those that Mr. Dimmig mentioned  
10 over/under project cost of capture is in the 40 to 50 buck  
11 range. And the electric compliance pathways identified by  
12 CARB staff has tended to be about 200 bucks per ton  
13 captured -- and is the yellow warning light -- well -- and  
14 one caveat I would like to add, and this is a finance  
15 guide type caveat, but there are many rules that are  
16 embedded in, say, the LCFS standard, such as you have to  
17 inject the CO2 underground in the same place where you  
18 caught it. In reality, it is extremely rare that you  
19 catch it and inject it in the same place. So some of  
20 those practical glitches need to be worked out over time.

21           I thank you very much.

22           CHAIR NICHOLS: Thank you, and thank you for  
23 submitting your written testimony as well. So we will  
24 have that. Thank you.

25           We have Mr. Bhatija.

1 MR. BHATIJA: Good afternoon, Madam Chair and  
2 members of the Board. My name is Sudarshan Bhatija. And  
3 I'm a dual degree student at Stanford University. I study  
4 towards an MBA and an MS in environmental resources. I  
5 also have a degree in physics from the Indian Institute of  
6 Technology in India.

7 Over the last few months, I've been working with  
8 the Steyer Taylor Center at Stanford on carbon capture  
9 policy in California. And I've focused my future career  
10 on combating climate change, and I'm very excited to have  
11 this opportunity to contribute in some way to the State's  
12 efforts.

13 I stand in support, and I'd like to share some  
14 observations from my research so far. Through the last  
15 few months, I've led an inter-disciplinary team of  
16 researchers from law, engineering, and business to analyze  
17 the techno-commercial feasibility of retrofitting existing  
18 combined cycle natural gas plants with CCS technology.

19 We learned that firstly the technical feasibility  
20 looks good. Carbon capture technology is well understood.  
21 And reducing emissions of natural gas plants from 750  
22 pounds per megawatt hour to 75 pounds per megawatt hour  
23 can be a great complement to California's RPS initiatives.

24 Enhanced oil recovery is also very well  
25 understood. In fact, the U.S. is a world leader in CO2

1 enabled enhanced oil recovery. Traditional oil  
2 reservoirs, like those in California, are perfect places  
3 to put CO2 because they're deep sealed. And now that  
4 we've taken the oil out, there's actually room to put  
5 something in there.

6           Secondly, the financial feasibility looks good,  
7 provided that there's support from LCFS initiatives  
8 provided by the State. Unfortunately, these incentives  
9 are limited by the need to, as Jeff was saying, both  
10 capture and sequester CO2 at crude oil production  
11 facilities, as per rule 95489, titled, "Provisions of  
12 Petroleum Based Fuels".

13           It is very rare for CO2 to be sequestered in the  
14 same spot, or even by the same person that captured the  
15 CO2. One party owns the pipeline, a second one owns the  
16 capture equipment, a third one owns the pipeline, and the  
17 fourth one owns the injection site.

18           So these rules interfere with the normal  
19 contracting paradigms to limit efforts to then ultimately  
20 limit CO2 emissions, which is our common goal.

21           So in addition to the quantification methodology  
22 being developed, which is a very crucial part of the  
23 equation, I hope the Board and the staff can make it more  
24 practical for companies to spend money on carbon capture  
25 by being rewarded for LCFS credits. Thank you for your

1 patient hearing and I'd be happy to provide the staff with  
2 more details, based on what I've just summarized.

3 Thank you.

4 MR. PERIDAS: Chair Nichols, members of the  
5 Board. My name is George Peridas. I'm from the Natural  
6 Resources Defense Council. Thank you for the opportunity  
7 to comment.

8 I was the lone environmental representative on  
9 the State appointed CCS review panel that concluded its  
10 work in 2011. We have taken a very close look at CCS at  
11 NRDC for the last close to 15 years now. As you can  
12 imagine, we approached the issue with some caution and  
13 possibly even some skepticism, having spent a good deal of  
14 time looking at the nitty-gritty, and the engineering, and  
15 the geology. We have become convinced that this can be  
16 done and stored permanently, and can be done safely and  
17 effectively.

18 It is not our favorite, if you like, climate  
19 mitigation technology, but we believe that it has an  
20 important role to play in a broader portfolio of  
21 mitigation technologies around the world, and specifically  
22 can also help California achieve its climate -- its  
23 ambitious climate mitigation goals with greater  
24 confidence, possibly lower cost, and open up the door to  
25 even deeper emission reductions.

1           Injecting CO2 underground is not something that  
2 be taken lightly. There is already a significant body of  
3 regulations that governs how this is done. And the  
4 methodology that's -- the Board is now thinking of  
5 developing would come to fill in some of these important  
6 emission gaps. So yet again, we'd see California as  
7 leading the way in this field.

8           The applicability of this technology to  
9 California is not solely on climate. We believe that  
10 there are important other co-benefits that can come from  
11 these projects, both in the power sector and the  
12 industrial sector, in terms of reducing other pollutant  
13 emissions from large facilities, such as power plants and  
14 refineries.

15           We stand in support of the -- of staff developing  
16 this methodology over the next few months, and we look  
17 forward to working with them closely, and we're also  
18 thankful for these excellent series workshops that they  
19 pulled together during the past year.

20           Thank you very much.

21           CHAIR NICHOLS: Thank you. NRDC has been out in  
22 front on this issue for a long time, since the very  
23 beginning of AB 32, as I recall. So thanks for continuing  
24 your involvement.

25           Okay. Our last speaker Mr. Templeman.



1 MR. TEMPLEMAN: Hello, everybody.

2 This is kind of more of a series of questions.  
3 We actually did some work for a technology developer about  
4 2 or 3 years ago that was working on some of these  
5 technologies for enhanced oil recovery. And one of the  
6 struggles that they had was the political acceptability,  
7 or maybe just even environmental acceptability of sort of  
8 generating extra oil and gas as a result of injecting the  
9 CO2.

10 They eventually went bankrupt. They couldn't get  
11 their technology commercialized. But one of my questions,  
12 I guess, to the Board was just if there were a technology  
13 that was shown and all the methodologies worked, would  
14 there really be a very difficult political, you know, hill  
15 to climb in order to, you know, essentially increase oil  
16 production domestically with this technology? And is that  
17 something that's insurmountable or something that, you  
18 know, people should be really trying to accommodate?

19 CHAIR NICHOLS: Well, you're asking a political  
20 question, which might have had a different answer before  
21 November than it does now. So I think there's a lot of  
22 interest in how to make it -- oil and gas production more  
23 environmentally acceptable right now. So I would imagine  
24 a brighter future for this.

25 MR. TEMPLEMAN: Well, and I guess the reason,

1 specifically to California, is a lot of the power plants  
2 and refineries are actually pretty close to California oil  
3 areas where the CO2 would go. And so I'm specifically  
4 thinking about California, if you're looking to, you know,  
5 inject this stuff, it can be done.

6           You know, I'll tell you some of the technologies  
7 that we saw were between \$25 to \$40 a ton. But if they  
8 created offsets or had other credits that could actually  
9 come, then the technologies actually did pencil out.

10           And so it's just a question and more of a comment  
11 to the Board.

12           CHAIR NICHOLS: I mean, it's a perfectly valid  
13 question. I don't think we have an answer for it at the  
14 moment. What we're engaged in is trying to remove one of  
15 the obstacles as we've been asked to do. So we'll carry  
16 out that task, and hopefully others that are part of this  
17 will contribute to the decision about what happens next.  
18 But there's been a long history of, you know, advocacy on  
19 one side or the other and nothing actually happening,  
20 so --

21           MR. TEMPLEMAN: Correct.

22           CHAIR NICHOLS: -- I think the idea is that this  
23 process will at least allow for a better consideration of  
24 what's possible.

25           MR. TEMPLEMAN: Perfect. Well, thank you for

1 your time.

2 CHAIR NICHOLS: You're identifying the correction  
3 questions.

4 MR. TEMPLEMAN: Yeah, thank you.

5 CHAIR NICHOLS: Thanks.

6 All right. That concludes the testimony. Is  
7 there anybody who wishes to add any thoughts?

8 Yes.

9 BOARD MEMBER SPERLING: I am delighted to have  
10 seen this presentation. What surprises me is I thought we  
11 were committed to this a long time ago.

12 (Laughter.)

13 BOARD MEMBER SPERLING: And actually, that  
14 disappoints me, that part of it. But I thought -- so this  
15 is -- as Chair Nichols said, this is absolutely an  
16 essential part of our set of strategies moving forward.  
17 The 21st century is there's going to be a lot of fossil  
18 energy. And if we don't capture some of that CO2 and keep  
19 it from going in the atmosphere, then that's going to be  
20 bad news for the planet.

21 So this is a 21st century strategy. It's not a  
22 permanent strategy, and so we need to really get to it.  
23 And there was a comment that it's not commercial, and  
24 that's just not true. It's been commercial in terms --  
25 for use in enhanced oil recovery for decades. It's -- and

1 it's commercial in places where there's a price on carbon.  
2 So that's our challenge here.

3           So the point about quantification, that's -- that  
4 is essential, but we need to be moving much faster than  
5 that. I -- I mean, we should be building this into our  
6 Cap-and-Trade Program, our LCFS. In fact -- so one  
7 question is with LCFS, I thought we had incorporated, and  
8 then what Dr. Brown said about this problem of it has to  
9 be -- you only get credit if it's injected in the same  
10 place it was captured. Is that what we did with the last  
11 round of LCFS changes?

12           INDUSTRIAL STRATEGIES DIVISION CHIEF VERGARA:

13           Yeah.

14           BOARD MEMBER SPERLING: So how do we change it?

15           INDUSTRIAL STRATEGIES DIVISION CHIEF VERGARA:

16           Dr. Sperling, this is Floyd Vergara. The  
17 provision that was referred to in the Low Carbon Fuel  
18 Standard is the innovative crude provision. The intent  
19 there was to foster innovative techniques in extracting  
20 and producing crude oil. Certainly, the comment has  
21 merit, and we will be taking a look at that as part of the  
22 process in looking at, you know, the regulatory programs  
23 that we have, where CCS can play a role. So that would  
24 definitely be part of our review of the regulatory  
25 measures.

1           BOARD MEMBER SPERLING: So this is a case where  
2 we need to read the small print. I did not -- because I  
3 was very supportive of it at the time, and I didn't  
4 realize that was the condition on that.

5           INDUSTRIAL STRATEGIES DIVISION CHIEF VERGARA: I  
6 would clarify that, you know, that is allowed in the --  
7 there is a provision in there that allows the CCS, and  
8 it's just -- it's -- you know, part of the challenge there  
9 is getting a quantification methodology, which is what  
10 this effort is for.

11           BOARD MEMBER SPERLING: So I strongly urge that  
12 we move forward and make sure the next round of changes  
13 that are made with LCFS and cap and trade incorporate a  
14 method for giving credit for CCS.

15           INDUSTRIAL STRATEGIES DIVISION CHIEF VERGARA:  
16 Yes.

17           DEPUTY EXECUTIVE OFFICER CHANG: So this is Edie.  
18 And I just want to say that as we talked about in the  
19 presentation, both of those regulations do have provisions  
20 that allow CCS to receive either you reduce your emission  
21 obligation or it can be credited in the pathway in LCFS.

22           What we've been missing is if we're going to  
23 provide credit for it, how do we quantify that? And so,  
24 you know, I understand, you know, there's -- you can  
25 put -- you can put CO2 in the ground, and you know that

1 most of it stays in there. But if we're going to provide  
2 credit for it, we want to make sure we know exactly how  
3 much is staying down there. So that's what this process  
4 is really about.

5 BOARD MEMBER SPERLING: So how can we say it's  
6 part of them, if we don't give credit?

7 DEPUTY EXECUTIVE OFFICER CHANG: That's --  
8 they -- it provides -- it provides the opportunity, and  
9 what we're doing now is the quantification method, but I  
10 do hear your plea for urgency, and for us to work on this  
11 quickly.

12 BOARD MEMBER SPERLING: Yeah, because this is  
13 hugely important, not just for California. I mean, as  
14 we've always said, we're just a small part of the bigger  
15 world.

16 But this sends a very strong signal to industry  
17 to be investing in this, to be innovating, to -- and so  
18 this is something we should highlight as we go forward.

19 And I just want to commend actually the staff  
20 speaker, the brilliant presentation she did, Dr. Xuping  
21 Li. Oh, did I mention she was one of our students?

22 (Laughter.)

23 CHAIR NICHOLS: I was waiting.

24 (Laughter.)

25 CHAIR NICHOLS: Okay.

1 BOARD MEMBER SPERLING: Thank you.

2 CHAIR NICHOLS: Thank you. Yeah, I think this  
3 has been a slow and somewhat difficult process to put  
4 together. Part of it being simply that we didn't have  
5 direction or funding to work on this problem. And there  
6 is a lot of swirl, as you've heard, about sort of whose  
7 responsibility it is to move it forward. And it became  
8 clear after awhile that indeed it was going to be on us.

9 So I think ARB has risen to the challenge with  
10 help from obviously lots of other people as well, but I've  
11 attended several conferences myself, where it seemed as  
12 though somebody else was going to step up, and, you know,  
13 do the work that needed to be done to give us a framework,  
14 and it just wasn't happening. So ARB, once again.

15 BOARD MEMBER SPERLING: Go ARB.

16 CHAIR NICHOLS: Yeah, exactly.

17 And with that, other comments?

18 Sorry, Judy.

19 Okay. Yes.

20 BOARD MEMBER BALMES: I'll try to be short, I  
21 know it's at the end.

22 Well, first off, as someone concerned about  
23 public health, my responsibility on the Board, I just want  
24 to make it clear, as some of the speakers alluded to, that  
25 CO2 is not -- if it were to leak from one of these

1 underground storage facilities would not be causing health  
2 problems in and of itself. And it's also much less potent  
3 than methane by weight in terms of its climate forcing  
4 characteristics, so I'm less concerned about a blowout  
5 like a Aliso Canyon at a CO2 storage facility.

6 That said, I appreciate the Clean Air Task Force  
7 presenter's concern about site selection. And what I've  
8 learned from my involvement with the Aliso Canyon blowout  
9 is actually Southern California gas tried to get approval  
10 to update the storage facilities at Aliso Canyon, and they  
11 were turned down by the CPUC, because the CPUC's  
12 responsibility -- or one of its responsibilities is to  
13 protect ratepayers from, you know, extra charges.

14 And, in fact, there's this -- this concept of  
15 gold plating, where, you know, a utility, because they're  
16 monopolies, are regulated such that, you know, they get a  
17 standard amount of profit -- I think it's 8 percent or  
18 something like that -- that they're allowed. And every  
19 time that they invest, they get a -- they could actually  
20 increase their profit.

21 So they're -- CPUC is careful about these kinds  
22 of investments. And so I just want to throw a note of  
23 caution in that we have to work with CPUC on some of these  
24 sites, as well as DOGGR, potentially. I mean, I don't  
25 know if some of these sites would be -- have been natural



1 gas storage facilities like Aliso Canyon, but -- that was  
2 an example of siloed policy that really kind of alarmed  
3 me, because if they had actually guaranteed, or upgraded  
4 the integrity of the Aliso Canyon storage sites, we might  
5 not have had the big blowout.

6 So I just wanted to throw that note of caution  
7 in.

8 CHAIR NICHOLS: Well, there certainly are a lot  
9 of geological formations in California that have potential  
10 in this regard. And the biggest impediment really has  
11 been the economics of how to --

12 BOARD MEMBER BALMES: No, I --

13 CHAIR NICHOLS: -- how to make it work out.

14 And the PUC is a part of that. Although, they  
15 have been an active Participant in the past in the task  
16 force to try to make something happen in California, as  
17 has been the Energy Commission, of course. But at the  
18 point that I was most actively involved in this, it was  
19 the Department of Energy that was really leading the  
20 effort and had money to put into it. And the problem that  
21 they had was either by regulation or law, I'm not sure  
22 which, think could only fund a project if it used coal.

23 And so the question was were we going to start  
24 importing coal into California, so we could have a CCS  
25 demonstration project here? That didn't work out well.

1 (Laughter.)

2 CHAIR NICHOLS: So back to the drawing board, I  
3 guess.

4 Anyway. On that note, thank you all for bringing  
5 us up to speed on what you're doing. And as you've heard,  
6 there's quite a lot of interest in seeing you move it  
7 forward. So looking forward to that in the new year.

8 I want to take this opportunity, since there is  
9 nobody who signed up for public comment, to adjourn the  
10 meeting and to do it with our very best wishes for the  
11 staff and for my fellow Board members for a Happy Holiday  
12 and a very peaceful and successful new year.

13 Thank you all.

14 (Thereupon the Air Resources Board  
15 adjourned at 1:31 p.m.)

16

17

18

19

20

21

22

23

24

25

## 1 C E R T I F I C A T E O F R E P O R T E R

2 I, JAMES F. PETERS, a Certified Shorthand  
3 Reporter of the State of California, do hereby certify:

4 That I am a disinterested person herein; that the  
5 foregoing California Air Resources Board meeting was  
6 reported in shorthand by me, James F. Peters, a Certified  
7 Shorthand Reporter of the State of California, and was  
8 thereafter transcribed, under my direction, by  
9 computer-assisted transcription;

10 I further certify that I am not of counsel or  
11 attorney for any of the parties to said meeting nor in any  
12 way interested in the outcome of said meeting.

13 IN WITNESS WHEREOF, I have hereunto set my hand  
14 this 13th day of December, 2016.

15  
16  
17  
18  
19 

20  
21  
22 JAMES F. PETERS, CSR  
23 Certified Shorthand Reporter  
24 License No. 10063  
25