

MEETING

STATE OF CALIFORNIA

AIR RESOURCES BOARD

ZOOM PLATFORM

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY

BYRON SHER AUDITORIUM

1001 I STREET

SACRAMENTO, CALIFORNIA

THURSDAY, APRIL 28, 2022

9:03 A.M.

JAMES F. PETERS, CSR  
CERTIFIED SHORTHAND REPORTER  
LICENSE NUMBER 10063

APPEARANCES

BOARD MEMBERS:

Liane Randolph, Chair

Sandra Berg, Vice Chair

Hector De La Torre

John Eisenhut

Senator Dean Florez

Davina Hurt

Gideon Kracov

Senator Connie Leyva

Tania Pacheco-Werner, PhD

Supervisor Phil Serna

Dan Sperling, PhD

Diane Takvorian

Supervisor Nora Vargas

STAFF:

Richard Corey, Executive Officer

Edie Chang, Deputy Executive Officer, Planning, Freight,  
and Toxics

Chanell Fletcher, Deputy Executive Officer, Environmental  
Justice

Annette Hebert, Deputy Executive Officer, Southern  
California Headquarters and Mobile Source Compliance

Edna Murphy, Deputy Executive Officer, Internal Operations

APPEARANCES CONTINUED

STAFF:

Rajinder Sahota, Deputy Executive Officer, Climate Change and Research

Craig Segall, Deputy Executive Officer, Mobile Sources and Incentives

Ellen Peter, Chief Counsel

Analisa Bevan, Zero-Emission Infrastructure Specialist, Mobile Source Control Division (MSCD)

Joshua Cunningham, Chief, Advanced Clean Cars Branch, Sustainable Transportation and Communities Division (STCD)

Rhead Enion, Senior Attorney Legal Office

Katherine Garrison, Air Resources Engineer, Transportation and Toxics Division

Jennifer Gress, PhD, Division Chief, STCD

Kelli Johnson, Attorney Legal Office

Stephanie Palmer, Air Resources Engineer, ZEV Market Advancement Section, STCD

Sydney Vergis, PhD, Division Chief, MSCD

ALSO PRESENT:

Marc Aprea, ChargePoint

Mitchel Baker, Assistant Deputy Director, California Department of Housing and Community Development

Angie Balderas, Sierra Club My Generation Campaign

Daniel Barad, Sierra Club California

Billy

Nick Blair, Association of California Water Agencies

APPEARANCES CONTINUED

ALSO PRESENT:

Michael Boccadoro

Morgan Caswell, Port of Long Beach

Dave Cook, Rail Propulsion Systems

Kristian Corby, California Electric Transportation  
Coalition

David Craig, California Bioenergy

Carleen Cullen, Cool the Earth

Frank Donnelly, Tractive Power Corporation

Steve Douglas, Alliance for Automotive Innovation

Annabel Drayton, Northwest Energy Coalition

Tyson Eckerle, Deputy Director, Zero-Emission Vehicle  
Infrastructure, Governor's Office of Business and Economic  
Development

Evan Edgar, Edgar and Associates

Ari Eisenstadt, California Environmental Justice Alliance,  
Regenerate California

Bill Elrick, California Fuel Cell Partnership

Sara Fitzsimon, California Hydrogen Business Council

Jay Friedland, Plug In America

Marc Geller, EV Charging for All Coalition

Gillian Gillet, California Department of Transportation

Elliot Gonzalez, Sierra Club

Paula Gruendling, Supervisor, Transportation  
Electrification Section, California Public Utilities  
Commission

APPEARANCES CONTINUED

ALSO PRESENT:

David Haake, MD

Ashley Hernandez, Communities for a Better Environment

Gary Hughes, Biofuelwatch

Aravind Kailas, Volvo Group

Chris King, Siemens Mobility

Tom Knox, Valley Clean Air Now

Kyle Krause, Deputy Director, Codes and Standards,  
California Department of Housing and Community Development

Sofi Magallon, Central Coast Alliance United for a  
Sustainable Economy (CAUSE)

Bill Magavern, Coalition for Clean Air

Kevin Maggay, Navistar International

Lisa McGhee, San Diego Airport Parking Company, GreenPower  
Motor Company

Miles Muller, Natural Resources Defense Council

Natalie Nax, Electric Vehicle Charging Association

Lori Pepper, Deputy Secretary for Innovative Mobility  
Solutions, California State Transportation Agency

Leela Rao, Port of Long Beach

Hannon Rasool, Deputy Director, Fuels and Transportation  
Division, California Energy Commission

Anja Raudabaugh, Western United Dairies

Enrique Rodriguez, Associate Construction Analyst,  
California Building Standards Commission

Priscilla Rodriguez, California Cotton Ginners and Growers  
Association, Western Agricultural Processors Association

APPEARANCES CONTINUED

ALSO PRESENT:

Catherine Ronan, Sierra Club California

Susanna Saunders

Akash Singh, Union of Concerned Scientists

Mikhael Skvarla, California Hydrogen Coalition

Sarah Swickard, Pacific Gas and Electric

Karim Tarraf, Hawa Dawa

Sven Thesen

Francesca Wahl, Tesla

Francis Yang, Sierra Club My Generation Campaign

INDEX

	<u>PAGE</u>
Call to Order	1
Pledge of Allegiance	1
Opening Remarks	2
Item 22-6-1	
Chair Randolph	7
Executive Officer Corey	8
Staff Presentation	11
Tyson Eckerle	23
Paula Gruendling	30
Enrique Rodriguez	34
Kyle Krause and Mitchel Baker	39
Lori Pepper	43
Hannon Rasool	47
Kristian Corby	57
Nick Blair	60
Kevin Maggay	62
Morgan Caswell	65
Marc Geller	67
Sarah Swickard	69
Steve Douglas	71
Anja Raudabaugh	73
Evan Edgar	74
Mikhael Skvarla	77
Aravind Kailas	79
Lisa McGhee	82
Chris King	84
Priscilla Rodriguez	87
Sara Fitzsimon	89
Bill Elrick	91
Board Discussion and Q&A	94
Afternoon Session	130
Item 22-6-2	
Chair Randolph	130
Executive Officer Corey	131
Staff Presentation	133
Marc Aprea	152
Tom Knox	154
Leela Rao	158
Miles Muller	160
Daniel Barad	162
Sven Thesen	164

INDEX CONTINUED

	<u>PAGE</u>
Item 22-6-2 (continued)	
Kristian Corby	166
Bill Magavern	168
Carleen Cullen	169
Annabel Drayton	172
Jay Friedland	173
Lisa McGhee	176
Chris King	178
Akash Singh	180
Gillian Gillet	181
Natalie Nax	184
Susanna Saunders	185
Francesca Wahl	187
Board Discussion and Q&A	189
Public Comment	
Gary Hughes	106
Frank Donnelly	208
Dave Cook	210
Elliot Gonzalez	214
Karim Tarraf	217
Ari Eisenstadt	220
Catherine Ronan	222
Ashley Hernandez	223
Sofi Magallon	225
Angie Balderas	227
Francis Yang	228
Dr. David Haake	230
Andrew Craig	232
Michael Boccadoro	234
Billy	236
Sven Thesen	238
Ceremonial Presentation for Richard Corey	240
Adjournment	261
Reporter's Certificate	262



PROCEEDINGS

1  
2 CHAIR RANDOLPH: All right. Thank you very much.  
3 Good morning, the April 28th public meeting of the  
4 California Air Resources Board will come to order.

5 Do we do the Pledge of Allegiance?

6 BOARD MEMBER SERNA: Yes.

7 CHAIR RANDOLPH: I didn't know that, because we  
8 didn't do it when we were remote. So, okay. What do we  
9 do?

10 There it is. Okay.

11 (Laughter.)

12 (Thereupon the Pledge of Allegiance was  
13 recited in unison.)

14 CHAIR RANDOLPH: Okay. Once again it is great to  
15 be back in person.

16 Okay. Board Clerk will you please call the roll.

17 BOARD CLERK ESTABROOK: Yes. Dr. Balmes?

18 Mr. De La Torre?

19 Mr. Eisenhut?

20 BOARD MEMBER EISENHUT: Here.

21 BOARD CLERK ESTABROOK: Senator Florez?

22 BOARD MEMBER FLOREZ: Here.

23 BOARD CLERK ESTABROOK: Assemblymember Garcia?

24 Ms. Hurt?

25 BOARD MEMBER HURT: Present.

1 BOARD CLERK ESTABROOK: Mr. Kracov?

2 BOARD MEMBER KRACOV: Here.

3 BOARD CLERK ESTABROOK: Senator Leyva?

4 Dr. Pacheco-Werner?

5 BOARD MEMBER PACHECO-WERNER: Here.

6 BOARD CLERK ESTABROOK: Mrs. Riordan?

7 Supervisor Serna?

8 BOARD MEMBER SERNA: Here.

9 BOARD CLERK ESTABROOK: Professor Sperling?

10 BOARD MEMBER SPERLING: Here.

11 BOARD CLERK ESTABROOK: Ms. Takvorian?

12 BOARD MEMBER TAKVORIAN: Here.

13 BOARD CLERK ESTABROOK: Supervisor Vargas?

14 BOARD MEMBER VARGAS: Here.

15 BOARD CLERK ESTABROOK: Vice Chair Berg?

16 VICE CHAIR BERG: Here.

17 BOARD CLERK ESTABROOK: Chair Randolph?

18 CHAIR RANDOLPH: Here.

19 BOARD CLERK ESTABROOK: Madam Chair, we have a

20 quorum.

21 CHAIR RANDOLPH: Okay. Thank you so much. Okay.

22 We will begin with a few housekeeping items before we get

23 started this morning and our housekeeping items are

24 different now that we're in person. You guys are going to

25 get sick of me saying this clearly.

1 (Laughter.)

2 CHAIR RANDOLPH: So we are conducting today's  
3 meeting in person, as well as offering remote options for  
4 public participation both by phone and by Zoom.

5 Anyone who wishes to testify in person should  
6 fill out a request to speak card available in the lobby  
7 outside the Board room. Please turn it into a Board  
8 assistant -- assistant prior to the commencement of the  
9 item. If you're participating remotely, you will raise  
10 your hand in Zoom or dial nine, if calling in by phone.  
11 The clerk will provide further details regarding how  
12 public participation will work in just a moment.

13 For safety reasons, please note the emergency  
14 exits to the rear of the room through the lobby. In the  
15 event of a fire alarm, we are required to activate this  
16 room immediately and go down the stairs to the left of the  
17 elevator and out of the building. When the all-clear  
18 signal is given, we will return to the hearing room and  
19 resume the hearing.

20 A closed captioning feature is available for  
21 those of you joining us in the Zoom environment. In order  
22 to turn on the subtitles, please look for a button labeled  
23 CC at the bottom of the Zoom window, as shown in the  
24 example on the screen now.

25 I would like to take this opportunity to remind

1 everyone to speak clearly and from a quiet location,  
2 whether you are joining us by phone or on Zoom.  
3 Interpretation services will be provided today in Spanish.

4           If you are joining us using Zoom, there's a  
5 button labeled "Interpretation" on the zoom screen. Click  
6 on that interpretation button and select Spanish to hear  
7 the meeting in Spanish. If you are joining us here in  
8 person and would like to listen to the meeting in Spanish,  
9 please notify a Board assistant and they will provide you  
10 with further instructions.

11           I want to remind all of our speakers to speak  
12 slowly and pause intermittently to allow the interpreters  
13 the opportunity to accurately interpret your comments.

14           (Interpreter translated in Spanish)

15           CHAIR RANDOLPH: I will now ask the Board Clerk  
16 to provide more details on today's procedures.

17           BOARD CLERK ESTABROOK: Thank you, Chair  
18 Randolph.

19           Good morning, everyone. My name is Katie  
20 Estabrook and I am one of the Board clerks. I will be  
21 taking care of calling the commenters who are joining us  
22 today remotely and my co-clerk Lindsay Garcia will be  
23 calling on commenters who have signed up to speak and are  
24 joining us here in the room.

25           I'm going to provide some information on how

1 participation will be organized for those who are joining  
2 us in Zoom or are calling in to today's meeting. If you  
3 are joining us remotely and you wish to make a comment on  
4 one of the Board items or during the open comment period  
5 at the end of today's meeting, you will need to be using  
6 Zoom webinar or calling in by phone. If you are  
7 calling -- currently watching the webcast on CAL-SPAN and  
8 you wish to comment remotely, please register for the Zoom  
9 webinar or call in. Information for both can be found on  
10 the public agenda for today's meeting.

11 To make a verbal comment, we will be using the  
12 raise-hand feature in Zoom. If you wish to speak, please  
13 virtually raise your hand as soon as the item has begun to  
14 let us know you wish to speak. To do this, if you are  
15 using a computer or tablet, there is a raise hand button.  
16 If you are calling in on the phone, dial star nine to  
17 raise your hand. Even if you previously indicated which  
18 item you will be speaking on when you registered for the  
19 Zoom webinar, you must raise your hand at the beginning of  
20 the item, so that you can be added to the queue and your  
21 chance to speak will not be skipped. If you will be  
22 giving your verbal comment in Spanish and require an  
23 interpreter's assistance, please indicate so at the  
24 beginning of your testimony and our translator will assist  
25 you. During your comment, please pause after each

1 sentence to allow the interpreter to translate your  
2 comment into English.

3           When the comment period starts, the order of  
4 commenters will be determined by who raises their hand  
5 first. And I will call each commenter by name and will  
6 activate each commenter's audio when it is your turn to  
7 speak. For those calling in by phone, I will identify you  
8 by the last three digits of your phone number. You will  
9 not see a list of commenters in Zoom. However, I will be  
10 announcing the next three or so commenters in the queue,  
11 so you are ready to testify and know who is coming up  
12 next. Please note that you will not appear by video  
13 during your testimony.

14           I would also like to remind everyone to please  
15 state your name for the record before you speak. This is  
16 important -- especially important for those who are  
17 calling in by phone to testify on an item. There will be  
18 a time limit for each commenter. The normal time limit is  
19 three minutes, though this could change based on the  
20 Chair's discretion. During public testimony, you will see  
21 a timer on the screen. For those who are here in person,  
22 there will be a clock running here in the room. And for  
23 those that are calling in by phone, we will run the timer  
24 and let you know when you have 30 seconds left and when  
25 your are time is up. If you do require Spanish

1 interpretation for your comment, your time will be  
2 doubled.

3           If you wish to comment -- if you wish to submit a  
4 written comment on one of the items today, please visit  
5 CARB's send-us-your-comments page or look at the public  
6 agenda on our webpage for links to send these documents  
7 electronically. Comments will be accepted on each item  
8 until the Chair closes that item.

9           If you experience any technical difficulties,  
10 please call (804)772-2715 and an IT person can assist you.  
11 This number is also on the public agenda.

12           Thank you, Chair. I'll turn it back to you.

13           CHAIR RANDOLPH: Thank you.

14           The first item on the Agenda is Item 22-6-1, an  
15 informational update on zero-emission vehicle  
16 infrastructure. If you're here with us in the room and  
17 wish to comment on this item, please fill out a  
18 request-to-speak card and submit it to the Board  
19 assistant. If you are joining us remotely and wish to  
20 comment on this item, click the raise-hand button or dial  
21 star nine now. We will call on both in-person and remote  
22 commenters when we get to the public comment portion of  
23 this item.

24           Zero-emission infrastructure is critical to  
25 meeting our clean air, climate, and community goals. I'm

1 focused on working with many State, and local government  
2 bodies, and the private sector to support deployment of  
3 reliable and accessible zero-emission infrastructure.  
4 Prioritizing equity as we consider how this infrastructure  
5 should be deployed will be critical to the success of that  
6 deployment.

7           It's timely that we're hearing an informational  
8 item today on the State's infrastructure goals and  
9 activities. Many of our regulatory decisions in the  
10 coming year will have a zero-emission technology focus and  
11 infrastructure is critical to the rollout of these  
12 measures.

13           I especially appreciate our partner agencies who  
14 are here to provide a complete picture of the actions that  
15 the State is undertaking in a coordinated way to support  
16 zero-emission infrastructure development.

17           Mr. Corey, will you please introduce the item?

18           EXECUTIVE OFFICER COREY: Yes. Thanks, Chair.

19           And as you mentioned, zero-emission  
20 infrastructure deployment is crucial to meeting our goals.  
21 CARB is working with our State partner agencies, as you  
22 noted, to ensure fueling infrastructure sufficient to  
23 support the market now and as well as in the future for  
24 zero-emission vehicles and equipment.

25           Starting with an overview from CARB's



1 Zero-Emission Infrastructure Specialist, Analisa Bevan,  
2 today we'll hear from a panel of State agency  
3 representatives on the breadth of analysis, planning, and  
4 actions underway to support zero-emission fueling  
5 infrastructure. We'll hear from the Governor's Office of  
6 Business and Economic Development, the California Public  
7 Utilities Commission, the California Building Standards  
8 Commission, the California Department of Housing and  
9 Community Development, the California State Transportation  
10 Agency, and the California Energy Commission. These  
11 activities support the State's ZEV targets outlined in  
12 Governor Newsom's Executive Order N-79-20.

13           To meet the State's ZEV targets, CARB staff are  
14 developing a portfolio of new zero-emission regulations  
15 across many sectors as you know. And in the year ahead  
16 presentation that I gave in January, we touched on  
17 regulations the Board will hear this calendar year.

18           Already, the Board has heard two of these  
19 regulations. In February, the Board adopted the first  
20 Off-Road Fleet Regulation in the nation requiring  
21 zero-emission equipment when it approved the amendments to  
22 the transport refrigeration units Airborne Toxic Control  
23 Measure. In March, the Board considered amendments to the  
24 Commercial Harbor Craft Regulation that included a  
25 zero-emission requirement for vessels.

1           The Board will consider several more  
2 zero-emission regulations this year, among them the  
3 Advanced Clean Cars II this summer and the Advanced Clean  
4 Fleets Regulation later this fall. More regulations from  
5 other sectors will come in the next few years.

6           To meet these needs now and in the future, as  
7 CARB's Zero-Emission Infrastructure Specialist, Ms. Bevan,  
8 is leading CARB's coordinated effort with the State's  
9 partner agencies to ensure a zero-emission infrastructure  
10 network will be in place to support the portfolio of  
11 CARB's planned zero-emission regulations.

12           It is critical that this infrastructure be  
13 equitably distributed and priced, reliable, and open to  
14 all. Ms. Bevan will provide an update on CARB's  
15 activities and coordination with our State agency partners  
16 on the fueling infrastructure system, private and public,  
17 that will increase the operational range and penetration  
18 of zero-emission technologies throughout the State in  
19 rural areas, cities, disadvantaged communities, and  
20 everywhere in between.

21           CARB has been contributing to the development of  
22 infrastructure in several ways, including through  
23 regulation, through providing critical data and analysis  
24 for statewide planning, and through facilitating  
25 communication between regulated parties, fuel providers,

1 and infrastructure providers.

2 With that, I'll now ask Analisa Bevan to begin  
3 the staff presentation that will include presentations  
4 from our sister State agencies, as I noted.

5 Analisa.

6 (Thereupon a slide presentation.)

7 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

8 BEVAN: Thank you, Richard.

9 Good morning, Chair Randolph and members of the  
10 Board. My name is Analisa Bevan. I am CARB's  
11 Zero-Emission Infrastructure Specialist. In this new  
12 role, I've been working with divisions across the agency  
13 who have ZEV programs, as well as with our partner  
14 agencies, with lead rolls in infrastructure planning and  
15 funding to assess needs, coordinate efforts, and assist  
16 with stakeholder engagement. Over the last year, I've  
17 been working with our partners and with staff across CARB  
18 to better understand what concerns stakeholders have  
19 regarding fueling infrastructure and what actions the  
20 State is taking to address those concerns.

21 Today's presentation will provide an overview of  
22 these issues and actions with presentations from six of  
23 our partner agencies on their programs. We welcome  
24 questions and conversation about the infrastructure  
25 rollout and hope that this informational item will help

1 create a foundational background on infrastructure, in  
2 preparation for the upcoming regulatory proposals the  
3 Board will hear this year.

4 As you no doubt know, California is transitioning  
5 aggressively to ZEVs. The Governor's Executive Order  
6 N-79-20 sets targets for a hundred percent new car ZEV  
7 sales by 2035 and full fleet transition of trucks, buses,  
8 and off-road equipment between 2035 and 2045. The time  
9 frames identified in the EO will be achieved through a  
10 variety of actions to build the market, including  
11 regulation, incentives, infrastructure, and educational  
12 outreach.

13 --o0o--

14 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

15 BEVAN: We need to transition to ZEVs in order to meet  
16 health based air quality standards and climate targets.  
17 Many of the measures in the State SIP strategy are ZEV  
18 focused, and similarly, the Draft Scoping Plan scenarios  
19 for reaching our climate emission reduction targets are  
20 dependent on phasing out combustion and growing  
21 electrification for transportation.

22 --o0o--

23 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

24 BEVAN: The ZEV market transformation will not succeed  
25 without fueling infrastructure. How and when

1 infrastructure is deployed is critical to ensuring  
2 success. Equitable access to infrastructure, meaning  
3 convenient, reliable, and affordable access for all is  
4 crucial. This is especially important in communities long  
5 burdened by transportation emissions.

6 Thus, infrastructure activities complement CARB's  
7 regulation actions. The Board has heard and adopted  
8 several regulations recently with ZEV components, and  
9 nearly every motor vehicle and off-road regulation planned  
10 will similarly have ZEV requirements.

11 For today though, I'll focus on two regulations  
12 the Board will hear this year, Advanced Clean Cars II, and  
13 Advanced Clean Fleets, as illustrative of the  
14 infrastructure needs and actions in play.

15 We've heard through development of these  
16 regulations concern about infrastructure issues. This  
17 presentation will cover those issues and many of the  
18 actions the State is taking to address them.

19 --o0o--

20 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST  
21 BEVAN: Considering equity at every step in this  
22 transition to ZEVs is critical. ZEVs have to work for  
23 everyone. They should, in fact, be a pathway to improving  
24 transportation in communities for underserved and  
25 disadvantaged populations. And fueling infrastructure

1 cannot be a barrier to excess -- accessing ZEVs.

2           When building something new, we have an  
3 opportunity to do things differently, to do them right  
4 from the start. That exists now with ZEV infrastructure.  
5 We must keep equity and accessibility in mind while  
6 creating new systems for fueling.

7                               --o0o--

8           MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

9 BEVAN: ACC II is slated to come to the Board in June.

10 This regulation will chart a path to a hundred percent  
11 ZEVs by 2035. The proposal includes several consumer  
12 assurance provisions and I'll touch on the infrastructure  
13 related items.

14           The proposed regulation would require  
15 standardization of the power requirements for on-board  
16 chargers and require vehicles to have DC fast charge inlet  
17 compatible with the SAE CCS standard, taking the state one  
18 step closer to a single standard for DC fast charging.

19           Additionally, the regulation includes a provision  
20 requiring the inclusion of a charging cord set that would  
21 enable convenience charging at either a 110-volt outlet or  
22 a 220-volt outlet.

23                               --o0o--

24           MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

25 BEVAN: The Advanced Clean Fleets Regulation is scheduled

1 to come to the Board in October. This regulation  
2 complements the Advanced Clean Trucks Regulation, which  
3 requires the sale of zero-emission trucks. ACF proposes  
4 requirements that will transition public, drayage, and  
5 high priority fleets to a hundred percent ZEVs by 2040,  
6 and the earliest requirements for fleets to begin  
7 transitioning to ZEVs start in 2024.

8 The variety of fleets included in this proposal  
9 points to the broad infrastructure solution set that will  
10 be needed for these fleets.

11 --o0o--

12 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

13 BEVAN: I'll turn now to what is needed for successful  
14 infrastructure beyond sheer numbers.

15 A focus on home charging, that's -- for  
16 light-duty vehicles the priorities include a focus on home  
17 charging. That's where most fueling happens. It's a  
18 significant benefit of driving an EV and therefore it's  
19 important to ensure all homes, especially multi-family  
20 homes, have access to charging. Similarly, it's important  
21 to establish a robust public charging and hydrogen fueling  
22 network to create an environment where ZEVs can fully  
23 replace conventionally fueled vehicles.

24 We are increasingly hearing concerns that we make  
25 sure there is rural coverage for ZEV fuels, and ensuring

1 equitable access to zero-emission fuels is a top priority.  
2 Consumers need confidence that zero-emission fueling will  
3 be reliable and available. And accessing -- accessing  
4 zero-emission fuel should be as easy as accessing  
5 conventional fuels.

6 --o0o--

7 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

8 BEVAN: On the medium- and heavy-duty side, we've learned  
9 from our ACS development process that fleets need the  
10 following. Both electricity and hydrogen will be relied  
11 upon by fleets sometimes even the same fleet. Equitable  
12 access is a priority especially for small and  
13 owner-operated fleets. A public contract -- a public or  
14 contracted off-site fueling network that supports fleets  
15 with and without access to their own depot fueling is  
16 important.

17 With the proposed implementation schedule for  
18 ACF, we need a rapid and large scale deployment plan.  
19 Fleets want assurance that the grid will be able to handle  
20 the increased and sometimes concentrated load and fueling  
21 standards geared to heavy-duty vehicles for both  
22 electricity and hydrogen are needed to ensure reliable  
23 fueling.

24 --o0o--

25 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST



1 BEVAN: Our panel will demonstrate many State agencies  
2 play a role in supporting the development of needed  
3 zero-emission infrastructure. CARB has several broad  
4 roles, including targeted regulation, a critical  
5 analytical data source for planning, and as a conduit for  
6 communication between vehicle, and infrastructure  
7 stakeholders.

8           Some of our regulatory roles include the  
9 following. We're tasked with adopting and implementing  
10 the EVSE access regulation, which you'll hear more about  
11 in the next item on today's agenda. We include vehicle  
12 provisions that enable infrastructure as part of the ACC  
13 II regulation. CARB is a subject matter expert for  
14 development of the CALGreen Building Standards, HCD and  
15 BSC will cover CALGreen later in this panel. And we  
16 developed fueling protocols and testing standards for  
17 hydrogen.

18                           --o0o--

19           MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

20 BEVAN: As an information source, we hold critical data  
21 regarding vehicle populations and projected fleet changes.  
22 Through programs developed for the statewide SIP and  
23 Scoping Plan, as well as our regulatory development work,  
24 we model zero-emission vehicle market growth. These  
25 projections, along with aggregated production plans,

1 reported to CARB aggregated fleet plans reported through  
2 the Advanced Clean Trucks Regulation feed into  
3 infrastructure planning efforts at energy and  
4 transportation agencies for both electricity and hydrogen.

5 For example, in addition to providing fleet and  
6 inventory data to CEC for infrastructure planning, we're  
7 supporting CTC's development of clean freight corridor  
8 assessments through emissions analysis and fleet data  
9 sharing. And as subject matter experts, we provide cost  
10 analysis and technical expertise in the development of  
11 CALGreen building code requirements for EVSE.

12 --o0o--

13 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

14 BEVAN: As communications facilitator, we act to connect  
15 our regulated communities on the vehicle side, that's  
16 manufacturers, drivers, and fleets, with the  
17 infrastructure solution providers. I'm going to dwell on  
18 this role for a few slides to talk through one example of  
19 how we've been acting in this capacity.

20 Through our ACF workshops, it became clear that  
21 there was a need for concentrated infrastructure  
22 conversations. We held five workgroup meetings to hear  
23 stakeholders' concerns, bring the right experts together,  
24 and talk through issues and solutions. For these  
25 workgroup meetings, we were joined by our partner agencies

1 so that stakeholders could hear firsthand about programs  
2 to address infrastructure needs.

3 We used a large panel format to encourage  
4 back-and-forth dialogue. The panels included up to 40  
5 participants, while over 200 additional stakeholders  
6 listened in and used the chat feature to contribute. And  
7 all of the workgroup meeting recordings are posted on  
8 YouTube.

9 --o0o--

10 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

11 BEVAN: As a way of grounding our workgroup conversations,  
12 we started each meeting with a word cloud exercise site.  
13 We invited all participants to tell us what they worry  
14 about with regard to zero-emission infrastructure topics  
15 we were discussing.

16 The image on this slide was pretty typical of the  
17 feedback we got during these word cloud exercises with a  
18 focus on cost, reliability, grid capacity, and  
19 interoperability.

20 --o0o--

21 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

22 BEVAN: I'd like to provide now a very high level summary  
23 of the more common issues we discussed in these workgroup  
24 meetings. We heard loud and clear that many fleets and  
25 owner/operators will be depending on public

1 infrastructure -- on public infrastructure network, even  
2 if they have a home base and on-site depot fueling.

3           There is concern about the operational  
4 requirements that will be needed for medium- and  
5 heavy-duty fueling as well as overall concern about the  
6 reliability of such equipment. A number of fleets  
7 expressed concern about depending on electricity as a fuel  
8 because of the potential for interrupted service due to  
9 power outages, Public Safety Power Shutoffs or exceeding a  
10 available electrical load.

11           We discussed the environmental impacts of  
12 zero-emission fuels, specifically the availability of low  
13 cost and low carbon intensity hydrogen and electricity,  
14 and we had extensive discussion about the costs and time  
15 needed to install zero-emission infrastructure, and  
16 whether it could be done in time to meet regulatory  
17 timelines for operating zero-emission vehicles.

18           Further, the workgroups talked about equitable  
19 access to infrastructure, especially as it relates to  
20 small fleets and owner/operators. We also had some  
21 discussion around understanding how ZEV infrastructure may  
22 impact or benefit communities. A number of participants  
23 talked about how they may not have site control of their  
24 fleet location, and may not be able to get their landlord  
25 to agree to upgrades needed to install infrastructure.

1           Similarly, they may not have the space to  
2 accommodate zero-emission fueling. And the integration of  
3 on-site energy generation through renewables, coupled with  
4 energy storage, was discussed, especially as a strategy  
5 for ensuring uninterrupted electrical service to ensure  
6 operations are not impacted by power outages.

7                               --o0o--

8           MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

9 BEVAN: I don't want to portray these meetings as having  
10 solved all of those issues. They open the dialogue --

11                               (Laughter.)

12           MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

13 BEVAN: -- connect stakeholders to solutions, and point to  
14 further work. Fundamentally they provide a forum for  
15 listening. We learned that early information sharing is  
16 critical -- is critically important. We want to continue  
17 talking about how we can facilitate that. One concrete  
18 outcome from the meetings at the request of participants,  
19 GO-Biz has created a list of consultants available to help  
20 fleets with infrastructure. It's clear that more outreach  
21 tools, case studies, and opportunities to connect  
22 stakeholders is necessary.

23                               --o0o--

24           MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

25 BEVAN: There are many partners involved in making the

1 zero-emission infrastructure ecosystem work, from  
2 government agencies, to fuel providers, to infrastructure  
3 companies, vehicle manufacturers, and end users. It's  
4 important for all of us to work together. I'd like to  
5 turn now to our panel of State partners.

6 --o0o--

7 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

8 BEVAN: Some of our key partner agencies are here today to  
9 talk about their important roles in developing the  
10 zero-emission infrastructure needed to support the state's  
11 ZEV market.

12 I'd like to introduce our panel now. We have  
13 Tyson Eckerle, the Deputy Director for Zero-Emission  
14 Vehicle Market Development at the Governor's Office of  
15 Business and Economic Development; Paula Gruending,  
16 Supervisor for the Transportation Electrification Section  
17 of the California Public Utilities Commission; Enrique  
18 Rodriguez, Associate Construction Analyst at the  
19 California Building Standards Commission; Kyle Krause,  
20 who's Deputy Director for Codes and Standards at the  
21 Housing and Community Development Division of Codes and  
22 Standards; and Mitchel Baker, Assistant Deputy Director,  
23 for HCD Division of Codes and Standards; Lori Pepper,  
24 Deputy Secretary for Innovative Mobility Solutions at the  
25 California State Transportation Agency; Hannon Rasool,

1 Deputy Director of Fuels and Transportation Division at  
2 the California Energy Commission.

3 So Tyson, I am turning the presentation over to  
4 you.

5 TYSON ECKERLE: Great. Thank you, Analisa, and  
6 thank you, Board. It's great to be here in person  
7 together.

8 --o0o--

9 TYSON ECKERLE: And I think, you know, if you  
10 take a step back and what California's secret sauce really  
11 is I think Analisa described it really well, as an example  
12 those workshops. It's -- you know, we have the right  
13 people at the table. Like, will it be easy, no, but do we  
14 have the right people there to solve the problems together  
15 and the answer is yes. And so that's what gives me a lot  
16 of confidence in folks -- hope.

17 And if you go to the next slide --

18 --o0o--

19 TYSON ECKERLE: -- that's really central to  
20 the -- what we have at the end of this is the staff market  
21 development strategy that we use to coordinate all of our  
22 stakeholders. And the idea there is to get everybody  
23 pulling in the same direction. It's agencies, it's  
24 industry, NGOs, federal government, utilities, you know,  
25 local, regional, tribal governments all pulling that same





1 laid out in the ZEV market development strategy, and then  
2 what we're going to do to help meet those objectives.  
3 It's -- you know, one example is -- you'll hear later,  
4 it's about the EVSE regulation, the importance of equity  
5 and access, and what CARB can do to make sure that EV  
6 drivers have access to charging stations no matter where  
7 their economic strata is and importance of that. And  
8 you'll hear more as you go down the table here.

9 If you go to the next slide --

10 --o0o--

11 TYSON ECKERLE: -- I wanted to zone in. This is  
12 kind of the new thing that we've just pushed out. And  
13 we're aggre -- starting to aggregate data and give a clear  
14 picture, where you can just pick up a couple pieces of  
15 paper and have an understanding for how the market is  
16 performing. And these trend lines look really good. And  
17 this is -- you know, we're not making anything up. We're  
18 just aggregating the data here. This is -- you know, we  
19 pulled the graph from below. You know, through 2021, we  
20 had over 12 percent market share in the light-duty sector.  
21 Quarter 1's 1 data is out now. This -- and we're at 16  
22 percent. So that's trending in the right direction.

23 There's, you know, 159 zero-emission vehicles in  
24 the HVIP Program, which is excellent as well. So we're  
25 trying to figure out ways, you know, we can just take a

1 snapshot. Each quarter we'll be publishing this, so you  
2 can see, okay, do we need to adjust some of these. That's  
3 on the vehicle side.

4 On the infrastructure side, if you go to the next  
5 slide --

6 --o0o--

7 TYSON ECKERLE: -- we just have the light-duty --  
8 you know, use these kind of as fundraising -- like a --  
9 you know, like a fund raising image type of thing. So we  
10 have our 2025 targets and we are on track to meet those,  
11 at least from a funding perspective. There's a lot of  
12 work ahead. This is on the light-duty side. We're  
13 working on the heavy-duty side to, you know, get a better  
14 picture of what that looks like, but oftentimes the  
15 heavy-duty stations are tied directly to fleets. And so  
16 the Energy Commission is actively collecting that data and  
17 we'll figure out how to visual that.

18 If you go to the next slide, you know, the  
19 end-user pillar is always kind of an interesting. Like,  
20 how do you capture a feeling? And are people confident  
21 that they can get into the market.

22 But the one that was interesting to us as a  
23 consumer reports thing, there's, you know, 26 percent of  
24 Californians surveyed in 2020 said they would consider a  
25 zero-emission vehicle or they would buy -- they're going

1 to buy a zero-emission vehicle for their next vehicle,  
2 which is good considering we're at 16 percent market share  
3 now. And but the interesting part is that was that, you  
4 know, compared to four percent of the national market.

5 So we're tweaking these and kind of -- you know,  
6 there's some -- some other -- some numbers up there.

7 And then finally, just on the workforce side, you  
8 know, all this investment, all this regulation -- if you  
9 go to the next slide --

10 --o0o--

11 TYSON ECKERLE: -- has really driven in, you  
12 know, what our -- what we're leading with in California.  
13 And so we're the number one spot for EV-related  
14 manufacturing. So we have over 13,000 EV manufacturing  
15 jobs in California. It's because of our strong regulatory  
16 policy environment and investments we make. We have 43  
17 ZEV-related manufacturers in the State. And we have  
18 investment to do more with that \$250 million that is at  
19 the Energy Commission to help make sure that we keep --  
20 expand and attract ZEV manufacturing. And on the topic of  
21 investment, if you go to the next slide --

22 --o0o--

23 TYSON ECKERLE: -- I won't go into all the  
24 detail. There's a lot of stuff up here and I think we've  
25 heard

1           But the top line thing says \$10 billion is the  
2 proposal. You know, and I think you're all pretty  
3 familiar with that. Up there, there's, you know, two  
4 types text. The black text is what was approved last year  
5 in the California Comeback Plan and then the blue text is  
6 the new stuff that we're adding. There's a bunch of  
7 investment in infrastructure. And Hannon will go into  
8 those details, so I won't -- I'll spare you here.

9           But I did want to also touch on the next slide --

10                           --o0o--

11           TYSON ECKERLE: -- is it's not the State  
12 government anymore, it's the federal government. We have  
13 a lot of investment coming in there, the five billion for  
14 building out EV charging infrastructure, which, you know,  
15 383 million will come to California. There's the  
16 competitive grants, which has 2.5 billion.

17           The hydrogen thing, we're actually coordinating  
18 the hydrogen hub application here at -- through GO-Biz  
19 where there's \$8 billion to create at least four hydrogen  
20 hubs throughout the State -- throughout the United States.  
21 I think we're in a very good position here to leverage  
22 that and create a robust, you know, transportation green  
23 hydrogen network.

24           And then just briefly on that, if you go to the  
25 next slide --

1                   --o0o--

2                   TYSON ECKERLE:  -- you know -- and we can go into  
3 more detail in another time, but, you know, just thinking  
4 about that federal investment and how we couple it with  
5 the State investment, what are we trying to do on the  
6 hydrogen side.  And it's really we're after three core  
7 outcomes: it's time, money, and innovation.  And on the  
8 time side, we're trying to accelerate the time to --  
9 accelerate the market as much as possible, so making sure  
10 that our transition is quick.  I think we can gain 5 or 10  
11 years with this investment.  It's the money side.  Making  
12 sure -- like in California, one of our unique things is we  
13 have the opportunity to create a financially sustainable,  
14 low carbon market.  And it's because of the great policies  
15 that have been permeated by this Board.  Like the Low  
16 Carbon Fuel Standard, for example, is always looked at as  
17 the leading reason that we are -- we have success in  
18 California and can build the economically viable market.

19                   And then on the innovation side, it's innovation  
20 on the technology, but it's also innovation on policy, and  
21 it's also looking at this Board.  And people look to  
22 California to lead and how can we create the economic  
23 signals to make this all gel and come together.  And once  
24 we get to this -- you know, those low cost hydrogen, you  
25 know, per kilogram, lost kilowatt hour for the fleets,

1 it's -- you know, it starts to become game over.

2           And so with that, I want to hand it over to Paula  
3 Gruendling -- did I nail it?

4           PAULA GRUENDLING: Yes.

5           TYSON ECKERLE: Okay -- at the CPUC.

6           Thank you.

7           (Thereupon a slide presentation.)

8           PAULA GRUENDLING: That's a good job, Tyson.

9           Thank you.

10           Good morning. I'm Paula Gruendling. I'm the  
11 Supervisor for the Transportation Electrification Section  
12 at the PUC.

13           So the Transportation Electrification team is  
14 responsible for the assessment of the regulated utilities  
15 transportation electrification budget requests, program  
16 oversight, and evaluation, as well as support on policy  
17 development and implementation. The team also supports  
18 infrastructure, planning activities.

19           Next slide, please.

20   --o0o--

21           PAULA GRUENDLING: So several activities took  
22 place since the release of the 2020 transportation  
23 electrification framework, or TEF, as we call it, which  
24 was a staff proposal on the draft rulemaking. So since  
25 then, we rolled out implementation of Assembly Bill's

1 841's requirement that all utility side of the meter cost  
2 be covered by ratepayers. The tariffs are available for  
3 all customers as of this month. Approved two major  
4 electric vehicle infrastructure programs for Southern  
5 California Edison and San Diego Gas and Electric. We also  
6 issued three decisions and provided other direction  
7 related to the 2020 TEF, so we kept that process going.

8 And we have been working to support alignment of  
9 planning activities related to transportation  
10 electrification, infrastructure deployment.

11 Next slide.

12 --o0o--

13 PAULA GRUENDLING: So the CPUC also issued a  
14 ruling with the staff proposed updates to the 2020 TEF  
15 outlining the structure for programs post-2025. Base on  
16 the feedback that we received on the original TEF and the  
17 activities since its release, the CPUC issued update to  
18 the proposal in February this year. The proposal  
19 establishes funding cycles and sets a budget for funding  
20 cycle 1 starting in 2025. It proposes a third-party run  
21 program for customer side of the meter rebates allowing  
22 the utility to focus on planning and deployment of  
23 customer side infrastructure, which will be quite an  
24 effort. And we expect the decision on these and the other  
25 remaining TEF issues this year.

1           Next slide, please.

2                               --o0o--

3           PAULA GRUENDLING: The staff proposal covers  
4 several updates, but one of the main features is  
5 establishment of funding cycles. So the proposed funding  
6 cycle structure allow for spending of authorized funding  
7 for existing programs through 2024. After that, it  
8 proposes \$1 billion over five years to support customer  
9 side of the meter infrastructure, technical assistance,  
10 and marketing, education, and outreach support, which  
11 would start in 2025.

12           This would be a statewide program, as I said,  
13 focused mainly on medium- and heavy-duty and most unit  
14 dwelling charging infrastructure and use, as we  
15 understand, to need still significant resources to support  
16 electric vehicle adoption growth.

17           And funding cycle 2, which would start in 2030,  
18 would assess the continue need for customer site support  
19 as well as other planning priorities that we identify  
20 along the way.

21           Next slide, please.

22                               --o0o--

23           PAULA GRUENDLING: So on grid planning  
24 activities, CPUC staff has been actively collaborating  
25 with Energy Commission, ARB, and CAISO at the Joint Agency



1 Steering Committee, the JASC, on the development of a high  
2 electrification demand scenario, which would include  
3 buildings and transportation, which would include higher  
4 assumptions for electrification load than what was  
5 included in the 2021 Integrated Energy Policy Report, or  
6 the IEPR.

7 For transportation electrification specific, the  
8 scenario will be forecasting the impact of CARB's pending  
9 Advanced Clean Cars II and Advanced Clean Fleets  
10 regulations over and beyond what would naturally occur out  
11 to 2035. And electrification planning assumptions are  
12 currently scoped in the distribution planning process as  
13 part of the high distributed -- distributed energy  
14 resources proceeding and in the integrated resources  
15 proceeding for assessment of infrastructure needs.

16 Next slide.

17 --o0o--

18 PAULA GRUENDLING: Finally, for the Public Safety  
19 Power Shutoffs, the update I have is that the regulated  
20 utilities are still implementing guidance provided in the  
21 2020 decision. The guidance covers how the utilities are  
22 to notice EV drivers about PSPS events, how they should  
23 increase the resiliency of charging infrastructure during  
24 and after a PSPS event, and how the utilities should  
25 provide off-grid charging options to areas impacted by

1 those events.

2 And that concludes my update. And with that,  
3 I'll pass on to Enrique Rodriguez from the California  
4 Building Standards Commission.

5 Thank you.

6 (Thereupon a slide presentation.)

7 ENRIQUE RODRIGUEZ: Thank you, Paula. I  
8 appreciate that.

9 Good morning, Madam Chair, and Board members. My  
10 name is Enrique M. Rodriguez, Associate Construction  
11 Analyst for the California Building Standards Commission.  
12 Thank you for giving CBSC the opportunity to present a  
13 high level overview of CALGreen, and the CBSC rulemaking  
14 process.

15 --o0o--

16 ENRIQUE RODRIGUEZ: The California Building  
17 Standards Commission's primary functions include the  
18 following: reviewing State building standards proposed by  
19 State agencies; developing building standards for  
20 non-residential occupancies, where there is no other State  
21 agency that has authority within CALGreen; adopting and  
22 approving building standards for publication; codifying  
23 approved building standards; filing approved building  
24 standards with the Secretary of State; contracting to  
25 publish California Building Standards code; and lastly,

1 acting as a State depository for local government  
2 modifications.

3 --o0o--

4 ENRIQUE RODRIGUEZ: A Little CALGreen history.  
5 Title 24, Part 11 is the California Green Building  
6 Standards Code, which we nicknamed to simply say CALGreen.  
7 It's the first in the nation Green Building Standards  
8 Code.

9 Back in 2007, CBSC was directed to develop Green  
10 Building Standards in an effort to meet the goals of  
11 California's landmark initiative Assembly Bill 32, known  
12 as the California Global Warming Solutions Act, AB 32,  
13 Chapter 88 statutes of 2006 added Division 25.5 to the  
14 California Health and Safety Code, an established law  
15 requiring a comprehensive program for the reduction of  
16 greenhouse gas emissions to 1990 levels by the year 2020.

17 Then in 2016 to further the goals of Assembly  
18 Bill 32, AB 32, of 2006, the Legislature enacted Senate  
19 Bill 32 -- SB 32 2016 which required -- requires CARB to  
20 ensure that California's statewide greenhouse gas  
21 emissions are reduced to at least 40 percent below the  
22 1999 -- 1990 levels by the year 2030. This bill was  
23 needed since AB 32's Scoping Plan identified buildings as  
24 the second largest source of California's greenhouse gas  
25 emissions.

1                   --o0o--

2           ENRIQUE RODRIGUEZ:  The main goals for the  
3 CALGreen code are to reduce greenhouse gas emissions in --  
4 from buildings, promote environmentally responsible, cost  
5 effective, healthier places to live and work, reduce  
6 energy and water consumption, respond to the environmental  
7 directives from the administration.

8                   --o0o--

9           ENRIQUE RODRIGUEZ:  The CALGreen Code was first  
10 published in 2008 with an effective date of August 2009.  
11 At the time, the CALGreen code only had voluntary code  
12 provisions.  Then in 2009, it -- during -- for the 2010  
13 CALGreen Code was created and established for the first  
14 time mandatory green regulations, which became effective  
15 January 1 of 2011.

16           The 2010 code was broken down by divisions:  
17 Planning and Design, Energy Efficiency, Water Efficiency  
18 and Conservation, Material Conservation and Resource  
19 Efficiency, and then lastly Division 5, which was  
20 environmental quality.

21                   --o0o--

22           ENRIQUE RODRIGUEZ:  This new 2022 CALGreen code  
23 that was just approved by the Commission is being --  
24 currently being published and will become effective  
25 January 1 of 2023.  We just started our 2022 intervening

1 code adoption cycle. This will develop the supplemental  
2 blue pages in the code books, and then this intervening  
3 code supplement becomes effective July 1 of 2024.

4 A little bit of the current timelines for this  
5 intervening code cycle that we're just started. It  
6 started mid-April with the -- what we call our pre-cycle  
7 workshops. We had a meeting -- a joint workshop BSC, HCD,  
8 and DSA, which was held April 14th.

9 Then between February and March of 2023, we will  
10 have the Code Advisory Committee meetings. Around April  
11 2023, we'll start our 45-day public comment period. And  
12 then in July of 2023, the Commission -- commissioners will  
13 convene and review the proposed rulemaking packages from  
14 the various State agencies.

15 --o0o--

16 ENRIQUE RODRIGUEZ: So for this recently approved  
17 2022 CALGreen Code, the significant changes that will  
18 become effective January 1 of 2023, basically this coming  
19 year, significant expansion of EV regulations for  
20 non-residential occupancies, which include newly  
21 constructed warehouses, grocery stores, and retail stores  
22 with off-street loading spaces, will require mandatory  
23 electric vehicle infrastructure for medium-, heavy-duty  
24 vehicles.

25 For the first time in Division 5.1, it will

1 require mandatory electric vehicle supply equipment,  
2 installations using Level 2 and/or direct current fast  
3 chargers. The use of automatic load management systems  
4 have also been added to the code, as an alternative  
5 compliance method.

6 And then lastly, Tier 1 and Tier 2, voluntary  
7 electric vehicle capable -- capable space code provisions  
8 have been increased from 15 to 30 percent for Tier 1 and  
9 20 percent to 40 percent for Tier 2. Both Tier 1 and Tier  
10 2 require that 33 percent of the EV capable spaces have  
11 electronic vehicle supply equipment installed.

12 --o0o--

13 ENRIQUE RODRIGUEZ: BSC, DSA, and HCD are  
14 currently conducting joint pre-rulemaking workshops with  
15 the first workshop already held on April 14th, 2022. The  
16 upcoming workshops are tentatively scheduled for June  
17 16th, August 18th, and September 22nd.

18 BSC is researching potential code changes for the  
19 intervening code cycle, which will produce the blue  
20 supplemental pages I mentioned before. And some of these  
21 possible changes may include to develop EV infrastructure  
22 for certain additions and alterations, to align with HCD  
23 for low power EV installations, and to develop a reference  
24 standard for automatic load management systems.

25 Finally -- next slide please -- I believe, oh

1 yeah. Finally to get involved with our BSC rulemaking  
2 process, you can attend our workshops and Code Advisory  
3 Committee meetings, and participate in the public comment  
4 periods as well. To stay informed access our website at  
5 [dgs.ca.gov](http://dgs.ca.gov), G-o-v forward slash BSC and visit the contact  
6 us page to sign up for our email notification list.

7 That concludes my presentation. Now, I would  
8 like to hand off the mic to Mr. Kyle Krause and Mitchel  
9 Baker from HCD.

10 (Thereupon a slide presentation.)

11 KYLE KRAUSE: Thank you, Enrique. Good morning.  
12 My name is Kyle Krause. I'm the Deputy Director of  
13 Housing and Community Development's Division of Codes and  
14 Standards. With me today, as you've heard, is Mitchel  
15 Baker, my Assistant Deputy Director who oversees our code  
16 development and analysis section in the State Housing Law  
17 Program.

18 Next slide.

19 --o0o--

20 KYLE KRAUSE: HCD falls under the Business and  
21 Consumer Services and Housing Agency. And we've been  
22 working on EV charging standards for almost a decade, in  
23 partnership with Building Standards Commission, CARB,  
24 Energy Commission, and all of our numerous stakeholders.

25 Next slide, please.

1                   --o0o--

2           KYLE KRAUSE: Mitchel will provide you with  
3 information HCD's authority and role in adoption of Green  
4 Building Standards.

5           Mitchel.

6           MITCHEL BAKER: Thank you, Kyle. Thank you,  
7 Board. The law identifies HCD as a proposing agency and  
8 delineates that HCD must adopt substantially the same  
9 requirements found in the current model codes. Also,  
10 relevant to the conversation HCD was charged with, pun  
11 intended, proposing for adoption multi-family electric  
12 vehicle charging infrastructure requirements, which I'm  
13 happy to report we accomplished through the triennial code  
14 adoption cycle.

15           HCD is also responsible for maintaining  
16 regulations in Title 25 of the California Code of  
17 Regulations. And as Enrique discussed, the Building  
18 Standards Commission takes on the role of a charge agency  
19 for Building standards.

20           Next slide.

21                   --o0o--

22           MITCHEL BAKER: HCD's role -- HCD's role includes  
23 proposing for adoption CALGreen Building Standards for  
24 residential occupancies. During the last triennial code  
25 adoption cycle, HCD made a quantum leap in launching



1 actual charger requirements from multi-family housing,  
2 hotels and motels, expanding on the 10 percent capable  
3 parking space requirements. The proposals which are  
4 effective January 1st, 2023, include, 25 percent low level  
5 power two receptacles.

6 Additional, five percent low level charger 2 are  
7 required when 20 or more dwelling units or guest rooms are  
8 provided. There are also triggers in place when parking  
9 facilities expand or undergo alterations. Is it important  
10 to note that building standards -- and these building  
11 standards in particular apply to new construction, and  
12 there are statutory protections in place for existing  
13 buildings to maintain their current construction.

14 Next slide.

15 --o0o--

16 MITCHEL BAKER: The next cycle is the 2022  
17 intervening code adoption cycle. And HCD plans to work  
18 closely with stakeholders through the newly reformed  
19 CALGreen EV Workgroup to incrementally and responsibly  
20 increase charging access in multi-family housing, hotels,  
21 and motels. We anticipate stakeholders will express the  
22 desire for more Level 2 -- low Level 2 power chargers or  
23 receptacles.

24 Back to Kyle.

25 --o0o--

1 KYLE KRAUSE: Thank you Mitchell.

2 Next slide, please.

3 --o0o--

4 KYLE KRAUSE: So in addition to our recent  
5 accomplishments achieving low power Level 2 charging  
6 receptacles --

7 (Phone disconnected.)

8 BOARD CLERK ESTABROOK: Okay. We're just going  
9 to take a break so we can reconnect to the Zoom, the  
10 call-in number, so people can hear us.

11 Chris, can you put up a technical difficulties  
12 slide.

13 Sorry, for the interruption.

14 (Laughter.)

15 (Reconnected to Zoom)

16 BOARD CLERK ESTABROOK: All right. We're ready  
17 to get back started.

18 KYLE KRAUSE: Thank you. Kyle Krause, HCD.

19 Just to get back into our presentation. As  
20 Mitchel pointed out, we were successful in increasing EV  
21 charging access in multi-family hotels and motels  
22 effective January 1st by adding 10 percent -- or I'm  
23 sorry, 25 percent EV charging receptacles. These are the  
24 low power Level 2 receptacles and also five percent of the  
25 parking will have Level 2 chargers -- full power Level 2

1 chargers.

2           Some of the challenges we face looking forward  
3 that we all need to be concerned about are concerns with  
4 the grid stability and challenges related to the grid and  
5 infrastructure. There's also cost barriers, such as  
6 retrofitting of existing buildings and utility company  
7 service capacity potential challenges, as well as on-site  
8 electrical panel capacity to handle additional electrical  
9 loads. These can present significant challenges to  
10 providing EV charging access, as well as identifying  
11 appropriate triggers to require retrofitting of existing  
12 building parking facilities. So that concludes HCD, now  
13 I'll kick it over to Lori with Cal STA.

14           LORI PEPPER: Great. Thanks so much, Kyle.

15           (Thereupon a slide presentation.)

16           LORI PEPPER: Good morning, Chair Randolph and  
17 members of the Board. Thanks so much for having me here  
18 today. I'm Lori Pepper and I'm the Deputy Secretary for  
19 Innovative Mobility Solutions at the California State  
20 Transportation Agency, which oversees the eight  
21 transportation-related State departments. In my role, I  
22 work to apply technology and best practices to the  
23 transportation ecosystem to ease mobility for people,  
24 goods, and services through the state.

25           So I work on a wide variety of issues, which

1 includes ZEV infrastructure. And today, I'm going to  
2 provide a brief overview of the Climate Action Plan for  
3 Transportation Infrastructure, or CAPTI, with which I  
4 believe you are all very well knowledgeable about, and how  
5 it addresses ZEV infrastructure investment, as well as a  
6 status update on the implementation of the National  
7 Electric Vehicle Infrastructure Program, or NEVI, which  
8 was created by the partisan infrastructure law.

9 I also want to note that we have a webpage on our  
10 website that provides resources related to implementation  
11 of the transportation provisions of the federal  
12 infrastructure law.

13 Next slide, please.

14 --o0o--

15 LORI PEPPER: So on July 12th, 2021, CalSTA  
16 unveiled the final version of CAPTI, which details State  
17 recommendations on investing discretionary State tran --  
18 or discretionary transportation dollars to aggressively  
19 combat and adapt to climate change, while supporting  
20 public health, safety, and equity. CAPTI builds on  
21 executive orders signed by Governor Gavin Newsom in 2019  
22 and 2020 targeted at reducing greenhouse gas emissions in  
23 transportation.

24 CalSTA developed the draft -- or developed the  
25 CAPTI through collaboration with many different State

1 agencies, including the ones represented on today's panel,  
2 along with extensive outreach and engagement with hundreds  
3 of stakeholders.

4           One of the investment strategies highlighted in  
5 CAPTI is to include deployment of light-, medium-, and  
6 heavy-duty zero-emission vehicle infrastructure as part of  
7 larger transportation projects, while supporting market  
8 innovation and equitable access to all.

9           I included an additional slide in your written  
10 materials to show how ZEV infrastructure deployment  
11 investments fit into the rest of the CAPTI principles.

12           Next slide, please.

13   --o0o--

14           LORI PEPPER: So I want to first establish that  
15 implementation of the NEVI program is currently fluid as  
16 we are working with partner agencies and public  
17 stakeholders to create the deployment plan due to the  
18 federal joint office, which is an entity borne out of the  
19 U.S. Departments of Transportation and Energy.

20           So California expects to receive 383.7 million  
21 over five years to create a battery charging  
22 infrastructure network in the State. The guidance  
23 released by federal -- by the federal government tells us  
24 that the network should be publicly accessible and should  
25 first fill gaps in existing alternative fuel corridors.

1 So the plan I referenced earlier is due to the joint  
2 office by August 1st. And we will receive feedback and  
3 approval through Federal Highway Administration, or FHWA,  
4 by September 30th. Following approval of the deployment  
5 plan, FHWA will begin to release funding.

6 Next slide, please.

7 --o0o--

8 LORI PEPPER: We are creating a formal agreement  
9 with the Energy Commission that will rely on existing  
10 expertise at both Caltrans and the CEC in order to  
11 implement -- implement the NEVI program. And so this  
12 includes following the equitable access principles of the  
13 California Integrated Travel Program, also known as  
14 Cal-ITP, for inclusive payment systems filled out for all  
15 payment cards to be used, whether they're equipped with  
16 swipe, chip, or tap technology.

17 And the collaboration with the CEC would also  
18 ensure that this funding fits in with the principles of  
19 the ZEV Infrastructure Plan that the CEC is currently  
20 developing. We created a public stakeholder working group  
21 called Transition to Zero Emissions that currently focuses  
22 on NEVI implementation and expect to create additional  
23 venues for public input as the process progresses.

24 Finally, we are going to launch the NEVI  
25 Coordinating Council with the CEC to formalize State

1 agency input. And with that, I will turn it over to  
2 Hannon Rasool awe energy commission.

3 (Thereupon a slide presentation.)

4 HANNON RASOOL: Great. Thank you. Good morning.  
5 My name is Hannon Rasool. And I'm the Deputy Director of  
6 the Fuels and Transportation Division at the California  
7 Energy Commission.

8 California has a strong history of thoughtful  
9 policies, robust incentive programs, and regulations that  
10 provide direction to the market. In fact, that clear  
11 direction and signal has encouraged additional private  
12 investments in infrastructure and will continue to do so.

13 The Energy Commission and other agencies have  
14 made significant investments to prepare California for an  
15 equitable transition to zero-emission vehicles. State  
16 public investments are designed to complement private  
17 investments and to address gaps and ensure equity. This  
18 includes low income, disadvantaged communities, rural  
19 access, and also small businesses and independent  
20 owner/operators.

21 Significant and meaningful investments by the  
22 Energy Commission, the Public Utilities Commission, CARB,  
23 CalSTA, and Caltrans to name a few have already been made.  
24 Utilities have also made significant investment in equity  
25 and access across all vehicle segments. We also see

1 investments from local agencies and from the federal  
2 government as has been noted, both existing investments  
3 historically and also these new opportunities.

4           And then the private industry has also really  
5 been stepping up, because it is good business sense to  
6 invest in the future, as the world adopts to these new  
7 technologies.

8           Let me talk a little bit about our statewide  
9 Zero-Emission Vehicle Infrastructure Plan, or ZIP. This  
10 is a concise document, which describes and complements  
11 infrastructure planning efforts already underway and it  
12 relies on a data-driven approach. It is -- excuse me. It  
13 is an examination of on-site infrastructure but also grid  
14 readiness. We are on our way to deploying infrastructure  
15 at all levels, and we do not anticipate infrastructure  
16 being a barrier to our State goals with the sound  
17 investments we have been making and plan to make.

18           There is work to be done and we need to continue  
19 that work, but it is not insurmountable. Regulations and  
20 public investments can in fact send an important signal  
21 and encourage additional private investment. I want to  
22 note that the ZIP was developed through extensive  
23 cross-agency collaboration and public outreach. And many  
24 efforts feed into the ZIP, including planning and modeling  
25 efforts. I'll discuss a few including AB 2127, Senate



1 Bill 1000, and Senate Bill 643.

2 AB 2127 directed the Energy Commission to conduct  
3 a statewide assessment of the EV infrastructure needed to  
4 support five million ZEVs by 2030. We actually used eight  
5 million ZEVs by 2030 as our base case. Our inaugural  
6 report was released in 2021 and we plan to update it every  
7 two years. And we've already begun work on the second  
8 report.

9 The Energy Commission has deep modeling expertise  
10 and we seek to refine with each iteration. And we examine  
11 through this report both the light-duty Passenger vehicle  
12 infrastructure that we need as well as the medium-duty,  
13 heavy-duty truck and bus infrastructure. The Energy  
14 Commission analysis finds that we need to continue our  
15 scale-up in charging infrastructure to meet our goals for  
16 2030.

17 But again, it is achievable with strategic  
18 investments and it's achievable under several different  
19 scenarios, including the new investments that have been  
20 proposed by this year's State budget, which will help  
21 accelerate and create broader access.

22 On the light-duty side, we estimate that we need  
23 1.2 million light-duty chargers, and that was to support  
24 eight million vehicles. I want to note that that is a  
25 more aggressive scenario than ACC II. On the medium-duty,

1 heavy-duty side, an additional 160,000 chargers are needed  
2 by 2030. And we're starting our second phase of modeling  
3 through the HEVI-LOAD model. And we're committed to  
4 ongoing refinement and analysis as that Market matures as  
5 well.

6           With good planning, these vehicles will be good  
7 citizens of the grid. Some, but not all load, will be  
8 flexible load and respond to grid signals and rate design.  
9 This is one of many strategies to integrate the new load,  
10 including bi-directional functionality to create on-site  
11 resiliency, integration of solar and stationary storage,  
12 and State agencies are considering impacts of distributed  
13 energy resource proceedings across the board, knowing that  
14 no one size fits all.

15           Senate Bill 1000 is the examination of equity  
16 across three metrics, another report we did. This looks  
17 at population density, geographic distribution to ensure  
18 rural access, and also population income level, including  
19 low, middle, and high. And this analysis will inform our  
20 investments to target and remake our -- our investments  
21 and to address gaps.

22           And then Senate Bill 643 directs the Energy  
23 Commission to prepare a statewide assessment of hydrogen  
24 fuel cell electric vehicle infrastructure and hydrogen  
25 fuel production. We will continue to examine fuel

1 production, distribution, and infrastructure to meet our  
2 goals. Additionally, there is these Sustainable Freight  
3 Action plan, also a multi-agency effort and Senate Bill  
4 671, which established a Clean Freight Corridor efficiency  
5 assessment.

6           Next, let me talk about grid readiness. I know  
7 it's an interesting topic for a lot of folks. Grid  
8 resiliency and reliability and core components of our  
9 mission. And it is also a multi-agency planning effort.  
10 A lot of proactive work is being done and we continue to  
11 refine and improve in this area too, including the  
12 addition of a high electrification scenario in our 2021  
13 IEPR.

14           The transition to zero-emission vehicles is not  
15 expected to create a new systemwide peak. We will see new  
16 distribution circuit peaks, which we'll actively address.  
17 We do not expect a new systemwide peak. The State has  
18 advanced electric system planning processes and electric  
19 demand forecasting capabilities. The State agencies  
20 actively coordinate and collaborate on system planning.  
21 And again, this includes the Energy Commission's IEPR,  
22 which includes an energy demand forecast; CAISO  
23 transmission planning; and PUC integrated resource  
24 planning. And we continue to add new capacity to the grid  
25 where it is needed. In fact, we include -- we added

1 approximately 2,000 megawatts of new battery storage  
2 resourced to the grid within the last year.

3           Finally, let me talk a little bit about our  
4 funding solicitation. The Energy Commission has invested  
5 over \$1 billion towards transportation through the end of  
6 last year, and we're accelerating our investments. We  
7 will deploy at least another 1.2 billion in the coming  
8 years. And with these -- with this year's proposed  
9 budget, we'd add another two billion on top of that. And  
10 this is on top of the other Investments you've heard about  
11 today, including from the Public Utility Commission and  
12 other agencies.

13           We continue to build on successful existing  
14 programs and create new ones to target gaps. We leverage  
15 private investments through match funding requirements and  
16 will invest where the private market may not otherwise  
17 invest. We rely on a public stakeholder process and  
18 outreach to inform these investments.

19           On the light-duty side, we target our investments  
20 for disadvantaged communities, rural communities, low  
21 income and multi-unit dwellings, such as apartments. We  
22 use federal and State funding to create a strong network  
23 of high-powered fast chargers along travel corridors and  
24 in communities, and we expect to meet our 250,000 charger  
25 goal by 2025.

1           With this year's budget, we'll add funding and  
2     deploy towards our 2030 goals as well, all while  
3     supporting the private market and their investments.  
4     Specific solicitations include BESTFIT, which focused on  
5     innovative solutions. We funded a new solicitation for  
6     high-mileage vehicles, including Lyft, Uber and others.  
7     We launched a rural communities solicitation to deploy  
8     chargers in rural communities, and launched a multi-family  
9     housing solicitation to deploy chargers to support  
10    apartments, condos, and renters. And that is on top of  
11    launching several large block grants for broad and rapid  
12    deployment across all segments. Additionally, we've made  
13    significant investments in hydrogen fueling stations on  
14    our way to 200 stations to support 290,000 fuel cell  
15    vehicles.

16           Similarly on the medium-duty, heavy-duty side, we  
17    make broad investments to support the full range of trucks  
18    and buses, including retail charging stations open to the  
19    public and also those at depot behind a fence line. Our  
20    flagship program EnergIIZE is a block grant program, the  
21    nation's first statewide program for zero-emission  
22    vehicles. And this complements the investments made  
23    through HVIP. This supports both electric and hydrogen.  
24    And again, this will fund publicly available retail  
25    stations, as well as those dedicated behind the fence for

1 depot infrastructure. We support rural communities and  
2 those vehicles that do not return to base every night.  
3 And this will support independent owner/operators as well.

4 HVIP and EnergIIZE have a common implementer and  
5 are very much coordinated across the vehicle and  
6 infrastructure segments. A few solicitations in this  
7 segment include a drayage truck solicitation, which was  
8 done jointly between CARB and the Energy Commission to  
9 fund vehicles and infrastructure, both electric and  
10 hydrogen. We also had a zero-emission transit fleet  
11 infrastructure solicitation, which had a focused funding  
12 category for small fleets in rural areas. We have funded  
13 planning grants for ports and for fleets to plan for a  
14 hundred percent ZEV future. And we continue to advance  
15 our efforts for medium-duty, heavy-duty and coordinate  
16 with CARB to target gaps.

17 These investments put us in an excellent position  
18 to reach our zero-emission operations for both passenger  
19 vehicles and trucks and buses. State agencies will  
20 continue to collaborate and coordinate to support  
21 individuals, fleets, and California businesses. And this  
22 is all anchored by significant infrastructure investments  
23 by State agencies coupled with private investments.

24 In conclusion our goals are achievable. Thank  
25 you and I'll hand it back to Analisa.

1 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

2 BEVAN: Thank you, Hannon. I'd like to round out our  
3 panel today with a few next steps.

4 --o0o--

5 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

6 BEVAN: As mentioned, the Board will hear several  
7 regulations in the coming year that will need supporting  
8 fueling infrastructure for market success and, in some  
9 cases, have regulatory provisions directly supporting  
10 infrastructure implementation. I hope this presentation  
11 demonstrates the level of coordination taking place across  
12 agencies and programs. Clearly, continued tight  
13 coordination is needed, especially in our planning and our  
14 funding programs.

15 As our workgroup meetings demonstrated, bringing  
16 stakeholders together is valuable. We commit -- committed  
17 to continuing the dialogue between parties with a  
18 solutions orientation. And we look forward to tracking  
19 our progress in developing needed infrastructure across  
20 sectors and throughout the ZEV market development. I hope  
21 today's presentations also demonstrate the agency's clear  
22 commitment and focus to establishing successful  
23 zero-emission infrastructure.

24 I've been working in the ZEV space for about 25  
25 years and I'm deeply encouraged by the level of

1 cooperation between agencies that I see happening now. We  
2 have today, thanks to the Governor's Executive Order, the  
3 SIP strategy, the scoping document, the ZEV market  
4 development strategy document, and the energy planning  
5 documents a shared vision to reach the State's ZEV goals  
6 and priorities.

7 We look forward to continuing these efforts  
8 together. And this concludes our presentation and we look  
9 forward to answering the Board's questions and to  
10 discussion.

11 Thank you.

12 CHAIR RANDOLPH: Okay. Thank you for that great  
13 presentation. We will now hear from the public who signed  
14 up to speak on this item, either by submitting a request  
15 to speak card or by their raised hand in Zoom. So I will  
16 ask the Board clerks to get started on calling the  
17 commenters.

18 BOARD CLERK ESTABROOK: Yes. Thank you, Chair.

19 I will be calling on the commenters who have  
20 raised their hands in Zoom and Clerk Lindsay Garcia will  
21 call on those of you who have signed up to speak here in  
22 the room.

23 We currently have six commenters a with their  
24 hands raised to speak on this item in Zoom. If you wish  
25 to speak verbally on this item, please make sure you raise



1 your hand or dial star nine in Zoom. I apologize in  
2 advance if I mispronounce your name. And I would like to  
3 remind all commenters to please speak slowly and clearly  
4 for our interpreters and court reporter.

5 The first three commenters are Kristian Corby,  
6 Nick Blair, and Kevin Maggay.

7 Kristian, you can unmute and begin.

8 KRISTIAN CORBY: Good morning. Hi. My name is  
9 Kristian Corby and I am the Deputy Executive Director at  
10 the California Electric Transportation Coalition.

11 First, I want to thank the CARB Board and all of  
12 the agencies present today. This is exactly the  
13 conversation that we need to be having right now and these  
14 are the challenges that we face -- infrastructure  
15 challenges we face to reach our goals.

16 My comments today are going to focus on the  
17 medium- and heavy-duty ZEV infrastructure side. As we all  
18 now the ZEV -- ZEV trucks and infrastructure are in their  
19 very early stages of market development. And we need all  
20 of the tools available right now to help our transition to  
21 our transportation system, both vehicle and infrastructure  
22 incentives and a forward-looking planning process that  
23 helps identify locations for early infrastructure  
24 investment.

25 I strongly recommend that CARB continue the

1 Advanced Clean Fleets infrastructure meetings. They've  
2 been a very valuable forum for fleets and other  
3 stakeholders to discuss concerns and challenges. And I  
4 think as the regulation progresses, it will be an even  
5 more valuable resource and forum.

6           So to give a quick sense of a couple of the  
7 cutting-edge examples of medium- and heavy-duty  
8 infrastructure installations right now, Southern  
9 California Edison in partnership with EPRI and CALSTART  
10 received a RHETTA grant from the CEC to develop two demo  
11 sites for high-powered truck charging. They were awarded  
12 \$13 million and they were -- they're going to install two  
13 sites, one near the ports of Long Beach and LA and another  
14 in Ontario. And the RHETTA project is a very promising  
15 step forward and shows that the technical specifications  
16 and site designs, especially for high-powered --  
17 high-powered public truck charging are still in  
18 development.

19           So another example would be from private industry  
20 that's moving forward quite well is WattEV, they've  
21 created a truck as a service business model and are  
22 currently installing charging depots for medium- and  
23 heavy-duty trucks that are planned to open at the end of  
24 this year.

25           So for public charging, we can see that the

1 market is progressing, but still in a very nascent stage.  
2 And one of the things we need to identify are locations  
3 that are low to no risk for infrastructure deployment.  
4 Places that there's already a lot of truck traffic or  
5 parking and public charging will ultimately be a necessity  
6 there.

7           The West Coast Clean Transit Corridor Initiative  
8 and the California Regional Charging Network that was put  
9 together by the California utilities just the beginning of  
10 this year are both initiatives that are working on this  
11 issue. Public charging for trucks is developing. But  
12 clearly the fastest to electrify fleets will be those that  
13 can install their own infrastructure and operate a  
14 return-to-base style of charging. These entities will  
15 normally be well capitalized and own their property where  
16 their trucks park, which as we learned --

17           BOARD CLERK ESTABROOK: Thank you.

18           KRISTIAN CORBY: -- meeting was --

19           BOARD CLERK ESTABROOK: That concludes your time.

20           KRISTIAN CORBY: So I just want to -- yes, thank  
21 you very much. Thank you very much for your time.  
22 Appreciate it.

23           BOARD CLERK ESTABROOK: Thank you.

24           Next will be Nick Blair. Nick, you can unmute  
25 and begin.

1           NICK BLAIR: Good morning, Board members. I'm  
2 Nick Blair with the Association of California Water  
3 Agencies representing 460 public water agencies throughout  
4 Southern California and delivering approximately 90  
5 percent of water to California for domestic, agricultural,  
6 and industrial uses.

7           We appreciate the opportunity to comment today  
8 and have been active participants in the Advanced Clean  
9 Fleet Rule as well as others such as the CTC's ZEV  
10 Infrastructure Plan. I'll start by saying we appreciate  
11 the many dialogue opportunities we've had so far with  
12 agency staff and also with CARB Board members. I'm  
13 talking about the development of the Advanced Clean Fleets  
14 Rule and. We appreciate meetings like this where the  
15 various State agencies are working in tandem on the  
16 different efforts.

17           I do agree with Kristian Corby the continuing  
18 work group efforts on the Advanced Clean Fleets Rule is  
19 very good for dialogue between staff and stakeholders.

20           I'll be brief in my comments. Going back to  
21 Analisa Bevan's noted stakeholder concerns just to give a  
22 little flavor from ACWA's perspective, we have concern  
23 with charging infrastructure availability to meet medium-  
24 and heavy-duty fleet needs that require -- for duty cycles  
25 that require 12-, 16-, to 24-hour days. Initial

1 assessments by our members show that the capabilities of  
2 vehicles still raise concerns at this point as far as  
3 sizing and installing infrastructure. And duty cycles are  
4 case specific by agency, so there is no one-size-fits-all.  
5 So we will continue to provide input on that.

6 Also, we have concern about the cost of public  
7 water agencies to -- for starting up -- putting in  
8 infrastructure. The discussion on charging infrastructure  
9 has focused mainly on publicly accessible stations, but we  
10 want to continue the conversation on the needed start for  
11 public agencies to ensure that our operational demands are  
12 met throughout our service territories.

13 And thirdly, as noted in the presentation, grid  
14 reliability is a big -- is a big concern for us and the  
15 ability to charge essential public fleets is a  
16 consideration we have during PSPS events and during normal  
17 times. We want to be sure that the electric grid can meet  
18 the need -- meet the needs of our fleets as well as all of  
19 California's fleets as we continue to electrify. So I'll  
20 leave it at that.

21 Thank you for the opportunity to talk today. We  
22 will absolutely continue to partake in these conversations  
23 with comment letters, scheduling additional Board member  
24 meetings, and look forward to continued dialogue.

25 Thank you.

1 BOARD CLERK ESTABROOK: Thank you.

2 Our next speak will be Kevin Maggay. After  
3 Kevin, will be Morgan Caswell, Leela Rao, and Marc Geller,  
4 and then we will turn to some commenters in the room.  
5 Kevin, you can unmute and begin.

6 KEVIN MAGGAY: Hi. Can you guys hear me?

7 BOARD CLERK ESTABROOK: Yes, we can.

8 KEVIN MAGGAY: Thank you.

9 Good morning, Chair Randolph, Vice Chair Berg,  
10 and Board members. My name is Kevin Maggay. I'm with  
11 Navistar International. Navistar is one of the largest  
12 truck manufacturers in the country that sells  
13 international brand Class 4 through 6 commercial trucks,  
14 IC brand school and commercial buses. The company is  
15 based in Lisle, Illinois and has more than 11,000  
16 employees at our facilities throughout North America. My  
17 comments are specific to the medium- and heavy-duty  
18 sector.

19 Navistar was actually one of the first heavy-duty  
20 truck manufacturers to develop and deploy an all-electric  
21 delivery commercial van, the eStar, in 2009. Maybe that  
22 was a little bit head of its time. Today, Navistar is  
23 focused both on battery and fuel cell electric commercial  
24 vehicles. Navistar has commercial offerings and we are  
25 currently selling battery electric school buses and all

1 electric EV series medium-duty trucks to customers.

2           Also, Navistar and GM announced at partnership to  
3 develop and manufacture fuel cell Class 8 on-highway  
4 trucks for market by 2024. Navistar is -- fully supports  
5 the transition to a zero-emission future. But in order to  
6 properly transition, we all know that infrastructure is  
7 integral, but it also remains the largest hurdle for us to  
8 overcome. And I'm sure you already know and others will  
9 bring up all the challenges in just building out the  
10 infrastructure, so I won't get into that, but I do want to  
11 stress the timing of deployment and the urgency of  
12 deployment.

13           OEMs have requirements through the Advanced Clean  
14 Truck Regulation to sell zero-emission trucks, the  
15 Advanced Clean Fleet Regulation, which will soon be  
16 considered by the Board will -- would require fleets to  
17 purchase trucks. The deployment of infrastructure needs  
18 to keep pace with the vehicle deployment requirements in  
19 these regulations.

20           In fact, I think infrastructure deployment needs  
21 to exceed the pace of vehicle regulations. I think the  
22 infrastructure, needs to come first. This needs to give  
23 truck users some piece of mind that they can charge, while  
24 they're doing their job.

25           We announced our -- we're confident in our

1 products, just as a -- as I'm sure other OEMs area, but  
2 very concerned with the infrastructure, because the  
3 ultimate success of our products will rely on  
4 infrastructure. And we're very concerned with the  
5 near-term term availability of both private and public  
6 charging.

7           As, yes, we need to focus on immediate near-term  
8 rollout of infrastructure because there are immediate  
9 near-term requirements and users that -- as I mentioned.  
10 There's not enough sufficient infrastructure, users can't  
11 do their job, and quite frankly it makes electric trucks  
12 look bad, if they can't know where to charge. This is  
13 especially true for vocations like drayage that rely  
14 almost exclusively on public fueling or charging and have  
15 zero-emission requirements as soon as 2024, which is about  
16 a year and a half away.

17           We do appreciate all the efforts being made here  
18 by all the different agencies. California is clearly the  
19 leader in this space, but we don't have the luxury of only  
20 looking 5, 10 15, 20 years out anymore. We need to take  
21 things farther and faster, and we hope that the agencies  
22 on the panel can collectively and quickly develop and  
23 implement mechanisms to accelerate the immediate  
24 deployment of charging.

25           With zero-emission requirements right around the



1 corner, I feel that we're already behind on medium- and  
2 heavy-duty infrastructure and we need action and we need  
3 deployment now.

4           So thank you and we look forward to working with  
5 you on this urgent issue.

6           BOARD CLERK ESTABROOK: Thank you.

7           Next is Morgan Caswell. Morgan, you can unmute  
8 and begin.

9           MORGAN CASWELL: Great. Thank you. Good  
10 morning. I want to thank, you know, the California Air  
11 Resources Board for this opportunity to provide public  
12 comment. My name is Morgan Caswell and I am the Manager  
13 of Air Quality Practices at the Port of Long Beach.

14           We appreciate the actions the State is taking to  
15 address the substantial challenges infrastructure poses to  
16 successfully transition light-, medium, and heavy-duty  
17 vehicles to zero emission. I'd like to focus my comments  
18 on the importance of prioritizing funds for public  
19 charging to serve the drayage truck industry. The draft  
20 Advanced Clean Fleets Regulation as written proposes a new  
21 requirement that any new drayage trucks entering the State  
22 Truck Registry must be zero emission starting in 2024.

23           However, there are only a handful of planned  
24 public charging stations near the San Pedro Bay ports,  
25 based on our Public Trust charging and fueling studies

1 that was published late last year. While there is a lot  
2 of charging infrastructure funding that will become  
3 available, each program that administers grant funds will  
4 have different requirements. Private investment in the  
5 buildout of public charging infrastructure will be  
6 critical as well as the support of public subsidies.

7 Grant programs should allow these private parties  
8 to apply directly for funding, but a lot of the funding on  
9 the table today that is reference in public presentations  
10 are restricted to government entities or nonprofits and  
11 fund a variety of project types, above and beyond vehicle  
12 infrastructure.

13 The Port Infrastructure Development Program is a  
14 great example of a program that will be oversubscribed for  
15 not simply public charging, but also traditional  
16 infrastructure projects, such as rail and other efficiency  
17 improvements, great data exchange projects, resiliency  
18 projects, environmental projects such as shore power,  
19 clean harbor craft and zero-emission cargo handling  
20 equipment.

21 We need regional infrastructure now. And while  
22 government in particular will have an important role to  
23 play, a sustainable charging network -- network can only  
24 be built if the business case makes sense to private  
25 entities long term and they need the public subsidy to

1 make it work in the early years.

2 Further, if we look at this issue through an  
3 equity lens, we can see that emission reductions from  
4 trucks is incredibly important to support attainment in  
5 the South Coast Air Basin and to improve public health.  
6 And it's also critically important that public charging,  
7 including overnight public charging, will be needed to  
8 ensure our independent owner/operators aren't left behind  
9 in this transition.

10 I'll conclude by asking that those entities who  
11 are still crafting requirements and priorities for public  
12 charging programs that you consider the incredible gap in  
13 public heavy-duty drayage truck charging infrastructure  
14 and the substantial impact that near-term investment in  
15 this area can have for our communities, our independent  
16 owner/operators, and the drayage truck industry at large.

17 Thank you.

18 BOARD CLERK ESTABROOK: Thank you.

19 Marc Geller, you can unmute and again.

20 MARC, are you there?

21 MARC GELLER: Yes, I am.

22 BOARD CLERK ESTABROOK: Perfect. We can hear  
23 you.

24 MARC GELLER: Thank you. I am Marc Geller from  
25 the EV Charging for All Coalition. We have been working

1 in the CALGreen Code process to achieve low power Level 2  
2 access for a hundred percent of newly constructed units in  
3 multi-family housing with access to parking. We believe  
4 this can and should be achieved in the interim process.

5 Our proposal advances equity by promoting direct  
6 access from parking to etch new unit's meter and panel to  
7 assure the lowest possible utility rates just as  
8 single-family home residents have.

9 Multi-family housing residents, often lower  
10 income, should not pay more for electricity to charge EVs.  
11 Our proposal is achieves goals desired by builders and  
12 property managers by simplifying the code requirements for  
13 access to power for EVs in multi-family housing.

14 We look forward to continuing to work with CARB,  
15 HCD, and BSC to achieve our mutual goals of access to  
16 power at home for all in California.

17 There's no place like home. Thank you.

18 BOARD CLERK ESTABROOK: Thank you.

19 Okay. So with that, I will transition and pass  
20 it over to Board Clerk Lindsay Garcia to call on some of  
21 the folks here in the room.

22 BOARD CLERK GARCIA: Thank you. We have six  
23 in-person commenters who wish to speak at this time. And  
24 I apologize in advance if I mispronounce anyone's name.

25 The first in-person speaker will be Sarah

1 Swickard. Sarah, if you could please come up now.

2 SARAH SWICKARD: Good morning. My name is Sarah  
3 Swickard I'm on the Clean Transportation Team at PG&E.  
4 Thank you for the presentations, and the discussion today,  
5 and the opportunity to provide some comments.

6 PG&E strongly supports State policies and CARB  
7 regulations such as Advanced Clean Fleets to decarbonize  
8 the transportation sector. As was discussed earlier, we  
9 have made significant progress in the state, but we still  
10 have a long way to go to meet the State's goals,  
11 especially when it comes to infrastructure in light of the  
12 complexity and time it takes to deploy. This is an  
13 all-hands-on-deck effort.

14 The recent ACF infrastructure workshops held by  
15 CARB have highlighted just how complex this transition  
16 will be and how much proactive coordination will be  
17 necessary between the State agencies, the infrastructure  
18 providers, and the customers who are transitioning their  
19 fleets.

20 Utilities have and will continue to play an  
21 important role in ensuring our customers can electrify  
22 their transportation needs through grid planning, rates,  
23 interconnection, educational resources, and make-ready  
24 infrastructure programs.

25 PG&E is preparing the grid to support our

1 customers who will electrify and is working closely with  
2 the various State agencies who presented today and is  
3 developing internal tools to accurately forecast where and  
4 when this EV load will appear. Additionally, we have a  
5 dedicated team in our service planning to assist customers  
6 who are seeking to install this infrastructure.

7 We also have utility make-ready infrastructure  
8 programs, which have been an important tool to increasing  
9 access to infrastructure in this still nascent market.  
10 Through our programs, we can provide turnkey solutions to  
11 customers who are ready to electrify but may not yet have  
12 the means.

13 To date, PG&E has been able to build nearly 5,000  
14 EV charging ports at roughly 200 locations across 66  
15 cities through its portfolio of programs and is planning  
16 on doing much more. Our current and future programs will  
17 continue to increase access to infrastructure for the very  
18 customers that CARB seeks to Transition to zero emission.  
19 These include are EV Fleet Program, which is focused on  
20 electrifying medium- and heavy-duty customers, our EV Fast  
21 Charge Program, which enables public fast charging and  
22 aims to install approximately 50 plazas of DC fast  
23 charging in a corridor and urban sites. And we have also  
24 recently proposed our EV Charge 2 Program to install  
25 16,000 Level 2 and DC fast charging ports across PG&E's

1 service territory.

2 PG&E will also implement its five Low Carbon Fuel  
3 Standard credit revenue funded programs in support of our  
4 customers who are making this zero-emission transition.  
5 Through these programs and our efforts to provide safe,  
6 reliable, and clean electricity to our customers, PG&E is  
7 committed to continuing to support CARB's efforts to  
8 reduce emissions in the transportation sector and achieve  
9 the ambitious goals laid out by the State.

10 Thank you.

11 BOARD CLERK GARCIA: Thank you.

12 Next, we'll hear from Steve Douglas.

13 STEVEN DOUGLAS: Thank you. Thank you, Madam  
14 Chair. Steve Douglas. I have to say it's great to be  
15 back. I've been doing this, like Analisa, for about 25  
16 years and this is the very first time that I actually  
17 looked forward to coming.

18 (Laughter.)

19 STEVEN DOUGLAS: So thank you for that.

20 Well, good morning, Chair Randolph, members of  
21 the Board. I'm Steve Douglas with the Alliance for  
22 Automotive Innovation. We represent car companies that  
23 produce about 95 percent of the new vehicles that are sold  
24 in California. Our 37 members also include the world's  
25 leading Tier 1 suppliers and technology companies. Our

1 members are committed to electrification, to a net zero  
2 carbon future. We support virtually every word that has  
3 been said by your staff and by the other agencies here  
4 today and we sincerely appreciate their work on this.

5           On a global scale, automakers will spend about  
6 \$515 billion on electrification by the end of this decade.  
7 Last year, more than 70 electrified models were available,  
8 and that includes battery, plug-in hybrid, fuel cell  
9 electric vehicles.

10           Finally, we're starting to see EVs in the most  
11 important vehicle segment in our industry and probably for  
12 the country in pickup trucks. This is a new world and  
13 we're pleased to see the Board is looking beyond  
14 technology feasibility, which has been your foray and  
15 looking more at market feasibility with presentations like  
16 today on EV infrastructure.

17           In virtually every aspect, market feasibility --  
18 technology feasibility is taking a back seat to the  
19 market. Simple concepts like affordability have to be  
20 analyzed through the market feasibility lens. Is a  
21 \$20,000 new car or used car, is that affordable. It's not  
22 if you can't fuel it or if you have to spend an hour or  
23 two away from home every week to do so.

24           Last month, Kelley Blue Book reported that the  
25 average transaction -- transaction price on an electric



1 vehicle was \$65,977. This suggests that the current  
2 market is predominantly driven by affluent buyers with  
3 ready access to safe, reliable, low-cost charging at home.  
4 That's where the charging is done.

5 Ready access to affordable and reliable electric  
6 charging and hydrogen network, allowing customers to fuel  
7 at or near their home where they work and where they play  
8 is critical for all communities and it's critical for  
9 market feasibility.

10 Again, we applaud the work of this Board, its  
11 staff, and all of the agencies here today. We commit to  
12 continuing our work together and look forward to building  
13 an EV market.

14 Thank you.

15 BOARD CLERK GARCIA: Thank you.

16 Next we'll hear from Anja Raudabaugh.

17 ANJA RAUDABAUGH: Good morning. My name is Anja  
18 Raudabaugh. I'm the CEO of Western United Dairies. Of  
19 the approximate thousand dairies left in California, I  
20 have the privilege and pleasure to represent 900 of them.

21 I wanted to dovetail on the comments today. Our  
22 members are extremely excited about this electrified  
23 future. I wanted to speak not just about leakage, which  
24 gets a lot of attention in the business community, but  
25 about local investment.

1           Two-thirds of the dairies that have taken  
2 incentivized grants to reduce their methane are not only  
3 doubling down with their private sector investments, but  
4 they have matched the cost share in order to bill  
5 long-term electrified infrastructure. This is something I  
6 think is really important with the perspective of this  
7 Board. We're in it with you and we want to be good  
8 partners.

9           The continued support of dairy methane incentives  
10 by the State will result in faster results while  
11 maintaining local food supplies. And that local  
12 investment that our farmers are making and doubling down  
13 on, we're really excited about that renewable future and  
14 with the electrification of our heavy-duty fleets looks  
15 like. So like I said, about two-thirds of dairies plan to  
16 electrify their heavy-duty fleet and they are making those  
17 investments now on their own dime to do so.

18           Thank you for the time today.

19           BOARD CLERK GARCIA: Thank you.

20           Next, we'll hear from Evan Edgar.

21           EVAN EDGAR: Chair -- Chair and Board members, my  
22 name is Evan Edgar. I'm an engineer for Edgar Associates,  
23 and we support SB 1383, RNG and, a circular economy.

24           And we don't have any leakage when it comes to  
25 diverting organics in the landfill and making RNG

1 in-state, and organic compost. There's no export or  
2 import. We're all localized.

3 RNG is in-state and we're carbon negative as  
4 defined by CARB. Our facilities are net zero greenhouse  
5 gases as defined by CARB. We're near zero NOx and we're  
6 zero pesticide with organic compost. And they're all  
7 based upon zero waste principles. But I'm not here on  
8 behalf of dairy. I'm a carbon cowboy. And what we do, we  
9 take a lot of compost and put it on the ranches and  
10 throughout California to sequester carbon.

11 As part of our 10-year, 20-year process to get  
12 off diesel, we do a lot of life-cycle assessments. I'm an  
13 engineer and do a lot of LCAs, and I believe that's the  
14 crux of the Low Carbon Fuel Standard. For pesticides, you  
15 hear about that nowadays, as well as for batteries. Right  
16 now, we are supporting -- the EU has adopted a resolution  
17 in order to have three points of their battery directive  
18 in order to have equity within technology.

19 And one of them is -- the first one is sourcing.  
20 You've got to responsibly source your cobalt, your  
21 lithium, and your nickel. And according to Amnesty  
22 International and the UN, there's a lot of slave child  
23 labor going in Congo right now. I talked to the EJ three  
24 times about this, yesterday again. And so far, nobody has  
25 responded for anything in writing. And these are credible

1 sources and references about sourcing. The EU has stepped  
2 up and I believe that California should adopt a European  
3 battery directive.

4           Number two has to do with the LCA, the carbon  
5 intensity of ZEVs. Let's say you use electricity alone on  
6 a California grid is plus 24. They're not 0. It's plus  
7 24 today and will be till 2045. They'll never be zero  
8 till 2045. Plus in manufacturing, basin upon the EU  
9 studies, are plus 40 to plus 60. And this was the  
10 European Union studies and that's what they're doing in  
11 Europe. We're turning a blind eye. Zero-emission  
12 vehicles are not zero. We keep on saying that. It's a  
13 lie. It's disingenuous. It's complicit. You're  
14 misinforming the public. Zero-emission vehicles are not  
15 zero.

16           And then another -- the third part is the end of  
17 life. You've got to have the end of life with regards to  
18 recycling these batteries. This is a proven four-year  
19 process in the European Union. California needs to adopt  
20 it now, because the fact that you're not telling the truth  
21 about zero-emission vehicles. And in the near-term what  
22 we're doing is working today. We're carbon negative  
23 today. We're taking RNG and it's a near term solution.  
24 You only have seven to eight years left, according to the  
25 UN IPCC to bend the climate curve. Everybody is, from

1 Biden to all the doctors saying methane is number one.  
2 And the short-lived climate pollutants is being left out  
3 of your AB 32 Scoping Plan study. Instead it's all ZEV  
4 all the time and forcing my industry to stay on diesel.

5 Thirteen years of diesel, because you chilled out  
6 the RNG market and now we're staying on diesel for 13 to  
7 18 years.

8 Thank you.

9 BOARD CLERK GARCIA: Thank you.

10 Next will hear from Mikhael Skvarla.

11 MIKHAEL SKVARLA: Good morning. Good to be in  
12 3-D.

13 (Laughter.)

14 MIKHAEL SKVARLA: Mikhael Skvarla here on behalf  
15 of the California Hydrogen Coalition. I want to express  
16 our appreciation to staff and everyone participating this  
17 morning. We're here to serve as a resource against the  
18 fear, uncertainty, and doubt when it comes to hydrogen and  
19 fuel cell electric vehicles in all weight classes. The  
20 more -- mobile source strategy that the ARB has developed  
21 in conjunction with the preliminary modeling for the  
22 Scoping Plan all indicate the need for millions of fuel  
23 cell electric vehicles in all weight classes.

24 However, infrastructure is not keeping up with  
25 the pace that's necessary for us to achieve our 2035 and

1 2045 goals. We often hear that we've outlaid enough funds  
2 for the 200 stations in the light-duty space to get us to  
3 250,000, as the Mobile Source Strategy has indicated,  
4 vehicles. However, our goals for 2030 go well beyond that  
5 Executive Order from Governor Brown.

6 We have in this year's budget, last year's  
7 budget, and the proposed three-year budget cycle from the  
8 Governor enough funds to bring light-duty hydrogen to self  
9 sufficiency today. We have enough funds to create a  
10 statewide network of heavy-duty hydrogen stations to fill  
11 up to 70,000 heavy-duty trucks throughout the State today.  
12 We have enough to fund all of the transit infrastructure  
13 necessary for the transit districts that want to adopt  
14 hydrogen today.

15 And that doesn't cut into the underlying budget  
16 necessary for charging. SB 100 has given the utilities a  
17 great rate-basing authority to help serve that market.  
18 Hydrogen is only funded through the Clean Transportation  
19 Program, which should be author -- reauthorized either  
20 later this year or next year with a guarantee that we will  
21 build statewide networks for both charging and hydrogen.  
22 There is a necessary need to get the infrastructure in the  
23 ground. I think we have embraced that vision for the  
24 charging community. We need to embrace that vision for  
25 fuel cell and hydrogen community.

1           We are offering renewable fuel. There are seven  
2 announced hydrogen production projects. All of those  
3 renewable in the state of California, none of them funded  
4 with public dollars.

5           Hydrogen self-sufficiency is achievable in this  
6 decade, if we continue to push. So to that end, we're  
7 here as a resource. We want to be helpful and we want to  
8 bring the zero-emission future as soon as possible.

9           Thank you

10          BOARD CLERK GARCIA: Thank you.

11          And finally, we will hear from Aravind Kailas.

12          ARAVIND KAILAS: Happy Thursday, everybody. It's  
13 so good to be here in person. And I'll start off by  
14 thanking the California Air Resources Board for convening  
15 this very, very important meeting. Very timely  
16 discussion. Thank you for the opportunity to provide  
17 public comments. My name is Aravind Kailas and I'm the  
18 Advanced Technology Policy Director for Volvo Group North  
19 America. Volvo Group is a global provider of transport  
20 and infrastructure solutions. In North America, we are  
21 the maker of Volvo trucks and Mack trucks in the  
22 heavy-duty Sector. We also make Nova and -- Nova buses in  
23 the transit sector and Prevost Coach commute -- commuter  
24 coaches. We also have Volvo construction equipment and  
25 then power solutions for the commercial and marine

1 sectors.

2 Sustainability is part of Volvo Group's DNA. So  
3 I'm proud to say that we're committed to the transition to  
4 zero-emission vehicles. The good news is we're already  
5 doing it all across the world. And I'm proud again to say  
6 that we're doing it in California. As a matter of fact,  
7 we started in California. So kudos to the California  
8 climate leaders. We were fortunate to take advantage of a  
9 number of State agency programs, including CARB's ZANZEEF  
10 Program, which resulted in Volvo LIGHTS, which I'm sure  
11 many of you have heard and been a part of.

12 Next, I'd like to thank the State agencies. And  
13 I see a lot of familiar faces. Kudos to the work that  
14 you're doing. I love this enriching information that you  
15 provided this morning. This is very important that you  
16 continue the work. Analisa, I've been part of your CARB  
17 working group for ACF and I think we need to continue  
18 those discussions. Very, very important.

19 As part of my comments, what I would like to  
20 offer for consideration is we heard a lot about the  
21 funding that California is investing. California is  
22 definitely an example not just for the U.S. but for the  
23 rest of the world in terms of putting money where its  
24 mouth is at. However, it's not just about throwing money  
25 at the problem. As I have brought up in several different



1 forums, we need to make sure that the infrastructure is  
2 built out in a timely manner. We have been putting trucks  
3 within 6 to 10 months, but then we have had to wait for  
4 infrastructure to be powered on and we're talking about  
5 250 kilowatt chargers being powered on for 14 to 18  
6 months.

7 Long story short, there are some laws in place,  
8 like AB 1236 and AB 970. That's a great start, but a law  
9 is not equivalent to enforcement. So we need to work  
10 together to get this enforced. There's a liable -- AB  
11 2700, we need things like that to happen to make sure that  
12 the energization, the interconnection processes are done  
13 in a timely manner and there's transparency that is  
14 provided to the OEMs and to the fleets. My fleets, my  
15 customers want to do this. We want to do this together,  
16 but we also want to do it the right way.

17 So as a closing remark, I'd like to offer that  
18 Aravind and Volvo Group is here to be part of the solution  
19 set. Once again, thank you so much for the opportunity to  
20 provide public comments.

21 BOARD CLERK GARCIA: Thank you. And that  
22 concludes the in-person commenters for this item. And I  
23 will turn it back over to Katie

24 CHAIR RANDOLPH: I think Board Member Kracov  
25 might have a comment.

1           BOARD MEMBER KRACOV: I was just going to say Mr.  
2 Kailas, I've probably met you 10 times. You're a very  
3 active participant in the South Coast with JETSI Program.  
4 This is the first time, even though we've done tours and  
5 spent probably hours together, that I've actually seen  
6 your face. So good to see you.

7           (Laughter.)

8           BOARD CLERK ESTABROOK: All right. Now, we will  
9 hear from the remaining five speakers who have raised  
10 their hands in Zoom. First will be Lisa McGhee, then  
11 Chris King, Priscilla Rodriguez, Sara Fitzsimon, and Bill  
12 Elrick.

13           Lisa, you can unmute and begin.

14           LISA MCGHEE: Hi. This is Lisa McGhee. I'm  
15 wearing two hats. I'm with San Diego Airport Parking  
16 Company as their former Operations Manager and still  
17 participate and manage all of their electrification. They  
18 have two pilot projects that they developed with San Diego  
19 Gas and Electric. I also am the business development  
20 manager for GreenPower Motor Company.

21           I want to say thank you very much to CARB's  
22 deeper engagement with stakeholders that you recently took  
23 as it relates to the collaboration and development of  
24 Medium- and Heavy-Duty Working Group. This was something  
25 very necessary and a step in the right direction. It

1 really has an opportunity to improve the comprehension and  
2 share the real-world lessons learned. So thank you very  
3 much. I did participate in each of the panels and want to  
4 thank Lisa[SIC] and CARB, and greatly appreciate the  
5 process and recommend to continue taking these types of  
6 deeper dives.

7           My comments will emphasize the medium- and  
8 heavy-duty and small- and medium-sized fleets that are  
9 private entities. Eighty-five percent of the population  
10 of medium- and heavy-duty truck and bus drivers are made  
11 up from private sectors and small- and medium-sized  
12 fleets. The small- and medium-sized private fleets will  
13 face the biggest challenges to meet the ZEV mandate. Your  
14 HVIP Program and the current EnergiIZE Jump Start lanes  
15 are examples that need to continue and are even more  
16 necessary due to the looming mandates.

17           The DAC and set-aside funding and projects have  
18 been prioritizing primarily only DACs. We need sustained  
19 process for small and private fleets, including for  
20 vehicle and charging rebates. My concerns include the gap  
21 and hardships the small and private fleets face. Lower  
22 utilization of charging will equate to higher rate  
23 averages when demand fees are included. Public charging  
24 rates can be twice the amount as a separately metered EV  
25 commercial innovative rate.

1           The medium- and heavy-duty public stations do not  
2 support large vehicles, including cable links, high tour,  
3 higher AC Level 2 outputs. We could have shared hubs by  
4 large entities, which could increase utilization and could  
5 be incentivized to share with local small operators.

6           Overall, the real-world experience with this  
7 technology averages a 50 percent baseline savings and  
8 averages another 50 percent in maintenance. I've  
9 experienced this at San Diego Airport Parking. This adds  
10 reliability, this adds up-time. Everything fleets  
11 require. The technology holds many promises and early  
12 adoption needs to prioritize small fleets and our  
13 dealerships that already have these medium- and heavy-duty  
14 relationships.

15           I want to continue and -- this advocacy work that  
16 started in 2016 and really appreciate CARB's support and  
17 want to announce that California -- that San Diego Airport  
18 Parking Company is 100 percent ZEV compliant today and it  
19 couldn't have been done without the funding rebate.

20           Thank you.

21           BOARD CLERK ESTABROOK: Thank you.

22           Chris King, you can unmute and begin.

23           CHRIS KING: Thank you. My name is Chris King.  
24 I'm Senior Vice President of Strategic Partnerships with  
25 Siemens Mobility. Siemens provides EV charging hardware

1 and software, including manufacturing in California. And  
2 we're on record to manufacture one million EV chargers by  
3 2025. As a corporation, we were among the first globally  
4 to commit to net zero carbon emissions by 2030. We're  
5 already halfway there and that includes electrifying our  
6 11,000 vehicle fleet.

7 I'm going to talk about three specific topics.  
8 This first one is building codes. We support the  
9 requirement for new construction to install EV chargers or  
10 charging plugs. However, our recommendation is that all  
11 the plugs be capable of both 110 volts and 220 volts, so  
12 that all of those locations could support Level 2  
13 charging.

14 There's strong evidence that Level 2 charging is  
15 needed for a successful EV charging experience for EV  
16 drivers. UC Davis found that 20 percent of EV owners  
17 actually switched back to ICE vehicles. And of those, 70  
18 percent were relying on Level 1 chargers. One driver said  
19 if you don't have a Level 2, it's almost impossible. JD  
20 Power found that satisfaction with charging speed is 35  
21 percent lower among owners of Level 1 chargers than among  
22 owners of Level 2 chargers, and only 57 percent of EV  
23 drivers using Level 1 chargers were satisfied.

24 The second topic is real-time data for public  
25 chargers and this applies to all types of vehicles. A

1 critical driver of EV adoption is a (inaudible)  
2 experience. And as mentioned by another speaker, it  
3 should be as easy to fuel an EV as an ICE vehicle.  
4 Reliability is a huge issue with one in four public  
5 chargers found not working in their recent study.

6 (Inaudible) the best consumer experience EV  
7 chargers need real-time data on whether chargers are  
8 working, whether they're occupied, what type of connector  
9 they have, what charging space is available, and what the  
10 price is. This could be easily accomplished by requiring  
11 the company to (inaudible) probably (inaudible) the  
12 chargers if available in ACI, for use by ACI developers to  
13 provide (inaudible) drivers in real-time as needed to find  
14 those charging stations.

15 Tesla already does this. It provides this  
16 real-time data and has achieved high customer satisfaction  
17 ratings for this capability.

18 And finally, all publicly-funded chargers should  
19 use open standards. Open standards protect customer  
20 choice by preventing vendor lock-ins, reduce costs through  
21 increased competition, and they also minimize the risk of  
22 stranded assets, and we've actually seen examples of  
23 stranded assets.

24 We applaud the progress that the agencies have  
25 made and thank you for the opportunity

1 BOARD CLERK ESTABROOK: Thank you.

2 Next is Priscilla Rodriguez. Priscilla, you can  
3 unmute and begin.

4 PRISCILLA RODRIGUEZ: Good morning, Madam Chair,  
5 members of the Board. My name is Priscilla Rodriguez,  
6 Assistant Vice President of California Cotton Ginners and  
7 Growers Association and Western Agricultural Processors  
8 Association, representing the cotton industry and hullers  
9 and processors of walnuts, almonds, pistachios, and  
10 pecans.

11 We appreciate that opportunity to provide public  
12 comments today. We understand we are responsible for  
13 creating clean air. We know we are part of the problem  
14 and want to be part of the solution. This was displayed  
15 when we worked with the air district, CARB, PUC and others  
16 for the deployment of AG-ICE to convert thousands of  
17 diesel-powered irrigation pumps over to electric pumps.

18 During this time, we were faced with challenges.  
19 Those challenges persist today, and include concerns over  
20 infrastructure that simply weren't sufficient in rural  
21 areas, where our members are located.

22 We saw many issues with utility substation  
23 deficiencies during the implementation of AG-ICE, where  
24 there simply wasn't enough capacity. In addition to that,  
25 it would cost hundreds of thousands to millions to

1 upgrade, consequently many areas that did not get  
2 converted for that simple reason. We had concerns with  
3 the necessary infrastructure at our members' facilities,  
4 especially older facilities where a large number of  
5 charging stations may need to be insolve -- installed.

6 One example is an almond processor that wants to  
7 replace 31 propane forklifts with electric, so PG&E told  
8 them they would have to drop another service and  
9 transformer into the facility and it would cost anywhere  
10 above \$750,000.

11 In addition to -- in addition, the timing to  
12 install new infrastructure is significant. Utility  
13 companies are anywhere out from 12 to 18 months out to  
14 come into that service. Compliance dates are around the  
15 corner and we are concerned the onus will be on our  
16 members when they are tied down by its disability,  
17 availability, and time to install infrastructure.

18 Again, I want to reiterate we want to be part of  
19 the solution and have members who have already converted  
20 part of their fleets over to electric where it's feasible.  
21 Going forward, we want to make sure that there is a plan  
22 for agricul -- agricultural operations we represent.

23 We look forward to working with CARB staff as we  
24 progress in this process. Thank you.

25 BOARD CLERK ESTABROOK: Thank you.



1 Sara Fitzsimon, you can unmute and begin.

2 SARA FITZSIMON: Hi. Thank you. Sara Fitzsimon  
3 from the California Hydrogen Business Council. The  
4 California Hydrogen Business Council represent around 135  
5 members who are working on the commercialization of  
6 hydrogen across the energy and transportation sectors.  
7 For my comments today, I do want to just focus on the ZEV  
8 market development strategy update given by Tyson Eckerle  
9 fro GO-Biz. Thank you for having me today to comment on  
10 this presentation and for holding this Board meeting, so  
11 that we can publicly comment.

12 Tyson, you did a great job in your overview.  
13 It's been wonderful getting to work with GO-Biz on these  
14 efforts to decarbonize our transportation sector. I would  
15 like to note that when we're tracking the progress of our  
16 ZEV market, it's really important that we maintain equity  
17 across all of our technologies. Fuel cell electric  
18 vehicles are wonderful vehicles. I can say this, because  
19 I drive one myself, a Honda Clarity fuel cell.

20 They're great for Californians, because they have  
21 a short fueling time, they have long range, they're very  
22 reliable, and they're zero-emission. Much of the fuel  
23 that fuel cell electric vehicles use, the hydrogen is  
24 around 90 percent or higher renewable, due to the LCFS  
25 Program. And it's been a great system that we've been

1 developing here in California, but it is too slow of  
2 progress in order to reach our goals for transportation  
3 coming up.

4           So in looking at the budget that was presented in  
5 this ZEV market snapshot, in passenger vehicles and big  
6 ZEVs, it's really important that we allocate those budget  
7 funds with parity as it relates to battery-electric  
8 vehicles as well. There are so many benefits to a fuel  
9 cell electric vehicle, especially for someone going from a  
10 gas vehicle to a cleaner vehicle, fuel cells are the  
11 easiest transition.

12           California can't reach these goals on one  
13 technology alone. It's really important that we diversify  
14 our options and give Californians an option to choose a  
15 type of car that works for them. Many people can't charge  
16 at home. Many people don't have the time to charge at  
17 home and having these hydrogen fuel cell vehicles  
18 available for those who don't have those options and who  
19 need long range is really important.

20           So when looking at these funds, I would just  
21 request that we analyze them in a way that relates to  
22 equity and also with parity across the technologies. I  
23 think hydrogen can really serve our state well and there's  
24 a lot of excitement and progress behind this sector, a lot  
25 of companies willing to do the work, and to work with the

1 State on this to make sure that this sector grows.

2           So thank you for your time and your consideration  
3 of these comments. I would like to also note that I  
4 second the comments of Mr. Skvarla earlier talking about  
5 the details on which we can advance our funding and push  
6 for more opportunities for the hydrogen space and tech --  
7 in this sector.

8           Thank you.

9           BOARD CLERK ESTABROOK: Thank. And our final  
10 commenter for this item is Bill Elrick. Bill, you can  
11 unmute and begin.

12           BILL ELRICK: Great. Thank you. As you said, my  
13 name is Bill Elrick. I'm the Executive Director at the  
14 California Fuel Cell Partnership. Thank you for the  
15 opportunity today. I want to start by applauding all the  
16 hard work CARB and all the agencies are doing on ZEVs.  
17 It's really appreciated and important work.

18           Analisa's comments let's start with. The ZEV  
19 infrastructure is not just critical, it's essential for  
20 ZEV deployment, and to reach California's aggressive  
21 climate and air quality objectives. Also noted was that  
22 infrastructure cannot be a barrier to ZEV adoption. And  
23 while some note the development of an entirely new  
24 hydrogen infrastructure is challenging, CARB appropriately  
25 stated that this is the opportunity to build a ZEV

1 ecosystem from the ground up with equity and accessibility  
2 in mind.

3           To that, light-duty fuel cell vehicles have  
4 global interoperability already and single station can  
5 support hundreds of drivers and thus one station can  
6 support multiple MuDs in supporting equitable  
7 accessibility. Furthermore, we can design hydrogen  
8 infrastructure to complement the electrical grid and BEV  
9 deployment with increased renewable penetration and  
10 providing increased grid resilience and durability.

11           California regulations have always been  
12 technology agnostic focusing on the objectives of 100  
13 percent ZEV adoption in reaching our climate goals, yet  
14 the language around ZEVs is not always reflecting this.  
15 For example today, the heavy-duty discussion we heard  
16 clearly the need to support all technologies that advance  
17 our objectives. Yet, we do not hear the same language  
18 when discussing light-duty ZEV objectives.

19           This agno -- agnostic approach and verbal  
20 language is as essential as the needed infrastructure, as  
21 it send clear signals to private and federal investment,  
22 which is especially important now considering the billions  
23 of federal hydrogen hub and private investment  
24 announcements coming out lately.

25           Related, Tyson highlighted the need for hydrogen

1 to preference financially self-sufficient outcomes, which  
2 should frankly be asked of of all State ZEV and technology  
3 investments. Yet, I heard nothing about CARB's recent  
4 light-duty hydrogen self-sufficiency report. This was  
5 identified as the first pathway to achieve a ZEV mandate  
6 and the objective of a self-sustaining ZEV market for  
7 light-duty hydrogen vehicles this decade with modest  
8 continued State support. It was not mentioned today, and  
9 that, along with the 200 station objective that is  
10 currently on the books, doesn't fulfill or doesn't have  
11 fulfill the hundred ZEV -- hundred percent ZEV adoption  
12 objective.

13           Generally, this should be integrated into all ZEV  
14 planning, as this should be considered and leaned into  
15 aggressively especially with many State and national  
16 public-private roadmaps and strategies available.

17           Related, our -- oh, I'll just end with the  
18 absence of winning strategies and support for hydrogen  
19 across all applications endangers California's ability to  
20 meet 100 percent ZEV and our environmental objectives. So  
21 stronger consideration for all ZEV technologies now, so we  
22 can get the infrastructure in place in time is essential.  
23 So thanks for all the hard work here. Let's not miss this  
24 opportunity.

25           BOARD CLERK ESTABROOK: Thank you.

1           Chair, that concludes the commenters for this  
2 item.

3           CHAIR RANDOLPH: All right. Thank you very much  
4 for the presentation and public comment on this  
5 informational item. I will now turn it to Board members  
6 for questions and comments.

7           And I see Dr. Sperling.

8           BOARD MEMBER SPERLING: First, I want to thank  
9 all of you that came here and spent the morning with us.  
10 Appreciate it just for the time and investment, but also  
11 all your efforts working with each other and with CARB.

12           I would summarize the discussion as there's three  
13 key issues. It's availability, it's cost, and  
14 reliability. I want to focus on that third one  
15 reliability. So this has been kind of a Kumbaya  
16 discussion this morning and I'll let it go. There's lots  
17 of money coming and I'll let others talk about how -- how  
18 that's going to translate into real -- the kind of  
19 infrastructure we need and timeliness, but I want to focus  
20 on reliability.

21           So the CARB tech review that we're going to hear  
22 more about says that 90 -- that there's uptime of 95 to 98  
23 percent. Well, we all know that's wrong, and that's  
24 self-reported, and there's ways of contorting data. And  
25 so I'm not accusing anyone of lying, but there are ways of

1 twisting data to come up with numbers that you like,  
2 speaking as a researcher.

3           You know, for instance, there was a study done  
4 that I think some of you know about at UC Berkeley that  
5 found that -- they actually went around to each charger,  
6 each fast charger, and tried to make it work, see if it  
7 would work. And they found that 27 percent did not work.  
8 And that even of the remaining, they had challenges in  
9 terms of using their credit card in paying.

10           So the question here, it's mostly targeted to Mr.  
11 Rasool from the Energy Commission, because they're the  
12 obvious leader on this. But I also would like this for  
13 Tyson Eckerle, because he's been working on this for many  
14 years.

15           So the question is what are we going to do to  
16 assure reliability? Now, I know there's lots of reasons  
17 why we're not getting the reliability, but I want --  
18 and -- I want to hear an answer in terms of accountability  
19 and in terms of performance. You know, if we're going to  
20 give all this public -- these billions and billions of  
21 dollars, we should be getting accountability, and we  
22 should be getting performance, and we're not, and -- to  
23 date.

24           So what are we going to do different going  
25 forward? And that, I think, mostly has to do with how do

1 we condition the money we handout. I hope there's some  
2 good answers.

3 HANNON RASOOL: Thank you for the question and  
4 it's a great one. So we're actually starting to do a lot  
5 in this space. We've heard the same reports and anecdotal  
6 evidence as well of that. So we really want to put some  
7 numbers behind it. We held a workshop in March to do a  
8 few different things, get some stakeholder engagement, but  
9 also let's define reliability. As you noted, there's a  
10 lot of different ways to define it, a lot of different  
11 things that can happen.

12 So we want to define reliability and then start  
13 measuring it. As part of our grant funding solicitations,  
14 we've started requiring a 97 percent minimum uptime and  
15 we're also starting to fund maintenance plans as well for  
16 it. So definitely hear you on that. Feel the same way  
17 that public funds need to go towards reliable  
18 infrastructure, and we're starting to make inroads in  
19 that.

20 BOARD MEMBER SPERLING: Okay. You know, I will  
21 comment that just imposing a uptime requirement, at first  
22 well as we heard, you know, the metrics on how you  
23 calculate is important, but it's also -- there's so many  
24 different players. You know, you've got the utility,  
25 you've got the equipment. You know, no one -- almost none



1 of these are owned and operated by one company and so  
2 everyone blames someone else.

3 So I hope you're going to be more sophisticated  
4 about it than the short answer you just gave, but -- so  
5 I'm -- yeah, I'll leave it at that. Thank you. And maybe  
6 Tyson has some insights.

7 TYSON ECKERLE: I mean, I think you -- your --  
8 this is a very hard question to answer, because of all the  
9 parties, and because of all the potential failure points.  
10 You know, so we've had -- we've seen it on EV charging, I  
11 think we've all -- who drive it have personally  
12 experienced the issues when you show up to a charger and  
13 it's not working. We've had it on the hydrogen fueling  
14 side as well. It was -- we had supply issues and we have  
15 equipment issues.

16 And so I think really, you know, we're starting  
17 with just getting a clear handle on the actual problem,  
18 where those failure points are. And I think the hard part  
19 is within the system, you know, it -- there is a lot of  
20 finger pointing that can happen, and it can be upstream at  
21 the utility. It could be upstream at the hydrogen supply  
22 point. But I think the best thing -- you know, I think  
23 where the Energy Commission is, you know, showing some  
24 good leadership is starting to collect that data. And I  
25 think your point is really well taken, you know, what is

1 that self-reporting, what does it look like? Because the  
2 anecdotal experience is really what drives, you know, kind  
3 of the feeling of the market.

4 I will point out too, you know, it looks like --  
5 like the Tesla network, for example, I think people are  
6 generally pretty happy with. And so how do we replicate  
7 that? They also have a more simple network. You just  
8 plug it in and go. And so -- so it's not a satisfying  
9 answer, but I think that what is it -- like, we are going  
10 to be laser focused on this this year, because it -- and  
11 just taking a step back on the ZEV market development  
12 strategy, what our focus is for this coming year, it's  
13 really on the end user and the end user experience from  
14 the fleet perspective and passenger perspective, and this  
15 is right in that sweet spot.

16 BOARD MEMBER SPERLING: Yeah. You know, I would  
17 comment on the Tesla experience is that it's vertically  
18 integrated. They have a motivation to keep it up, and  
19 they do. These others don't. And that's why it's so  
20 critical for us as providers of public funding to figure  
21 out how to hold these different parties accountable.

22 And so -- and I want to thank Analisa Bevan for  
23 the whole report for high -- she highlighted, you know,  
24 the importance -- I mean, with all the stakeholder -- the  
25 stakeholders analysis was what's most important,

1 reliability. And if we're going to get to a hundred  
2 percent or 68 percent and all of our steps along the way,  
3 this has got to be solved.

4 Thanks.

5 CHAIR RANDOLPH: Okay. Supervisor Vargas.

6 BOARD MEMBER VARGAS: Thank you. Thank you for  
7 all of your presentations. And I just -- I heard many of  
8 you speak and use the word equity. And so I just wanted  
9 to make sure that there's a clarification. Is there a  
10 consensus of what -- how everybody -- how you all define  
11 equity? I know it's -- everybody is using it. So I just  
12 want to better understand how -- how we're defining equity  
13 in this context and then what are the determinants to make  
14 sure that we're successful as we're defining it.

15 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST  
16 BEVAN: Do we have folks who want to start with that? It  
17 might make sense to start with CEC.

18 HANNON RASOOL: Sure. Thank you. Right now,  
19 we're defining equity as low-income communities and also  
20 disadvantaged communities, and seek to align with the CARB  
21 definitions of those as well. Right now, at least 50  
22 percent of our investments through our investment plan  
23 will go towards low-income and disadvantaged communities.

24 Right now, we do it based upon a locational  
25 factor, so where is the charging station or hydrogen

1 station located. We're actually kicking off a process to  
2 further define it and say who is actually benefiting  
3 investments. It's one thing to say it's located  
4 somewhere. It's another thing to look at who is  
5 benefiting from it.

6 So portfolio-wide we're looking at a 50 percent  
7 minimum. And then on our EnergyIZE Program, which is the  
8 equivalent to HVIP, but on the infrastructure side for  
9 medium-duty, heavy-duty, our floor is 60 percent. So  
10 definitely looking to make inroads there as well.

11 CHAIR RANDOLPH: Supervisor Serna.

12 Sorry, did somebody else want to comment on that?

13 PAULA GRUENDLING: I could add from the CPUC  
14 point of view. So originally, the programs were focusing  
15 mainly on disadvantaged communities, which was a top 25  
16 percent on the CalEnviroScreen. But since the passage of  
17 AB 841, that definition broadened to include what is now  
18 call in their CERP community. So it goes beyond the DACs  
19 and includes low-income communities, includes federally  
20 recognized California Indian tribes, it includes -- oh,  
21 and 75 percent of public school students in the project  
22 area that are eligible to receive free or reduced price  
23 meals under the National School Lunch Program. But we  
24 also want to -- and the -- the legislation requires that  
25 35 percent of the resources go to those areas. We are --

1 near-term priorities decision, we extended that to 50  
2 percent of budgets or infrastructure deployed to be  
3 targeting those areas.

4           And now we want to take it even further to  
5 include collaboration with the community-based  
6 organizations, both in the design of the programs and the  
7 deployment of the programs. So we do -- and we do  
8 acknowledge that that's a challenge, and we -- we just  
9 want to make sure that those communities are heard both in  
10 design and implementation, and then later in evaluation  
11 for us to see how the work was done.

12           BOARD MEMBER VARGAS: Thank you. I'm just really  
13 interested in finding out how we include in these formulas  
14 communities that have been impacted by the racial  
15 injustice of centuries of the redlining that has been  
16 impacting our communities for so many years. And so as  
17 we're moving forward making sure that those formulas are  
18 taken into account and -- as part of that process. So  
19 thank you. I appreciate it.

20           PAULA GRUENDLING: Thank you.

21           CHAIR RANDOLPH: Can I just ask a quick follow-up  
22 before I call on you Supervisor Serna, which is I think,  
23 Paula, you hit on a key point, which is it can't just be  
24 kind of a locational issue, but it's also who are you  
25 serving, right? You know, who has access to chargers and

1 who -- what housing types are we having to do extra work  
2 toward -- to get the chargers available, and the  
3 workplaces, and the neighborhoods, and sort of the -- the  
4 different aspects of communities, like, you know,  
5 partnering with churches and houses of worship, you know,  
6 to have charging available there, where, you know, people  
7 might congregate more. And so I think it's really  
8 important to think about kind of to the point you made  
9 about working with community-based organizations and  
10 thinking not just about location, but about, you know, how  
11 people can actually use the infrastructure.

12           Okay. Supervisor Serna.

13           BOARD MEMBER SERNA: All right. Thank you,  
14 Chair. And thank you, Supervisor Vargas, for that really  
15 important question. And it's good to hear from some of  
16 our sister agencies what that definition of equity means.  
17 And I think we can all agree that that lens is as if -- as  
18 important, if not most important, for how we move forward  
19 in terms of expanding market share for ZEVs and the  
20 infrastructure that's necessary for that expansion.

21           And along those lines, I think we all recognize  
22 that one of the greatest challenges when it comes to  
23 infrastructure has to do with multi-family units and the  
24 fact that it's obviously much more difficult to retrofit  
25 and perhaps even for new multi-family development to

1 incorporate charging infrastructure, based on the number  
2 of folks that are going to live on a given acre. It's  
3 much more Challenging obviously than the single-family  
4 context.

5           So I guess my question is relative to fuel cell  
6 technology, what, if anything, are we -- and when I say  
7 we, I mean all of the sister agencies here that are  
8 represented, what are we doing to actively look to the  
9 marketing, the incentives, basically everything in our  
10 toolbox to look to expand fuel cell availability, hydrogen  
11 availability as it relates directly towards multi-family  
12 dwellers, and in light of the fact that that might be a  
13 better solution than having to look to just putting  
14 charging infrastructure in, you know, garden apartments.  
15 So I don't know if anyone has any thoughts on that, but  
16 I'd be interested to hear from someone about it.

17           MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

18 BEVAN: Well, on the vehicle side, fuel cell vehicles are  
19 still eligible for the CVRP rebates and part of those  
20 programs. On the station side, I wonder if Hannon could  
21 talk about how station locations are sited.

22           HANNON RASOOL: Yeah, certainly. So we have a  
23 number of solicitations out on hydrogen. Right now, we're  
24 funding down a list from a 2019 solicitation. Currently,  
25 we have 54 stations, and through that we should get right

1 around 179.

2           And we actually look and work with CARB on their  
3 modeling tool. It looks at geographic map and using GIS  
4 mapping to see where the stations are relative to  
5 population centers. And so we're really looking to direct  
6 the market using that CARB tool, and say, you know, here's  
7 where we want to see the stations proliferate, but also  
8 want to look at the private market too. I think a lot of  
9 the developers have a good sense of where their customers  
10 are, so it's a -- it's a joint effort between the private  
11 market and how we direct the market a bit through our  
12 solicitations as well.

13           BOARD MEMBER SERNA: So is there any -- is there  
14 any direct partnership or common thought processes with  
15 HCD or with OPR, for instance, so that the future  
16 development of multi-family projects, you know, kind of  
17 have some sense of how to best optimize the geographic,  
18 you know, juxtaposition of where the hydrogen fuel cell --  
19 or the hydrogen fueling stations are versus apartment  
20 complexes for instance.

21           HANNON RASOOL: Not that I'm aware of, but I can  
22 check with our team and see what we're doing with new  
23 builds, and specifically multi-unit dwellings as well.

24           BOARD MEMBER SERNA: I think that -- I think that  
25 that would be -- that's something that should be explored,



1 because I -- you know, again, I think we have to look at  
2 pretty creative ways to make sure that the multi-family  
3 market, if you will, is not left out of the equation when  
4 it comes to ZEV, you know, market share expansion. So  
5 hopefully, those two agencies at least are giving that  
6 some thought. And I know that we do have some  
7 representation from HCD here. I don't know if you have  
8 any thoughts, Kyle.

9 KYLE KRAUSE: Yeah. Thank you, Supervisor Serna.

10 Kyle Krause from HCD's Division of Codes and  
11 Standards. I will follow up with our Division of  
12 Financial Assistance and see what, if anything, they're  
13 doing to -- related to awards for developers building  
14 multi-family projects and working with our fellow agencies  
15 to identify the locations that are planned for those  
16 hydrogen fuel stations. We did discover early in our  
17 participation of fuel station workgroup that locating  
18 hydrogen fueling stations on multi-family dwelling  
19 properties was a significant cost barrier. So I think to  
20 your point of nearby hydrogen stations, that would be  
21 probably the most appropriate effort. So we'll respond.  
22 Thank you.

23 BOARD MEMBER SERNA: Great. Thank you.

24 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

25 BEVAN: If I could follow up. Hannon's mention of our

1 modeling helped get some data on that. So 75 percent of  
2 the planned and funded stations are within six minutes  
3 of -- six minutes of access driving time. And access is  
4 pretty equivalent between DAC and non-DAC communities. So  
5 we have done that kind of modeling on station location  
6 both planned and funded.

7 TYSON ECKERLE: Maybe just -- if I could add just  
8 one thing too that in terms of getting access to  
9 low-income communities, we're excited about a new program  
10 through consumer awareness grants that Valley CAN is  
11 launching in Fresno, where Toyota donated 30 used Mirai  
12 for low-income multi-family housing residents. And so  
13 we'll, you know, be collecting data and see how their  
14 experience is. They'll be using the Harris Ranch station.  
15 But I think we're at early stages in the fuse -- in the  
16 used fuel cell market, but there's a lot of good  
17 opportunity there.

18 BOARD MEMBER SERNA: Thanks.

19 CHAIR RANDOLPH: All right.

20 Dr. Pacheco-Werner.

21 BOARD MEMBER PACHECO-WERNER: Thank you. Thank  
22 you so much to all the presenters. And I would just add  
23 on the co-location question of different technologies,  
24 also heavy-duty as well.

25 I have two sort of spheres of questions. One of

1 them really is around the streamlining of the -- the sort  
2 of bureaucracy behind putting things on the ground. And I  
3 know that no one really talked about this, but it's  
4 important to think about how we think about permitting  
5 across, and if there needs to be a legislative fix to  
6 streamline that, because it is so dependent on each  
7 jurisdiction. And when you start talking about rural,  
8 when you start talking about disadvantaged communities,  
9 you are going to see it be really, really stark difference  
10 than the places where there's already heavy  
11 infrastructure -- charging infrastructure in place.

12           And so I'd just like to hear folks sort of  
13 thoughts on the permitting piece. And also within that,  
14 as you talk to the charging technologies, you know, how we  
15 think about equity in terms of ensuring that our rural and  
16 most disadvantaged communities don't just get stuck  
17 with the -- with lowest level charging, because access to  
18 fast charging is also an equity issue.

19           And the second question is more around training  
20 and how we're thinking about training in terms of the  
21 property managers. And this is from everything from  
22 buildings to dwellings. And also how you're thinking  
23 about that from also kind of an equity lens in terms of  
24 literacy and language as well. And when we talk about  
25 the -- and I think maybe this is more to Tyson. When we

1 talk about, you know, the manufacturing piece, how is that  
2 being integrated into our K-16 education, so that folks  
3 in -- in these communities that we're talking about can  
4 actually be the ones working on these and this  
5 manufacturing as it expands?

6 Thank you.

7 MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

8 BEVAN: Thanks. I will give a shout-out to Tyson and his  
9 team at GO-Biz. They have been the agency that -- as any  
10 stakeholder comes to us and explains that they're having  
11 difficulties with permitting, we ask Tyson and his team to  
12 intervene and they've been extremely successful, but I'll  
13 let me talk about what they do.

14 TYSON ECKERLE: Yeah. So there's a lot on  
15 permitting. We can send you the website too. So we've  
16 been -- we have two pieces of legislation that I think  
17 Aravind mentioned, but AB 1236 and AB 970, essentially  
18 gives us a scorecard. We have 540 jurisdictions in  
19 California and we just passed, I think, 186 are  
20 streamlined, but actually covers quite a bit of the  
21 population. But it's a ground game kind of -- and then,  
22 you know, people move and they -- you know, the permit  
23 officials.

24 And so with the partnership very -- working  
25 closely with EV charging station providers, and utilities,

1 and reaching out into the communities, we're actually  
2 partnering with the Energy Commission on a full-time  
3 position. We have -- we've had a full-time position on  
4 this, but it's -- or, you know, not full time. We've been  
5 kind of sharing time on all this, but a full-time position  
6 dedicated to permit streamlining for both charging and  
7 hydrogen stations.

8           And so oftentimes, we get asked to come in and  
9 then we just come and ask questions and help raise focus  
10 and make sure that they understand. I think this year's  
11 legislation of AB 970 puts strict timelines on the actual  
12 approval of ER charging stations, so there's a lot of  
13 optimism around that. Of course, there's, you know, the  
14 implementation matters as Aravind brought, right? There's  
15 not teeth behind, per se, but companies could, in theory,  
16 bell a station without explicit approval from a city, if  
17 they need to.

18           And then the other -- so there's -- there's a lot  
19 there. I'm happy to go into more -- we've learned a ton  
20 as we go, but it's a ground game of a lot of local control  
21 and just trying to get people.

22           But just a quick anecdote. The people we find in  
23 cities who are the most amenable are the ones who are  
24 driving zero omission vehicles already. And so if you  
25 find one of those, you're in good shape in a city. And

1 increasingly we're finding them, because there's more and  
2 more cars out there. So that's really encouraging.

3           Maybe just on the manufacturing quickly and the  
4 training. So I'll get out of my depth quickly, but the  
5 Workforce Development Board is like the highway -- high  
6 road training partnerships that have been really  
7 successful and really reaching into communities who need  
8 access the most. So we're trying to scale that up and we  
9 can -- Shrayas and Workforce Development Board could talk  
10 more about that. We also have the Employment Training  
11 Panel that helps existing employers expand their training.  
12 But there's a lot -- there's big investment there proposed  
13 in the State budget. That's hopeful.

14           MSCD ZERO-EMISSION INFRASTRUCTURE SPECIALIST

15 BEVAN: Hannon, did you want to talk about the funding  
16 program that you have focused on rural applications?

17           HANNON RASOOL: Yeah, I'd be happy too. So in  
18 response to some of the feedback we got from stakeholders,  
19 last year we launched a number of solicitations, one was  
20 focused on rural communities. We're currently scoring  
21 those applications right now, but we expect to release a  
22 NOPA, or Notice of Proposed Award in the coming weeks.  
23 And so we're really interested to see what comes of that.

24           It's really important that we want to target  
25 rural communities specifically with that solicitation.

1 And then also the work we're doing with CalSTA and  
2 Caltrans on the federal funding will be very much focused  
3 on alternate fuel corridors, so we're looking to see how  
4 we can deploy high-powered DC fast chargers. I think the  
5 target is 150 kW each in rural communities as well.

6 CHAIR RANDOLPH: Okay. Thank you.

7 Board Member Hurt followed by Vice Chair Berg.

8 BOARD MEMBER HURT: Thank you, Chair. Thank you  
9 all for the presentation. Of all the things that we have  
10 to get right, infrastructure and energy stability is  
11 really critical. And access of all income levels and  
12 households is essential. We need to ensure that equitable  
13 access, and reliability, and infrastructure however is not  
14 just about making sure that there's equitable access in  
15 all communities, but also that when we're placing  
16 infrastructure, we're not entrenching further highly  
17 impacted communities by pouring what I think of the  
18 medium- and heavy-duty trucks charging all in marginalized  
19 communities.

20 You know, our ultimate goal is zero emissions  
21 that should be clean, cleaner air, we're better stewards  
22 of our environment, but we truly need to be thoughtful of  
23 existing community needs and proper placement, and local  
24 government being involved in that, and thinking what's  
25 happening in their general -- general plans and their

1 land -- land use needs, and how they're looking to the  
2 future.

3 I know a lot of our local agencies are kind of  
4 in critical phases with their budgets and their economic  
5 outlook and trying to figure out how they're going to  
6 revitalize their communities.

7 And while it's important to have charging  
8 stations throughout our communities, where can we best  
9 place them, where are they most suited.

10 So, you know, I don't want there to be deserts in  
11 highly impacted communities. I don't want people to  
12 misunderstand that, but I think there needs to be a  
13 balance in coordination with local jurisdictions on a  
14 higher level, because I'm thinking once they're there,  
15 they're there. We're not pulling them out. And I also  
16 think a lot about the appropriate stakeholders in those  
17 cities, and how -- again, how are communities going to  
18 Build Back Better, how are we going to do that with them,  
19 the economic implications in communities outside of  
20 infrastructure.

21 And I think I heard it earlier about redline  
22 communities. They're already struggling. They're  
23 struggling to come back and from unjust environmental  
24 conditions. So in this infrastructure placement, let's  
25 ensure we don't do it again and further in a different



1 way.

2           And I do want to lift up too the local government  
3 piece. I think, as someone who wears a councilwoman hat,  
4 we need guidance to best practices and support. And if  
5 you say go to a website, I've been shown 50 million  
6 websites and plans and it's really not helpful really for  
7 small- and medium-sized cities that just don't have the  
8 staff power to get the expertise. And so I'm hoping at a  
9 State level we can figure out a way whether -- I know we  
10 have toolkits, but maybe even -- I think of Antiques  
11 Roadshow. Can we take this toolkit county to county on a  
12 roadshow of sorts bringing it to the people is what I  
13 think is most important.

14           And earlier, you know, one of my major question  
15 and please is continue keeping an equity lens on the work  
16 that we do, but how do we go further? How do we define  
17 more of what it is equity means? And defining is not just  
18 the who, it's how are we going to coordinate exactly  
19 equity? So it's also the what, like what's going to  
20 happen to get us to that level of equity?

21           And I know that's not easy. And I think we have  
22 to, without a doubt, go to the community to help us make  
23 that definition, which we all know. But every time I hear  
24 the word equity, I say, but tell me more. What does that  
25 mean? And I think we all can come up with many

1 definitions, but let's try to come up at least with a  
2 baseline of understanding of the who and the what.

3 A public speaker earlier talk about -- talked  
4 about the one-size-fits-all, and that really resonates  
5 with me. It -- there can't be. And so I'm wondering  
6 again in that equity discussion, how do we talk about  
7 rural and EJ communities? And that they're not  
8 monolithic. There are many different variations within  
9 there. And again, how do we give them support?

10 I have a question, believe it or not it's coming  
11 here. On the tracking progress of the ZEV market  
12 snapshot, do we have any demographics or ZIP code  
13 understanding. I identified a few years ago in the Bay  
14 Area that in our Clean Cars 4 All Program, although we're  
15 reaching lower income households, we were not linking up  
16 with Black or Latino households as expected and needed.

17 And I think if we don't start figuring out how to  
18 do that ASAP, there are going to be a lot of people left  
19 behind in this zero-emission future.

20 Thank you.

21 TYSON ECKERLE: So maybe to your -- the question  
22 of tracking metrics. So that -- that metric snapshot, we  
23 started with the four pillars, you know, vehicles,  
24 infrastructure, workforce, and end users. The next  
25 iteration is getting to the outcomes. You know, it's that

1 greenhouse gas reduction, air quality. But the hardest  
2 one to measure -- well, and jobs. But the hardest one to  
3 measure is the access, you know, like it -- because it's  
4 access to the market. And that's really what we're after.  
5 So if you have ideas too -- because you know, it's kind --  
6 we're under -- we're operating on the principle of  
7 measuring what matters, so that we can make changes. And  
8 that -- that absolutely matters.

9           So we have -- you know, with the consumer  
10 awareness grants, the focus is on the communities we're  
11 trying to reach the most in a lot ways. So I think we'll  
12 learn from there. So we have Valley CAN and Veloz are our  
13 partners. But that I think is the hardest tool, you know,  
14 to actually measure, because a lot of it is that you're  
15 measuring a feeling, right? And we can -- of course, the  
16 number of Clean Cars 4 All rebates and the number of  
17 chargers.

18           I did want to talk a little bit too just about  
19 how we're thinking about equity coming from the budget  
20 perspective even. So the California Comeback Plan last  
21 year -- and Hannon can jump in too with some color here,  
22 but the -- it was really -- this is a gross  
23 oversimplification, but it's a blanket of ZEV  
24 infrastructure. Let's get to our 200 stations or  
25 250,000 -- 200 hydrogen stations, 250,000 chargers.

1           This year's proposal on the California Blueprint  
2 Plan is to really go deep with charging infrastructure  
3 on -- in communities that need it the most. And that --  
4 you know, so -- and, of course, the who and how you define  
5 that matters. And, you know, even the context of  
6 developing the definition of equity within the ZEV market  
7 development strategy, it's kind of kitchen sink, because  
8 of all the different directives we have from the  
9 Legislature. You know, so it's -- but at the end of the  
10 day what we're trying to do is get the money and the  
11 access to the people who need it most you know.

12           And I think we all have a general instinct about  
13 that, but, you know, how we talk about it matters. And so  
14 that's, you know, a huge focus across agency for all of us  
15 if it --

16           CHAIR RANDOLPH: And I'll just -- I'll just note,  
17 I think it's really important for us to recognize that we  
18 don't need to do this alone. There's a lot of  
19 organizations out there who are working on these issues.  
20 Like EV Noire is a good example of an organization that's  
21 really thinking deeply about how you bring Black and Brown  
22 communities into the EV revolution.

23           And, you know, one of the things that I've talked  
24 about with them is this notion of once you see EVs kind of  
25 in your neighborhood, you're kind of more interested and

1 there's that kind of word-of-mouth thing that happens.

2           And so thinking about it, not just through the  
3 lens of, you know, the CalEnviroScreen, but really  
4 thinking about how are we working with communities to have  
5 these vehicles be more accessible.

6           BOARD MEMBER HURT: Yeah. If I could just follow  
7 up really quickly. You know with this equity justice and  
8 environmental justice, we have to uplift the racial  
9 justice piece to all this and I don't hear that so much in  
10 our presentations. And I'm not quite sure how we do that  
11 with sensitivity, but also acknowledging past  
12 environmental injustices, but we have to.

13           I would have liked -- I've actually met with EV  
14 Noire. They would have been great in this space as one of  
15 the presenters on the panel, I think, in a discussion. I  
16 would have like to have seen local cities at the table  
17 here too, a representation from middle to small sized to  
18 hear how implementation can be successful.

19           It's that consciousness that I think we need to  
20 bring at the table here and a greater size than just  
21 state. I mean, I know we're at the -- at a certain level,  
22 but how it's implemented seems so important to also be  
23 understood.

24           CHAIR RANDOLPH: Yeah. I mean, I think one goal  
25 of this presentation was to show the cross-agency

1 coordination and, you know, perhaps we can do a future  
2 panel that's more about all the sort of other folks that  
3 we have to work with that are not just in State  
4 government.

5           Okay. Vice Chair Berg then Board Member  
6 Takvorian.

7           VICE CHAIR BERG: Oh, thank you very much. You  
8 know, I found this really, really inspiring, because as  
9 we're putting all these pieces together, these are the  
10 topics that really keep me up at night, literally keep me  
11 up at night, as we're looking to adopt very accelerated  
12 programs.

13           But I would like to continue on Board Member  
14 Hurt's elevated consciousness. I'm not sure -- in fact, I  
15 don't believe after working in a 617 community most of my  
16 adult life and having a daughter that lives in a 617  
17 community, I don't believe that we acknowledge that we're  
18 behind now. There -- communities today are --  
19 disadvantaged and low income communities today live in  
20 substandard infrastructure. And it's privately owned and  
21 it's difficult for us as housing agencies, as government  
22 to figure all this out, but we don't talk about it. We --  
23 we talk about this transformation as if there is some sort  
24 of even playing ground and we're going to make sure we're  
25 going to rise all boats. And quite frankly, we have some

1 boats underwater and we don't talk about that. How are we  
2 going to get that to even close to an even playing field,  
3 so that we aren't leaving people behind.

4           And it's a huge topic. It is extremely  
5 complicated. But again, in elevating the consciousness  
6 and acknowledging, I think it really would be helpful to  
7 understand that we're behind today and how are we going to  
8 address the electricity issues that are not working in  
9 some of these communities, much less the electricity  
10 that's needed to go forward. So that -- really, I'd like  
11 to add that to the equity conversation.

12           And Tyson, I love your tracking. It's a  
13 snapshot. I also think it's really helpful on your market  
14 snapshot how are these jobs affecting again your outcomes  
15 just as Board Member Hurt indicated, also the benefits of  
16 the infrastructure. We're creating a lot of jobs. People  
17 are talking about it, but are we making a difference  
18 again? And so I think that would be very, very helpful.

19           It's very exciting we can talk about new  
20 construction, but we have an awful lot of existing  
21 construction. And I own a building, a business that is  
22 housed in a 97-year old building. And so we -- we've got  
23 to figure those things out. And as we look at future  
24 conversations, I think we've got to include what are we  
25 going to be doing retrofitting is very -- is difficult, if

1 not impossible, but there's got to be ways. We've got to  
2 be thinking about this, because I have employees that are  
3 going to be driving electric vehicles. I don't have  
4 on-site parking. And so -- and I have trucks, seven Class  
5 8 trucks. And so how are going to get all this?

6 I still have old transformers I can't get removed  
7 off of my property. They don't do anything, but they're  
8 up there on stilts. And so really, there -- there's some  
9 big issues around this that we do have to figure out.

10 I think -- I do appreciate the comment that zero  
11 is not zero. I think it's time for us to acknowledge and  
12 track it, okay? We've been able to cut and bifurcate the  
13 part we want to measure. We did that for good reason.  
14 It's time to change that. So we need to start counting  
15 upstream emissions. We need to have it to be the same  
16 conversation. We're going electric. That is absolutely  
17 determined. There's no going back globally, but we need  
18 to measure correctly. And so we -- I think as a State  
19 agency, it's time for us to step up and redefine that.

20 And then my final comment, which we'll be hearing  
21 a little bit more on the next, I am worried about the  
22 charging business model of the private chargers. And so  
23 we rely on a great deal of public funding. And it's going  
24 to be needed over the next 10, 15 years. But what is the  
25 business model for charging? If we do all this investment



1 and then see that there really wasn't a sustainable  
2 business model, because as professor Sperling indicated,  
3 it was not integrated in a way to be able to cover the  
4 cost, it's going to be a real problem for government,  
5 because we're going to have a whole slough of  
6 infrastructure with nobody really owning it.

7           And so somebody really does need to be thinking  
8 about, especially over these next few years, what is the  
9 business model, the sustainable business model without  
10 government funding in the future?

11           So thanks so much and thanks really for the  
12 inspiration. All of you working together, it really is  
13 impressive and I really truly thank you for being here  
14 today and giving of your time.

15           CHAIR RANDOLPH: Okay. Thank you.

16           Board Member Takvorian.

17           BOARD MEMBER TAKVORIAN: Thank you. Thank you,  
18 all. I really appreciate the multi-agency collaboration  
19 that all of your presentations and all the work that  
20 you're doing together really demonstrates, and also the  
21 robust discussion of our Board. I think we are -- we're  
22 digging into this one. As you know, it really matters.  
23 And while it seems like you've covered everything, I think  
24 there's a couple things that I think are probably things  
25 you're all thinking about, but that we haven't said. And

1 one is, as it relates to equity, we're talking about  
2 critical public health, and we're talking about climate  
3 justice.

4           And so those both stem from the racial injustices  
5 that our communities have endured for decades, centuries,  
6 and so I think that that needs to be lifted up as we think  
7 about what is equity, because equity is good health to  
8 live in and to raise your family in. And so that needs to  
9 be a measurement. And certainly CalEnviroScreen gives us  
10 some framework for that, but we don't have the Department  
11 of Public Health here at the table. We don't have OEHHA  
12 here at the table. And I think those are both critical  
13 partners who could help us to understand how much more we  
14 really need to do to advance these technologies in the  
15 communities that are most impacted from many -- in many  
16 ways, but including the fact that their health is very  
17 disproportionately worth -- worse, as asthma, respiratory  
18 diseases are, you know 5, to 8, to 10 times worse in our  
19 communities.

20           So, you know, we need to keep that in mind as we  
21 think about, you know, where are we applying these  
22 technologies and how are they applied, as the Chair said.  
23 And I think it's critically important to measure that.  
24 It's not just, you know, our communities get two extra  
25 chargers. How does that equate to improved health in our

1 community? So that's -- that's one. And I -- if you have  
2 thoughts about that, it would be really helpful to hear  
3 that.

4 I think the other is drawing on, as we think  
5 about location, there's a -- there's a number of things to  
6 think about. And one I think is displacement and  
7 gentrification. And -- I know that it -- within CARB, we  
8 talk about that and think about that. I know the  
9 Strategic Growth Council is thinking about it related to  
10 transformative climate communities. And I think they  
11 could be a good partner at the table as well.

12 This is tough. Put in a few charging stations,  
13 put in a bike path, and people start to be displaced. And  
14 so again, we're having impacts on communities that I think  
15 are unintentional, but we're starting to see how that --  
16 how that's occurring.

17 And I think to follow up on what I think Board  
18 Member Hurt was, in part, saying, when we talk -- we're  
19 now in a rock and a hard place again. When we think about  
20 heavy-duty charging, we absolutely want those trucks to  
21 be -- to be ZEV. But if you're going to put heavy-duty  
22 chargers in disadvantaged communities, you're increasing  
23 or perpetuating the danger that those trucks pose in and  
24 of themselves as a physical huge things. I mean, we watch  
25 kids duck semi-trucks as they're trying to get across the

1 street to go to school, because the truck is on the wrong  
2 street and violating the truck ordinance. Don't get me  
3 started.

4           So anyway, we've got to think about that as well.  
5 It's -- it's not necessarily equitable to put another  
6 heavy-duty charger in the same community, even if it's for  
7 a ZEV truck. Appreciate the reduction in pollution, but  
8 not the increase in danger. So -- so that's obviously  
9 something we all need to focus on.

10           On the -- on the multi-family side, I wanted to  
11 echo Supervisor Serna's thoughts and wonder if perhaps the  
12 SOMAH, the Solar on Multifamily Affordable Housing,  
13 Project might offer some lessons. I work with  
14 Environmental Health Coalition San Diego. We are one of  
15 the CBOs that's reaching out. It's been super challenging  
16 to be reaching out and trying to put solar on older  
17 affordable housing. And I know that some of those same  
18 challenges exist for infra -- for charging infrastructure.  
19 So I wonder if there's some things we could learn from  
20 them.

21           And then the last one, and, Tyson, I think you  
22 started to address this. But I do wonder about the push  
23 for fast charging, which I know is really important, and  
24 how that's going to play in disadvantaged communities,  
25 where we're pushing for the secondary market, and are we

1 going to leave people out because of the chargers not  
2 being compatible with the cars. And I think you had  
3 started to reference that, so I'd be very interested in  
4 hearing more about that.

5           And see, you just stimulate -- stimulated all  
6 these conversations, so I hope you're inspired by all of  
7 our -- all our -- all of our comments and questions as  
8 well, and not discouraged. It's a lot to think about.  
9 We're remaking the combustion market really.

10           Thank you.

11           TYSON ECKERLE: Maybe just to jump in. No.  
12 Thank you for your -- very much for your comments. And  
13 health is -- absolutely underscores everything we're  
14 doing. And you often to think of -- you know, we almost  
15 take it for granted somehow, you know, the strength of the  
16 Air Resources Board and the health type of thing, you  
17 know? So it's good to restate that.

18           I think on the infrastructure thing, I'd actually  
19 like to have Hannon jump in on that, especially for the --  
20 you know, the fast charging Level 2 and a lot of the  
21 analysis they are doing, like through SB 1000, is really  
22 looking at that core question. So maybe I'll stop and let  
23 you jump in, Hannon.

24           HANNON RASOOL: Yeah. Thank you. That's right.  
25 According to Senate Bill 1000, we issued the first report

1 about a year and a half ago. The next one should come out  
2 hopefully in a month or two. And we're finding, exactly  
3 as you said, it's disproportionately put -- put out there  
4 in the world, both in terms of equity, so low-income has  
5 the fewest number of chargers. I think intuitively we  
6 probably unfortunately all could have guessed that. But  
7 we have the data and analysis to support that as well.

8           Also, in rural communities, it's a longer drive  
9 time for rural communities to get to a DC fast charger.  
10 So part of our strategy is to ensure that we have minimum  
11 requirements in our solicitations, be it for MuD  
12 solicitation -- oh, sorry, multi-unit dwelling  
13 solicitation, rural solicitation, NEVI as well on the  
14 federal side, so we want to have minimum standards across  
15 the Board to make sure that we're not inadvertently saying  
16 this charger is okay for this community, but these other  
17 ones get this type of charger. Like, that is not an  
18 outcome anyone wants.

19           And I apologize. I think there was a last part  
20 to your -- to your question there that I may not be  
21 answering.

22           BOARD MEMBER TAKVORIAN: The compatibility  
23 with --

24           HANNON RASOOL: Oh, yes.

25           BOARD MEMBER TAKVORIAN: -- the secondary market.

1           HANNON RASOOL: Yeah. That's great. Thank you.  
2 We are seeing that more and more of the market is moving  
3 towards CCS and so we're going to hold a workshop as part  
4 of our next block grant being stood up and really see, you  
5 know, what should we be funding by way of the physical  
6 connector. That's one part of it and so we're moving more  
7 and more towards CCS. That's where the market is headed  
8 to quite honestly.

9           But then also communication. We do not want to  
10 fund things that only operate for one type of vehicle and  
11 one type of charging company. So we're moving more and  
12 more towards communication standards, like OCPP and ISO  
13 15118, which create somewhat of a baseline across  
14 infrastructure and vehicles. And we don't say that needs  
15 to be used for everything. We're saying that needs to be  
16 available. And so there is that common baseline across  
17 the board.

18           Now, if vehicle manufacturers want to use  
19 telematics or some other things for some other types of  
20 communication or added features, they're certainly able to  
21 do that, but we do want to look at both the physical  
22 connection between the vehicle and the charger and also  
23 that communication piece as well, so we're looking into  
24 that quite a bit.

25           BOARD MEMBER TAKVORIAN: So are you saying that

1 with the -- with the technology that you're looking at,  
2 that the charge -- the fast chargers would be accessible  
3 to older cars older ZEV cars?

4 HANNON RASOOL: We want to move in that  
5 direction. There's going to be some vehicles that are on  
6 the road today and that will be used vehicles in the  
7 future that won't necessarily have that already. You  
8 know, they're already on the road. And so there is that  
9 limitation in what we do going forward.

10 Certainly want to bring that full community  
11 forward with us, that vehicle population, but we -- we  
12 just quite honestly know there will be some limitations  
13 based on what was put out in the world, you know, five,  
14 six, seven years ago.

15 BOARD MEMBER TAKVORIAN: Yeah, my 2012 Bolt does  
16 not work with those. And I think that's a shame, because  
17 it's -- because I think we've talked a lot in this space  
18 about the secondary market and the importance of that  
19 market to -- to lower income communities. So maybe more  
20 work to do in that space.

21 Thank you.

22 CHAIR RANDOLPH: Yeah, I would -- I would agree  
23 with that. I actually had that experience with -- with  
24 your boss Chair Hochschild when we were driving back in  
25 his Bolt, and -- you know, and we found a Level 2 charger



1 no problem, but, you know, it was an old -- it was a  
2 vehicle that didn't have the connector for the DC fast  
3 charging, so we needed to make the -- go through the extra  
4 effort of finding a Level 2 charger. So we want to make  
5 sure that we have those opportunities available as we're  
6 thinking about a robust secondary market.

7           Okay. That was a great discussion. Really  
8 informative.

9           Okay. So what we're going to do is, since it's  
10 getting to be the noon hour and we have a scheduled short  
11 closed session for the Board, we will be doing a 30-minute  
12 break and then we will come back for our next agenda item  
13 at 12:20.

14           All right. Thank you very much.

15           (Off record: 11:50 a.m.)

16           (Thereupon the meeting recessed into  
17 closed session.)

18           (Thereupon a lunch break was taken.)

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

AFTERNOON SESSION

(Thereupon the meeting reconvened open session.)

(On record: 12:26 p.m.)

CHAIR RANDOLPH: All right. Thank you very much. The meeting of the California Air Resources Board is now back in session.

The Board met in closed session to confer with legal counsel and no action was taken.

All right. Our next agenda item is, and it's the last agen -- item on our agenda today, 22-6-2, an informational update on the Electric Vehicle Supply Equipment, or EVSE, Standards Technology Review. If you're here with us in the room and wish to comment on this item, please fill out a request to speak card as soon as possible and submit it to a Board assistant. If you are joining us remotely and wish to comment on this item, click the raise hand button or dial star nine now, and you will get into the queue. We will call on both in-person and remote commenters when we get to the public comment portion of this item.

In 2019, the Board adopted the EVSE standards regulation in response to Senate Bill 454 by Senator Corbett, which recognized the need to ensure broad open access to public charging stations for all drivers.

1           At the time, the dominant business model employed  
2 by the electric vehicle charging providers required  
3 membership in that company's network, which limited  
4 driver's access to charging stations and payment options.

5           CARB's EVSE Standards Regulation sets minimum  
6 standards for charging stations, including requirements  
7 for payment methods the chargers must accept in order to  
8 ensure that the drivers will have confidence that they can  
9 easily use public chargers.

10           This standards regulation is not just about  
11 today's EV drivers, it's also about tomorrow's drivers as  
12 we are transitioning to a hundred percent zero-emission  
13 vehicles. So we need to be thinking about a broad and  
14 rapidly growing consumer market, and ensuring that  
15 consumers have confident access to these chargers.

16           The technology review that we hear today is one  
17 step in CARB's ongoing efforts to monitor and ultimately  
18 improve access to public charging. And it focuses on  
19 attempting to better understand consumer's experiences  
20 accessing chargers with a particular focus on the methods  
21 available and utilized to pay for charging which was the  
22 subject of significant debate at the time the regulation  
23 was adopted.

24           Mr. Corey, would you please introduce this item?

25           EXECUTIVE OFFICER COREY: Yes. Thanks, Chair.

1           And as you noted, as the State accelerates the  
2 transition of zero-emission transportation, it becomes  
3 increasingly urgent to expand the availability of and  
4 access to electric vehicle chargers as was discussed  
5 earlier as well. The EVSE Standards Regulation  
6 facilitates access to public charging and supports the  
7 growing market for ZEVs by establishing minimum  
8 requirements for payment methods electric vehicle charging  
9 stations must accept, facilitating roaming agreements  
10 between electric vehicle service providers, creates a more  
11 complete database of location and pricing information for  
12 consumer use, and requires notification of all fees  
13 associated with the charging session.

14           With respect to payment methods specifically, the  
15 regulation requires that chargers allow drives to pay  
16 using insertable, chip-enabled cards, which was the most  
17 ubiquitous card technology in use at the time the  
18 regulation was adopted, as well as mobile payments like  
19 using your phone.

20           In implementing this regulation and in response  
21 to Board direction, staff continue to evaluate barriers to  
22 charging access and whether the requirements of the  
23 regulation, particularly the requirements of payment  
24 methods, remain appropriate. To that end, staff conducted  
25 a technology review to assess current barriers that

1 drivers face in using EV charging stations and to better  
2 understand the state of the market with regard to payment  
3 options for accessing charging.

4 Today, we'll hear the findings from that review  
5 as well as the next steps as we continue to work toward  
6 ensuring the broadest possible access and use of public EV  
7 charging.

8 With that, I'll ask Stephanie Palmer of the  
9 Sustainable Transportation and Community Division to give  
10 the staff presentation.

11 Stephanie.

12 (Thereupon a slide presentation.)

13 STCD AIR RESOURCES ENGINEER PALMER: Thank you,  
14 Mr. Corey. Good morning, Chair Randolph and members of  
15 the Board. I'm here today to present the update on the  
16 technology review staff conducted as part of implementing  
17 CARB's Electric Vehicle Supply Equipment Standards  
18 Regulation.

19 I will start by providing background on the EVSE  
20 Standards Regulation and the impetus for the technology  
21 review.

22 --o0o--

23 STCD AIR RESOURCES ENGINEER PALMER: Then I will  
24 discuss the process we followed for conducting the review  
25 and our key findings. Finally, I will present the next

1 steps we intend to take to continue monitoring  
2 implementation of the regulation and to deepen our  
3 understanding of issues related to access to charging a  
4 with focus on payment methods that consumer have access to  
5 and use.

6 --o0o--

7 STCD AIR RESOURCES ENGINEER PALMER: As you heard  
8 in the previous presentation, California's need for  
9 plug-in electric vehicle infrastructure is well recognized  
10 and the State is taking many actions to build out fueling  
11 and charging infrastructure to support the growing number  
12 of zero emission vehicles on the road.

13 Today, there have been over a million in  
14 cumulative ZEV sales to date and there are more than  
15 79,000 public charging stations and 54 hydrogen stations  
16 in operation.

17 In June, you will hear staff's Advanced Clean  
18 Cars II proposal to increase the sale of passenger ZEVs,  
19 which aims to hit Governor Newsom's target of a hundred  
20 percent ZEV sales of new cars being zero-emission by 2035.

21 Under this proposal, in 2030, staff project  
22 having 5.7 million ZEVs and plug-in electric hybrid  
23 vehicles in California's roads and is estimated that  
24 714,000 chargers and over 200 hydrogen stations will be  
25 needed to support these vehicles.

1           With the ZEV market moving fast, it is imperative  
2 to facilitate consumer access and use of this  
3 infrastructure. The overarching goal of the EVSE  
4 Standards Regulation is to reduce the barriers that  
5 drivers, both today's drivers and tomorrow's, face when  
6 accessing public charging.

7           Let's talk more about the history of the  
8 regulation.

9                               --o0o--

10           STCD AIR RESOURCES ENGINEER PALMER: To address  
11 barriers to accessing and paying for charging, in 2013,  
12 the California Legislature passed Senate Bill 454, the  
13 Electric Vehicle Charging Station's Open Access Act. One  
14 problem the legislation intended to solve was the  
15 requirement imposed by charging companies that a driver  
16 must have a membership to access that company's charging  
17 network. Membership meant that a driver could only pay  
18 for charging using an RFID card or mobile app issued by  
19 the company provided the driver had a bank card on file or  
20 by calling a 1-800 number to confirm the driver's  
21 membership status and provide their bank card information.

22           To become a member, the driver may have to do one  
23 or more of the following: register with a cell phone  
24 number, email address, credit or debit, agree to be  
25 assessed a monthly fee, have funds reserved on a credit

1 card by the charging company and load a set amount of  
2 funds into the membership account, which may auto reload.  
3 This system limited who could access which public charging  
4 stations and made it confusing to drivers.

5 Pursuant to SB 454, staff developed the EVSE  
6 Standards Regulation with the goal of reducing these and  
7 other barriers to charging. To facilitate the broad use  
8 of ZEVs, it is important that drivers have confidence that  
9 they will be able to use and pay for charging with the  
10 card that they have in their wallet. The system must be  
11 simple and reliable.

12 Starting in 2017, CARB staff worked with  
13 stakeholders for nearly two years to develop the  
14 regulation, including determining which payment methods  
15 were the most broadly available. Public workshops and  
16 webinars were held in May 2018 through April 2019 to  
17 discuss regulatory concepts and proposed requirements. In  
18 June 2019, the Board adopted the EVSE Standards  
19 Regulation, which became effective on July 1st of 2020.

20 I will now turn to discuss some of the major  
21 requirements of the regulation.

22 --o0o--

23 STCD AIR RESOURCES ENGINEER PALMER: This  
24 regulation has many parts, but the three highlighted here  
25 have the most impact on a driver's ability to access



1 stations. The operators of the charging stations have to  
2 report charging station location information to the  
3 National Renewable Energy Laboratory Alternative Fuels  
4 Data Center. The purpose of this requirement is to  
5 provide drivers a single place to locate where they will  
6 be able to charge. All fees associated with the public  
7 charging session must be displayed, so drivers can clearly  
8 see what they will be paying for before they start a  
9 charge session. This includes any parking fees or  
10 non-membership plug-in fees at the station.

11 Lastly, the charging station must be equipped  
12 with a reader that supports both mobile payment options  
13 and the EMV chip-enabled payment cards. Mobile phone  
14 payments are supported by readers often referred to as tap  
15 or contactless. The purpose of this requirement is to  
16 ensure drivers are able to pay for a charging session with  
17 familiar methods the use frequently in their everyday  
18 lives.

19 At the time the regulation was adopted, EMV Chip  
20 was the most ubiquitous card technology in the U.S.  
21 market. With respect to the compliance dates for the  
22 payment card reader, all new DC fast charge stations that  
23 become operational after January 1, 2022 must be compliant  
24 with the payment hardware either on the charging station  
25 or a kiosk that may serve a bank of chargers.

1 All new Level 2 that become operational after  
2 July 1, 2023 must be compliant with the payment hardware  
3 either on the charging station or a kiosk. By the  
4 compliance deadline for Level 2, charging companies will  
5 have had four years to design and manufacture stations  
6 that meet the requirements of the regulation.

7 In response to stakeholders during the 2019  
8 process, the charging stations that exist prior to the two  
9 compliance dates will need to become compliant no later  
10 than July 1, 2033. This date allows the existing hardware  
11 to live at its useful life. If the station gets replaced  
12 for any reason prior to 2033, it will need to become  
13 compliant at that time.

14 As part of the regulatory development process in  
15 2019, staff completed a standardized regulatory impact  
16 assessment to better understand the economic impacts of  
17 the requirements staff is proposing. As part of that  
18 report, staff estimated that compliant payment hardware  
19 would cost \$370 with an annual maintenance visit costing  
20 round \$270. These costs reflect the combined cost of both  
21 the EMV chip and mobile payment technologies, not just the  
22 chip reader.

23 Staff continue to track the cost of payment  
24 systems and recent new data suggests the marginal savings  
25 of removing the EMV chip portion of the hardware may only

1 stave around \$70 per unit. That is roughly 1.1 percent of  
2 a Level 2 and 0.14 percent of the DCFC unit cost.

3 --o0o--

4 STCD AIR RESOURCES ENGINEER PALMER: I will not  
5 turn to the technology review itself and discuss the  
6 questions we sought to address, the methods we used, key  
7 findings from the review, and our next steps based off of  
8 those findings.

9 --o0o--

10 STCD AIR RESOURCES ENGINEER PALMER: Staff  
11 committed to monitoring the charging station market with a  
12 particular emphasis on the payment hardware and card  
13 market to understand if the program requirements continue  
14 to be appropriate. Based on Board direction in the fall,  
15 we expanded our work to look more bodily at barriers that  
16 drivers face when accessing charging systems including  
17 reliability.

18 This slide covers the questions that we sought to  
19 answer through the technology review: what barriers do  
20 drivers experience when using charging stations; what  
21 prompts their calls to customer service, to what extent do  
22 drivers experience inoperable charging stations, to what  
23 extent chip and contactless cards available and used by  
24 drivers, what payment methods are in use on charging  
25 stations.

1           Along with the above topics, staff sought to  
2 understand more deeply the needs of under and unbanked  
3 drivers and what payment methods assist in providing  
4 access to these groups.

5                               --o0o--

6           STCD AIR RESOURCES ENGINEER PALMER: Staff kicked  
7 off the technology review in October of 2020 with a public  
8 webinar. This webinar asked for public feedback on the  
9 topics that staff were proposing to cover as part of the  
10 technology review. We also incorporated input from the  
11 Board in October of 2021 to address a broader array of  
12 barriers, including reliability of charging stations.

13           Along with the webinar, staff engaged with  
14 parties in informal meetings throughout late 2020 and  
15 2021. Staff also conducted a literature and data review  
16 on Federal Deposit Insurance Corporation reports, such as  
17 the study, how America banks, household use of banking in  
18 financial services, as well as other financial industry  
19 reports about banking.

20           Lastly, staff conducted surveys of electric  
21 vehicle service providers, credit card companies, and of  
22 drivers. Eight of 11 EVSPs responded to the survey with  
23 varying levels of completeness. The goal of the survey  
24 was to learn what current payment technologies are  
25 supported on stations, status of roaming agreements,

1 consumer payment preferences for existing payment options,  
2 transaction fees, network reliability metrics, and  
3 response time for downed charging stations.

4 Two credit card companies responded to the  
5 survey, but did not provide direct answers to those survey  
6 questions. The objective of the survey was to hear  
7 directly from the credit card companies on the deployment  
8 of tap cards in California, potential barriers to issuing  
9 tap cards, and when they expect to reach 100 percent  
10 market penetration.

11 --o0o--

12 STCD AIR RESOURCES ENGINEER PALMER: The  
13 objective of the driver survey was to hear directly from  
14 drivers about the barriers they are experiencing,  
15 understand what payment methods they have and use, network  
16 membership status, customer service interactions, and  
17 sociodemographic data. This survey was distributed via  
18 social media and email lists from various groups.

19 The driver survey has a total of 1,290  
20 respondents, 1,175 of which were from California. There  
21 are three categories of drivers who responded. This  
22 included 761 respondents who are plug-in electric vehicle  
23 drivers who use public charging, 259 PEV drivers who do  
24 not use public charging, and 155 non-PEV drivers. Of the  
25 1,175 California respondents, 483 had an annual household

1 income of less than \$50,000, which is 41 percent of total  
2 California respondents.

3           It is important to note that because the  
4 distribution methods focused primarily on those related to  
5 electric vehicles, respondents to this survey are not  
6 necessarily representative of the California population.  
7 For example, 65 percent of the respondents from California  
8 are electric vehicle drivers, whereas only about two  
9 percent of vehicles on the road today are ZEVs.

10                   --o0o--

11           STCD AIR RESOURCES ENGINEER PALMER: Let's talk  
12 about the results of this work. This slide summarizes the  
13 key findings culminating -- culminating from staff's  
14 stakeholder engagement, literature review, and surveys.  
15 Inoperable stations and payment issues are the most  
16 significant barriers to drivers. Membership requirements  
17 may be a perceived barrier for drivers in accessing  
18 chargers. Multiple payment methods exist, but most EVSPs  
19 rely on tap.

20           Tap-enabled cards represent a small segment of  
21 the cards in-use today nationally, but deployment is  
22 accelerating. Tap has the potential to expand payment  
23 options for un- and underbanked drivers, but barriers  
24 still remain. I will talk -- talk about each of these  
25 findings in more details on the following slides.

1                   --o0o--

2                   STCD AIR RESOURCES ENGINEER PALMER: The driver  
3 survey asked PEV drivers who have used public charging  
4 stations the barriers they have encountered. Thirty-two  
5 percent of responses indicated membership requirements  
6 were barrier, such as they didn't have a membership and  
7 didn't want to sign up for another membership, twenty-four  
8 percent of respondents indicated charging station  
9 operability issues was a barrier, and lastly, 12 percent  
10 of our responses indicated they had payment issues.

11                  To better understand barriers and the use of  
12 1-800 numbers, the driver survey also asked if PEV drivers  
13 had to contact customer service? Seventy percent of  
14 respondents indicated they called due to inoperable  
15 stations and 20 percent indicated they called due to  
16 payment issues such as there is no way to pay with a  
17 credit card, not a member of the network, and general  
18 billing issues.

19                   --o0o--

20                  STCD AIR RESOURCES ENGINEER PALMER: The driver  
21 survey also asked PEV drivers who used public charging  
22 stations why they had created a membership account with an  
23 EVSP followed by how many memberships the driver has.  
24 Seventy-six percent of PEV drivers who used public  
25 charging stations said they had a membership and 67

1 percent of these said they needed a membership to access a  
2 station. Sixty-two percent of respondents have two to  
3 five memberships.

4 One of the key components to open access is to  
5 ensure membership with an EVSP is a choice and not a  
6 requirement to use a charging station. The driver  
7 responses are indicating that the regulatory requirements,  
8 as they stand are still needed because drivers are feeling  
9 the need to rely on one or more memberships for public  
10 charging.

11 Given that SB 454 and CARB's EVSE Standards  
12 Regulation prohibit requiring membership to use a station,  
13 more work is needed to understand the extent to which  
14 membership may be a real or perceived barrier for drivers.  
15 For example, was membership truly required or did the  
16 driver simply not have the right payment method to use at  
17 the station?

18 --o0o--

19 STCD AIR RESOURCES ENGINEER PALMER: One question  
20 on the survey of electric vehicle service providers asked  
21 what payment options their networks support. The  
22 responses showed that while the service providers offered  
23 multiple options, including membership and non-membership  
24 options, the foundational technologies these options are  
25 based on heavily reliant on the RFID reader, which enables



1 the tap experience.

2           The dominant payment methods in use on charging  
3 stations vary somewhat between DCFC and Level 2. Based on  
4 discussions and direct experience with service providers,  
5 staff is aware that most public direct current fast  
6 chargers, DCFC, do have an EMV chip reader. In some  
7 cases, a magnetic swipe reader is also available. With  
8 Level 2 chargers, staff found that most in operation today  
9 do not have an EMV chip reader.

10           In short, the findings indicate that it is  
11 feasible for EVSE to enable payment by both a chip-enabled  
12 card and tap forms of payment as they are currently  
13 offered on many DCFC chargers, but that L2s rely primarily  
14 on a single reader technology, which only supports tap  
15 form of payment.

16   --o0o--

17           STCD AIR RESOURCES ENGINEER PALMER: A key issue  
18 in the technology review concerns the requirement in the  
19 regulation that EVSE be equipped with a chip reader. When  
20 the Board adopted the regulation, EMV chip was the most  
21 ubiquitous form of credit card technology and tap was  
22 still emerging. To ensure drivers could confidently  
23 access chargers when they needed, it is important to  
24 ensure chargers accept the form of payment that was in  
25 their wallets. Because some charging companies did not

1 support the chip reader requirement and until tap  
2 technology was sufficient, staff evaluated the deployment  
3 in use of tap-enabled cards specifically.

4 We consulted reports from the financial services  
5 industry and surveyed credit card companies to assess the  
6 deployment of tap cards, and we surveyed drivers as to the  
7 use of these cards. Through this work, we found that  
8 tap-enabled cards are a small segment of cards today, but  
9 deployment is accelerating.

10 Visa reported that the market share of tap  
11 payment cards is 15 percent nationally. MasterCard  
12 estimated that their market share for tap will be 25  
13 percent nationally in the next two years. These are the  
14 primary data points that is convincing staff that it is  
15 premature to change payment requirements given the  
16 majority of card holders are unlikely to have this card  
17 technology until the mid-2020s.

18 It is noted that none of the credit card  
19 companies were able to provide California specific data.  
20 However, our driver survey did provide some limited  
21 information on California drivers. I want to emphasize,  
22 that the driver survey reaches early vehicle adopters,  
23 which is not wholly representative of the tap market  
24 penetration. In the driver survey, 70 percent of drivers  
25 said they have tap cards, but half of the drivers

1 indicated that they do not use them. Out of 819 drivers  
2 who own tap-enabled cards, 15 percent of respondents  
3 indicated they never use the tap technology, 37 percent of  
4 respondents indicated that they only use tap payment  
5 technology when present 25 percent of the time, indicating  
6 that nearly half of the drivers do not prefer to use tap  
7 cards for their regular purchasing habits. This clearly  
8 shows that while many drivers responded that they have  
9 tap, it is not a feature that they use.

10 --o0o--

11 STCD AIR RESOURCES ENGINEER PALMER: The driver  
12 survey asked respondents to indicate their incomes so that  
13 we could evaluate whether there are any difference in  
14 access between low -- lower and higher income drivers.

15 With respect to access to tap-enabled cards, 79  
16 percent of respondents with income above \$50,000 reported  
17 having tap cards, while only 57 percent of respondents  
18 with income below \$50,000 did. CARB lacks the detailed  
19 data on the broad distribution of tap cards among  
20 Californians generally.

21 The data also -- are reflective of drivers who  
22 are engaged in PEV activities and who took the time to  
23 complete the survey. Because survey respondents tended to  
24 be technology forward based on owning or interest in  
25 electric vehicles, it is possible a broader disparity

1 exists amongst Californians more generally. Further work  
2 will -- would be needed to explore these issues and is  
3 important to consider as PEVs move from an early market  
4 technology to mainstream use.

5 --o0o--

6 STCD AIR RESOURCES ENGINEER PALMER: We also  
7 sought to understand the needs of under and unbanked  
8 individuals. Interestingly, about 15 percent of survey  
9 respondents reporting having no payment card at all.  
10 According to the household banking survey by FDIC minimum  
11 balance requirements is a key factor in keeping unbanked  
12 households unbanked.

13 As the banking industry has changed, peer-to-peer  
14 mobile applications offered by companies, such as Venmo  
15 and Cash App are removing barriers to traditional banking  
16 by not requiring a minimum balance. These peer-to-peer  
17 apps demonstrate the potential benefits of tap  
18 technologies but barriers remain. For example, a driver  
19 cannot pay for charging using a peer-to-peer app.  
20 Peer-to-peer companies are starting to issue cards  
21 associated with their accounts that they could use to  
22 access charging, but it is not clear how many drivers  
23 utilize this option.

24 In addition, peer-to-peer payment companies  
25 heavily rely on smartphones that require Internet

1 connectivity, which depends on cellularly -- cellular  
2 network or WiFi. While there is broad availability of  
3 smartphones that tap-enable payments in general, the  
4 results suggest that drivers with low incomes may have  
5 less access to smartphones with the capability for tap  
6 payments.

7           In short, while the results find that tap payment  
8 technology can expand payment options for under and  
9 unbanked drivers, further work is needed to explore how  
10 they are or could be used for paying for charging.  
11 Understanding the payment needs of lower income drivers  
12 and drivers who are un and underbanked is especially  
13 important as electric vehicles move from an early market  
14 technology to mainstream use.

15                           --o0o--

16           STCD AIR RESOURCES ENGINEER PALMER: The  
17 technology review does not conclude staff's work on these  
18 issues, and I will now turn to describe our next steps to  
19 continue monitoring implementation of the regulation.

20           Staff will continue to track -- track tap  
21 deployment of credit card companies, including the  
22 national percentage of cards deployed that are tap and the  
23 percentage of transactions that use the technology. This  
24 information will come from a company's earning's report  
25 and public reports on usage of payment technologies.

1           Additionally, annual reports from the service  
2 providers, as required by the regulation, will help us  
3 assess how drivers are paying for a charging session in  
4 California.

5           Staff will work with the California Energy  
6 Commission as they develop metrics and a process for  
7 tracking station up and downtime. Staff are in the  
8 initial stages of planning and in the meantime, staff  
9 needs may solicit reliability data from the service  
10 providers.

11           To deepen our understanding of low-income  
12 drivers, staff will conduct listening sessions and  
13 continue to research payment access and use for under and  
14 unbanked drivers, including availability and use of  
15 different payment options. We also have forged a  
16 partnership with Caltrans on payment technologies and  
17 access, and will be participating in a Valley CAN  
18 initiative to study how drivers pay for charging sessions.

19           Finally, to enhance transparency and assure you  
20 and the public remain updated on this work, staff will  
21 launch a public website reporting data from this work and  
22 provide updates to the Board that synthesize the  
23 information.

24                               --o0o--

25           STCD AIR RESOURCES ENGINEER PALMER: To conclude,

1 the EVSE Standards Regulation is one of many programs that  
2 facilitates the transition to zero-emission vehicle  
3 future. A full transition to the zero-emission vehicles  
4 will require meeting consumers where they are in making it  
5 as easy as possible to access charging.

6           Ensuring chargers allow for multiple payment  
7 methods that meet -- that meets the needs of a range of  
8 drivers, including low-income drivers, will be critical to  
9 facilitating the transition. When we think about equity  
10 and access, our judgment is that it is important to ensure  
11 all Californians, not just early adopters with the latest  
12 credit card technology, can access these vehicles. And  
13 the simple truth is that tap technology, even in its  
14 most -- its most common and affluent communities will not  
15 be broadly deployed for years to come, while the cost of  
16 ensuring comparability for most cards is minimal.

17           Moreover, as technology rolls out, drivers need  
18 to have the confidence that they can use the most commonly  
19 available payment technology, which is the EMV chip reader  
20 at this time.

21           Protecting access for all will give drivers  
22 confidence in public charging and enables the State to  
23 move away from the old infrastructure at a faster pace.  
24 We will continue to monitor the availability and use of  
25 payment technologies and we will come back to the board

1 with amendments to the regulation when appropriate.

2 That concludes my presentation for today. Thank  
3 you.

4 CHAIR RANDOLPH: Okay. Thank you.

5 We will now hear from the public who signed up to  
6 speak on this item either by completing a request to speak  
7 card here in the auditorium or a raised hand on Zoom.

8 I will now ask the Board clerks to begin calling  
9 the public commenters.

10 BOARD CLERK GARCIA: Thank you. We currently  
11 have two people who wish so speak pique at -- or two  
12 in-person commenters I should say who wish so speak at  
13 this time.

14 The first speaker will Marc Aprea.

15 MARC APREA: Thank you. There we go.

16 Madam Chair, members of the Board, Marc Aprea.  
17 I'm here on behalf of ChargePoint. Thank you for allowing  
18 us the opportunity to testify today. We all share a  
19 common goal of getting increased access to EV charging for  
20 all Californians. And we appreciate CARB's effort to  
21 conduct the recent EV Supply Equipment technology review.  
22 And while the technology review shared some meaningful  
23 insights, we believe that it missed some industry trends  
24 and understanding of consumer behavior regarding payment  
25 methods.



1           We also believe the review has not taken into  
2 account the significant impact of EV chip regulation on  
3 Level 2 chargers. We are here to ask that CARB to  
4 promptly open a new rulemaking to have a third-party  
5 conduct a technology review before the end of the year and  
6 for staff to conduct further cost analysis of this  
7 regulation with updated data. Let me explain why we're  
8 making this request.

9           One of the reviews findings concluded that access  
10 to tap technology is not widespread. However, the review  
11 missed a key marker for the payment industry that  
12 disagrees with this finding. A 2021 study done by PULSE,  
13 a Discover Card company, found that 94 percent of all  
14 debit cards will have contactless capability by 2023. In  
15 this report, debit card issues cited contactless debit  
16 cards as their top priority.

17           So how fast is this transition taking place? In  
18 2019, only 11 percent of debit cards were contactless. In  
19 2020, that number jumped to 30 percent. Last -- 64  
20 percent last year in 2021 and projected for 2023 again 94  
21 percent. Debit card issuer report was not cited by the  
22 technology review, nor did the technology review make a  
23 distinction between the issuance of contactless credit  
24 cards, debit cards, and the use of peer-to-peer platforms.  
25 Now, there was a reference to peer-to-peer platforms, but

1 there isn't a distinction in terms of how those devices  
2 are used and by what populations.

3           So I want to also address that the questions by  
4 some of the members were asked in terms of how do low  
5 income individuals make their payment, that that question  
6 was not addressed completely.

7           More importantly, as rapid as the payment  
8 technology is evolving, CARB will not be able to keep up  
9 with the changes without periodic updates on the  
10 technology review. And while we appreciate staff's  
11 comments today, we ask that the Board open up a new  
12 rulemaking. Thank you for your time.

13           BOARD CLERK GARCIA: Thank yo.

14           Next, we'll hear from Tom Knox.

15           TOM KNOX: Madam Chair and Board members, thank  
16 you very much. I'm Tom Knox of Valley Clean Air Now. As  
17 part of our work with helping low-income disadvantaged  
18 community residents transition to zero-emission vehicles,  
19 we're very interested in how we can make EV charging both  
20 home and public more affordable and more available.  
21 Thanks to the GO-Biz ZEV education program, this created  
22 the opportunity to partner with the California Integrated  
23 Travel Project, or Cal-ITP, to test how we can best use a  
24 debit card for our customers to have easier access to  
25 public charging.

1           The idea here is to get some real-world data.  
2 This is mentioned in the staff report that there is really  
3 a lack of understanding of the mechanics of how people are  
4 most comfortable with paying for charging, which really  
5 are the barriers out there. And this project wouldn't be  
6 possible without -- we have the opportunity to speak to  
7 many of the EVSPs as we were formulating this. All were  
8 very generous with their time and input. We really  
9 learned a lot about a very complex topic here. So really  
10 appreciate the support of the EVSPs during this process.

11           Cal-ITP then has been working with CARB staff on  
12 how we can align with the needs mentioned in the staff  
13 report to collect more data on how customers pay for EV  
14 charging. We anticipate starting this project within the  
15 next month or two. We'll work closely with CARB staff to  
16 share findings and then incorporate their input as the  
17 project proceeds.

18           So we really look forward to what we're about to  
19 learn here. We think this will be an important step to  
20 addressing any of the issues brought up in the staff  
21 report, so thank you, everyone.

22           VICE CHAIR BERG: Mr. Knox, before you leave,  
23 great to see you.

24           TOM KNOX: Thank you.

25           VICE CHAIR BERG: You know as we're weighing what

1 to do now, what would your be -- advice be to this Board,  
2 given that everything is emerging. We're trying so hard  
3 to get it right. And yet, we're hearing from some of the  
4 charging providers that it's increasing costs  
5 unnecessarily. And we do know that increased costs  
6 affects most low income. So do you have a bit of wisdom,  
7 given that we still have time, the Level 2 doesn't go  
8 until summer of next year. Thoughts?

9 CHAIR RANDOLPH: Keeping in mind that he  
10 carefully did not say anything about that issue.

11 (Laughter.)

12 VICE CHAIR BERG: I know. I was going to put him  
13 on the spot, because you have so much knowledge. And  
14 please just feel comfortable what you can share.

15 TOM KNOX: Thanks, Vice Chair Berg for your  
16 leadership on this. Thanks for the opportunity. We  
17 briefed you last month as we were starting to get this --  
18 starting to get this nailed down.

19 So you have put me on the spot. This is a  
20 complicated issue and there are a lot of very good points  
21 being made by all the stakeholders here. We sympathize  
22 with the need to control costs. We also sympathize with  
23 the need to make this as broadly accessible as possible.  
24 I agree with the staff report's conclusion that there's a  
25 lot of data missing here. I would say -- I mean, our

1 whole orientation with Valley CAN is just get out and find  
2 what works with our customers. Have a lot of  
3 conversations, have hands-on experience. I'd rather  
4 answer that question in three months, if you don't mind,  
5 but I think getting some real world feedback from  
6 customers on how they're most comfortable doing this  
7 stuff.

8 I really appreciate Cal-ITP's focus on the  
9 underbanked. I think that's really a key point here is  
10 the really rapid expansion of services to the underbanked  
11 through a lot of these new financial service providers is  
12 opening up a lot of things that did not seem possible a  
13 year or two. I think this is a field that's in a very  
14 fast transition. I would hate to make future rules based  
15 on past facts. And so I would recommend that study is  
16 needed, progress is needed, and I'd rather lean toward  
17 fast progress and real world results, rather than imposing  
18 conclusions now.

19 VICE CHAIR BERG: I really appreciate that and we  
20 do have some time, so we really do look forward to what  
21 you are going to discover and especially the conversations  
22 that are going on in the three communities that you are  
23 interacting with. So thank you so much.

24 TOM KNOX: Thank you.

25 BOARD CLERK GARCIA: Thank you.

1           That concludes the in-person commenters for this  
2 item. I will turn it over to Katie for our remote  
3 commenters.

4           BOARD CLERK ESTABROOK: Thank you. We currently  
5 have 14 people with their hands raised in zoom. If you  
6 would like to comment on this item, please raise your hand  
7 now. Our first three commenters will be Leela Rao,  
8 Gillian Gillet, Miles Muller. Leela, you can unmute and  
9 begin.

10           LEELA RAO: Thank you, Chair Randolph and members  
11 of the Board for the opportunity to make comments on the  
12 EVSE technology review. My name is Leela Rao and I'm with  
13 the Port of Long Beach.

14           The Port has previously submitted a comment  
15 letter on the draft EVSE technology review, but we would  
16 like to reiterate our comments in a letter here today. As  
17 you know, the Port aims to transition its heavy-duty  
18 drayage truck fleet to the -- to zero emissions by 2035.  
19 Achieving this ambitious goal will require a significant  
20 number of new charging stations, many of which will need  
21 to be publicly accessible to support independent  
22 owner/operators without a home base for overnight  
23 charging.

24           The Port is concerned that the Electric Vehicle  
25 Supply Equipment Standards Regulation could inhibit the

1 deployment of heavy-duty truck charging in this very  
2 nascent market, an impact that was not evaluated in the  
3 technology review. The Port strongly urges CARB to  
4 clarify whether the EVSE standards regulation applies to  
5 charging stations dedicated to heavy-duty trucks, and if  
6 so, to evaluate the regulation's potential impacts on the  
7 heavy-duty public truck charging market.

8           While the regulation itself does not make a  
9 distinction between EVSE intended for light-duty versus  
10 heavy-duty, the underlying statute and supporting  
11 regulatory documents exclusively reference and analyze  
12 light-duty vehicles. If the EVSE regulation applies to  
13 the heavy-duty market, the Port is concerned that its  
14 requirements could stifle much needed public charging  
15 investments in these early years of the transition.

16           Due to the complexity of the public charging for  
17 Heavy-duty trucks, it's expected that private fleets will  
18 be the early adoptive -- early deployers of charging  
19 infrastructure at their facilities. These fleets should  
20 be encouraged to make their charging stations publicly  
21 available, at least part of the time, to independent  
22 operators who have no access to overnight charging.

23           EVSE Standards Regulation requirements however  
24 may deter fleets from doing so. The reporting  
25 requirements alone would likely be sufficient to deter

1 private facilities from making Heavy-duty EVSE partially  
2 publicly available, notwithstanding the added cost and  
3 complexity with requiring specific payment methods that  
4 may not be the most efficient or compatible with a  
5 semi-public heavy-duty truck charging business model.

6           The technology review does not address the EVSE  
7 Standards Regulation's potential impacts on the heavy-duty  
8 truck market, focusing entirely on passenger car drivers.  
9 If the EVSE Standards Regulation applies universally, the  
10 Port strongly recommends that CARB analyze the potential  
11 impacts on the heavy-duty truck market in the technology  
12 review.

13           Thank you.

14           BOARD CLERK ESTABROOK: Thank you.

15           Gillian, you can unmute and begin.

16           It looks like her hand went down.

17           Miles, you can unmute and begin.

18           MILES MULLER: Good morning, Chair and members of  
19 the Board. My name is Miles Muller speaking on behalf of  
20 the Natural Resources Defense Council. I'd like to start  
21 off by thanking staff for their work on the technology  
22 review and these regulations, which are aimed at  
23 addressing a critical barrier that EV drivers in  
24 California have faced for several years.

25           To meet California's statewide goals of creating



1 a mainstream market for electric vehicles and increasing  
2 access to those vehicles for low income households and  
3 residents of disadvantaged communities, it's imperative  
4 that all drivers have convenient and reliable access to  
5 electricity as a transportation fuel where they live, work  
6 and play.

7 CARB's existing regulations promote reliable  
8 access by requiring stations to accept credit card payment  
9 in the forms that would most align with customer  
10 expectation and open access. Customers should be able to  
11 pay for charging at these stations just as they would at  
12 gas stations or parking meters, not resigned to  
13 alternative payment methods, which many customers still  
14 currently lack.

15 Staff's report find that tap-enabled cards are  
16 not widely available and they EMV chip cards will continue  
17 to be the foundation for payment transactions until tap  
18 becomes more broadly deployed. Accordingly, the report  
19 concludes that changes to the EVSE Standards Regulation  
20 are not warranted at this time. We agree with this  
21 assessment and strongly support staff's recommendation.

22 Most pre-paid debit cards available today still  
23 lack contactless capability and the majority of prepaid  
24 debit cards still aren't compatible with mobile wallets  
25 like Apple Pay or Google Pay.

1           Although the landscape of payment technology is  
2 gradually changing, unbanked and un -- unbanked and  
3 underbanked drivers relying on prepay debit cards still  
4 face barriers to paying for charging without chip card  
5 readers. CARB's existing standards and commitment to  
6 continuing to evaluate barriers for all users at public  
7 charging stations with regular updates to the Board  
8 highlighting the progress of the industry are aligned with  
9 both the present and future of customer charging needs  
10 ensuring equitable access to charging as electric vehicle  
11 adoption expands to a broader and more diverse base of  
12 drivers.

13           We appreciate the opportunity to comment today  
14 and look forward to working with CARB on continuing to  
15 promote the achievement of California's climate, air  
16 quality, and equity goals.

17           Thank you.

18           BOARD CLERK ESTABROOK: Thank you.

19           Our next speakers will be Daniel Barad, a phone  
20 number ending in 645, and then Kristian Corby.

21           Daniel, you can unmute and begin.

22           DANIEL BARAD: Good afternoon. Daniel Barad on  
23 behalf of Sierra Club California and our 500,000 members  
24 and supporters statewide expressing support for the  
25 findings and conclusions in the staff's EVSE Standards

1 technology review.

2           To facilitate the transition away from internal  
3 combustion engines towards a zero-emission future, not  
4 only do we need to significantly expand electric vehicle  
5 charging infrastructure as we heard this morning, we also  
6 must ensure that this infrastructure is accessible. This  
7 accessibility is particularly important for low- and  
8 moderate-income Californians.

9           The staff report finds that tap-enabled cards are  
10 now widely available and chip-enabled cards will continue  
11 to be the foundation for payment transactions until  
12 tap-enable -- tap becomes more broadly deployed.  
13 Therefore, the report concludes that changes to the EVSE  
14 Standard Regulations are not needed at this time.

15           We agree with this conclusion. Most debit cards  
16 and even many credit cards are not tap enabled and Apple  
17 Pay and Google Pay are not available to everyone, nor are  
18 they compatible with all cards.

19           As staff is committed to do, CARB should continue  
20 to identify barriers to charging and engaging stakeholders  
21 to ensure that vehicle charging is as accessible and  
22 equitable as possible. Again, we support the findings and  
23 conclusions in this report and we believe that changing  
24 the EVSE standard regulations would not be prudent at this  
25 time.

1 Thank you very much.

2 BOARD CLERK ESTABROOK: Thank you.

3 Phone number ending in 645, you will hear a  
4 prompt to unmute and then I will be announcing when you  
5 have 30 seconds left and then when your time is up.  
6 Please state for your -- your name for the record and then  
7 go ahead and begin.

8 Phone numbering in 645, are you there?

9 You might need to dial star six to unmute. All  
10 right -- oh, you're unmuted now.

11 SVEN THESEN: This is Sven Thesen calling in.  
12 Big advocate for these charging stations. And I want to  
13 go back to what Dan Sperling said and a number of other  
14 Board members about the compliments or -- no, not  
15 compliments, just the truth around Tesla's ease of use. I  
16 have both a long-range Tesla and a Leaf. And trying to DC  
17 fast charge the Leaf, I have not yet in five years not had  
18 a problem at the station to charge the Leaf. Either  
19 something is wrong with the app, something is not working  
20 at the station, the station is down, it is incredibly  
21 difficult to fast charge the Leaf right now. So anything  
22 you guys can do to reduce the unreliability of the current  
23 networks -- non-Tesla networks - and again that's been  
24 spoken about already - would be helpful.

25 Simultaneously, if there's a way - again, I know

1 they're working on a standard - to reduce the costs of  
2 those DC fast charging stations, because we are going to  
3 need them. And when you look at the -- further, when you  
4 look at the electricity cost of a DC fast charging  
5 station - we just did a survey in SoCal - it's double --  
6 more than double the price of electricity than you can get  
7 on a TMU rate for residential. Specifically, it's on the  
8 order of \$0.45 to \$0.50 per kilowatt hour, which makes the  
9 cost of fuel well in excess of gasoline. So why would you  
10 switch to more -- a more expensive fuel? And that's, you  
11 know, \$0.45 to \$0.50 per kilowatt hour versus a SoCal  
12 Edison rate of \$0.22, if you're in a residential  
13 situation.

14           So we -- by eliminating the payment methods and  
15 putting it on the vehicle, or on -- simply on a app is --  
16 hopefully will reduce the cost of those chargers and  
17 reduce -- enable them to reduce the cost. But as been  
18 said earlier, that there needs to be some better business  
19 model, because just as was repeated, Tesla has a vested  
20 interest to keep these stations in operation versus the  
21 other EVSPs that may not, unless it's actually written in  
22 there. So thank you.

23           I would encourage all of you to experience this.  
24 You can Turo an electric car. I would encourage you on  
25 your next long distance trip to Turo a Bolt and experience

1 how difficult it is to fast charge on a DCFC, and then  
2 Turo a Model 3 and you can tell the sweet difference  
3 between the two.

4 Thank -- and if you -- oh, because if we're  
5 advocating this dog food, then we all need to  
6 simultaneously eat the dog food.

7 Thank you.

8 BOARD CLERK ESTABROOK: Thank you.

9 Can you please reiterate your name for the record

10 SVEN THESEN: Yeah. First name is Sven, S-v-e-n.  
11 Last name is Thesen, T-h-e-s-e-n. I have the nation's  
12 first curbside charger in front of my house. I've given  
13 away over a quarter of a million miles worth of EV  
14 driving.

15 BOARD CLERK ESTABROOK: Thank you.

16 SVEN THESEN: And especially that Level 2 station  
17 has never been down.

18 BOARD CLERK ESTABROOK: Thanks.

19 Our next speakers will be Kristian Corby, Bill  
20 Magavern, and Carleen Cullen.

21 Kristian, you can unmute and begin.

22 KRISTIAN CORBY: Good afternoon. Hi. My name is  
23 Kristian Corby. And I'm the Deputy Executive Director at  
24 the California Electric Transportation Coalition. So  
25 really want to thank CARB and the CARB staff and their

1 hard work on this issue. This is a really good report and  
2 we support staff's findings and conclusions. And we do  
3 have a couple recommendations that we think would help  
4 inform the market going forward.

5           So we recommend setting up a timeline for updates  
6 to the report and the regulation. And if not a formal  
7 update, perhaps just an annual informal report on progress  
8 in the industry. For example, we should seek to align  
9 with the U.S. Department of Transportation's federal  
10 guidance that will be coming out on the NEVI funding,  
11 which should be released in May. And it's -- it is  
12 expected to include guidance on payment methods. And then  
13 we also recommend CARB specify a standard that contactless  
14 payment technology should meet to be considered widely  
15 accessible to underbanked or unbanked Californians.  
16 Providing a clear standard would give the industry a  
17 little bit of certainty on the specific end goal that CARB  
18 wants the market to work toward.

19           And then finally we absolutely support CARB's  
20 continued investigation into whether or not membership is  
21 a real or perceived barrier to charging. And to that end,  
22 we recommend CARB consider a universal payment option by  
23 requiring like a user interface capability with a  
24 third-party payment application, such as ParkMobile or  
25 ParkWhiz. These have been really useful applications for

1 municipal agencies and private parties to pay for parking  
2 venues. And we see -- we've seen these systems be able to  
3 interface very well with back-office municipalities and  
4 other -- other systems. And they're already being used in  
5 hundreds of U.S. cities. So we -- we think that could be  
6 a very viable option to kind of ease the constraints  
7 around payment options.

8           So I just want to thank you again for your time  
9 and effort in this report and really look forward to  
10 working with CARB and CARB staff in all our various  
11 ventures going forward.

12           Thank you.

13           BOARD CLERK ESTABROOK: Thank you.

14           Bill Magavern, you can unmute and begin.

15           BILL MAGAVERN: Thanks, Madam Chair and members.  
16 Bill Magavern with the Coalition for Clean Air. We  
17 submitted a letter along with partners in the Charge Ahead  
18 California campaign. And I'm in agreement with the  
19 comments made earlier about my colleague Miles Muller with  
20 NRDC.

21           We joined with NRDC and others in starting the  
22 Charge Ahead California campaign eight years ago, because  
23 we think there's a real need to democratize electric  
24 vehicles in California and to make the cleanest  
25 transportation accessible to low-income Californians and



1 those in disadvantaged communities, who are harmed the  
2 most by the emissions from combustion engines, but in the  
3 past have been the last to benefit from the cleanest  
4 technology. And it's for these reasons that we support  
5 the recommendations in the staff report.

6 We do not think there should be any membership  
7 required to charge an EV just as there's no membership  
8 required to fuel a combustion vehicles at a gas station.  
9 So we agree with the staff approach to continue evaluating  
10 barriers for all users at public charging stations and  
11 make regular updates to the Board.

12 And I think it's a particularly wise decision  
13 that you're partnering with Valley CAN to do some of this  
14 information gathering, because Valley CAN has many years  
15 now of experience working closely with low-income  
16 customers and helping them to get into plug-in vehicles.  
17 And their empirical and data-driven approach will very  
18 much bolster this effort.

19 Thank you very much.

20 BOARD CLERK ESTABROOK: Thank you.

21 Carleen Cullen, you may unmute and begin.

22 CARLEEN CULLEN: Yes. Good afternoon. Hi. My  
23 name is Carleen Cullen and I'm the Founder and Executive  
24 Director of Cool the Earth, a non-profit focused on carbon  
25 mitigation. I am honored to have served as Governor

1 Newsom's EV Policy Advisor for his Gubernatorial Campaign  
2 and applaud his bold leadership in advancing the ZEV  
3 market.

4 I am here today to share findings of a recent  
5 reliability study we undertook with UC Berkeley and share  
6 recommendations for solutions to meet the needs of  
7 drivers. We tested every open system DC fast charging  
8 plug in the Bay Area. Our study found that 27 percent of  
9 the 657 plugs failed to charge. Only half of the  
10 functional chargers completed payment by credit card chip  
11 in the first attempt. This conflicts with the rosy  
12 picture painted by charge providers who report uptimes of  
13 95 to 98 percent.

14 Causes of 23 percent of the failures were  
15 unresponsive or unavailable screens, payment system  
16 failures, charge initiation failures, network failures or  
17 broken connectors. We performed a random evaluation of 10  
18 percent of the stations about eight days after our first  
19 evaluation and found no overall change in functionality.  
20 We have embarked upon an additional follow-up study.

21 We make the following recommendations. First,  
22 the findings suggest a need for shared, precise  
23 definitions of and calculations for reliability, uptime,  
24 downtime, and excluded time. New State contracts must  
25 have both enforceable conditions and penalties for

1 noncompliance. There must be evaluation and verification  
2 of uptime performance by a third party. We believe the  
3 CE -- CEC should be responsible and the lead agency to  
4 develop the criteria in the contracts.

5 Secondly, we believe the payment methods EMV,  
6 tap, plug and charge, and mobile wallet are evolving very  
7 rapidly and recommend that a third party conduct  
8 additional technology reviews within the next six months.

9 Additionally, in light of the 50 percent failure  
10 of chip in the first attempt, we would recommend that CARB  
11 study why there are so many failures. It appears the  
12 payment ecosystem at the station, including back-end  
13 technology is much more complex than has been anticipated,  
14 and suggest the issue may need to be addressed by the  
15 likes of our national labs or similar entities. It is of  
16 no value to have a point-of-sale regulation in place while  
17 at the same time drivers experience frequent payment  
18 systems failures.

19 Lastly, we believe CARB and CEC should convene  
20 key stakeholders, including non-profits such as ours and  
21 others, that represent the driver perspective. It is  
22 imperative we have reliable infrastructure for all  
23 drivers, especially those in our low-income communities  
24 who rely heavily on these systems.

25 Thank you.

1 BOARD CLERK ESTABROOK: Thank you.

2 Our next speakers will be Annabel Drayton, Jay  
3 Friedland, and Natalie Nax.

4 Annabel, you can unmute and begin.

5 ANNABEL DRAYTON: Good afternoon, Chair Randolph  
6 and members of the California Air Resources Board. My  
7 name is Annabel Drayton and I'm a Policy Associate with  
8 the Northwest Energy Coalition and I'm calling in today  
9 from Seattle, Washington.

10 The Northwest Energy Coalition advocates for  
11 clean, affordable, and equitable energy across the four  
12 northwest states and has been working to increase access  
13 to the benefits of various zero-emission transportation  
14 options.

15 I want to thank the California Air Resources  
16 Board for their leadership in establishing Electric  
17 Vehicle Supply Equipment, or EVSE Standards. These  
18 standards help ensure the most accessible payment options  
19 are made available to current and future users at public  
20 electric vehicle charging stations. The EVSE Standards  
21 are of broader importance, as California can drive the  
22 market in a manner that helps increase access, and the  
23 region is looking to California to continue leading on  
24 this issue with Washington State currently undertaking a  
25 rulemaking to adopt minimum payment method standards at

1 public electric vehicle charging stations.

2           Similar to California, it has become clear in  
3 Washington that not all residents, especially those who  
4 rely on a personal vehicle and are under or unbanked  
5 renters, high mileage drives, or live -- or folks living  
6 in multi-family housing have access to convenient,  
7 reliable, and affordable electric vehicle charging.

8           California's EVSE Standards are one strategy to  
9 address this issue and provide a framework for other  
10 states, like Washington, looking to support more equitable  
11 zero-emission transportation options.

12           The Northwest Energy Coalition supports staff's  
13 recommendation and we urge the California Air Resources  
14 Board to maintain the current EVSE Standards and uphold  
15 the foundational payment method requirements.

16           Thank you for your leadership and for the  
17 opportunity to comment today.

18           BOARD CLERK ESTABROOK: Thank you.

19           Jay Friedland, you can unmute and begin.

20           JAY FRIEDLAND: Good afternoon, Chair Randolph  
21 and ARB Board members and ARB staff. My name is Jay  
22 Friedland and I'm with Plug In America, a non-profit  
23 advocating for hundreds of thousand of EV drivers. Today,  
24 I'm representing a broad coalition, which includes EVSE  
25 manufacturers, environmental groups, and consumer

1 organizations. And we speak for a broader group who want  
2 to become EV drivers, especially those in underserved  
3 communities.

4 We were the original sponsor of SB 454 in 2013,  
5 which created the EVSE Regulation before you. We've been  
6 working on this consumer protection issue for more than a  
7 decade. All along, ARB staff has worked diligently to  
8 balance the concerns of all stakeholders.

9 Imagine you just purchased a used EV with the  
10 help of CARB incentives and pulled up at a charger, but  
11 found out you didn't know how much it cost or if it would  
12 take your money. And then in order to fuel you had to  
13 first download an app, call an 800 number, or join a club  
14 just to fill your car. SB 454 was created to make sure  
15 this didn't happen.

16 EMV card readers, credit, debit, and prepaid, are  
17 the most basic way of never leaving any driver stranded at  
18 a public charger. It's what people have in their wallets.  
19 In their recent annual report, Electrify America indicated  
20 that one-third of their transactions came via cards.

21 We're here today to encourage, not relitigating,  
22 the important work that ARB -- that the ARB Board and  
23 staff have accomplished. We need to first ensure open and  
24 universal access to publicly available charging stations,  
25 especially since many of them were installed with public

1 taxpayer fund. And second we need to consider the needs  
2 of disadvantaged communities, not all of whom possess  
3 smartphones, credit cards, or bank accounts, yet who want  
4 to buy EVs to save on their transportation costs.

5           As ARB staff's data shows, these underserved  
6 computers -- consumers do not yet have broad access to  
7 prepaid contactless cards and may not for a number of  
8 years. As a quick example, Social Security payments are  
9 now finally being made with prepaid EMV chip cards. They  
10 do not have tap.

11           Let's take a moment also to discuss reliability  
12 of the public EV charging networks. Plug In America  
13 recently surveyed 5,500 EV owners and 1,400 consumers  
14 intent on buying an EV. The number one concern of those  
15 drivers, 25 percent said broken and non-functional  
16 chargers. This wasn't caused by card readers, because  
17 most of today's chargers don't have them. EVSE hardware  
18 vendors tell us communication failures are likely the  
19 cards -- cause, like the recent 3G network shutdowns,  
20 which equally impact tap or app-based payments. We need  
21 to establish fundamental standards on EV charging  
22 reliability, if we hope to reach California's EV goals.

23           The regulations opponents you'll hear from today  
24 want you to believe that the cost to add card readers  
25 would place an extreme burden on them. But while other

1 fuel options still have card readers, EV charging needs  
2 this basic access feature. Isn't it reasonable to provide  
3 real open access meeting consumers where they are rather  
4 than where the industry says they will be?

5 Thank you.

6 BOARD CLERK ESTABROOK: Thank you.

7 Our next speakers, I'll go ahead and read off the  
8 rest of the list here today, will be Lisa McGhee, Chris  
9 King, Akash Singh, Francesca Wahl, Gillian Gillet, and  
10 Emily Saserny. Lisa, you may unmute and being.

11 LISA MCGHEE: Hi. My name is Lisa McGhee and I'm  
12 had on behalf of GreenPower Motor Company and our medium-  
13 and heavy-duty fleet customers. Much of my EV  
14 demonstration activities include many hours and experience  
15 of public charging use.

16 How many of the 1.1 million chargers today  
17 support medium- and heavy-duty? How many of the 6.4  
18 million by 2030 will support medium- and heavy-duty  
19 including the EV technology advancements, such as: higher  
20 Level 2 outputs; high voltage fast charging; wireless  
21 charging; cable length for large vehicles; app filters to  
22 support medium- and heavy-duty access, such as ingress,  
23 egress, garage, and height limits; the OEM make of a  
24 charger due to the many medium- and heavy-duty  
25 interoperability challenges that exist today and that we



1 need to know what is the make of the charger; public  
2 charging fleet rates with volume discounts; innovative  
3 real time and dynamic rate design integrated into public  
4 chargers.

5           How many of the 1,250 survey respondents were  
6 fleets? There has already been a gap. Let's not forget  
7 the commercial ZEV mandates and 85 percent of the  
8 population of the medium- and heavy-duty fleets, which are  
9 small medium-sized, private-sized fleets and drivers.

10           Today, public charging rates do not support  
11 medium- and heavy-duty fleets having a fuel switching  
12 benefit as per SB 1000. Interoperability medium- and  
13 heavy-duty vehicle charging issues are excessive. This  
14 type of reliability issue can be resolved. The charger  
15 and medium- and heavy-duty vehicle OEMs each need to work  
16 together to perform interoperability testing. And the  
17 charger OEMs should provide free testing to medium- and  
18 heavy-duty vehicles OEMs.

19           Tap card access may not have -- may not have the  
20 same respondent levels until exploring more broadly and  
21 once you consider medium- and heavy-duty fleets. I see  
22 the fleet access of broadly using RFID or tap cards.

23           EVSE standards and next steps. Medium- and  
24 heavy-duty fleets should develop metrics for the medium-  
25 and heavy-duty and track the fleet use. Track small in

1 size private fleet utilizations. This may likely end up  
2 as a larger sector that will depend primarily on public  
3 charging unless other large entities share their hubs or  
4 there is another mechanism developed.

5 Equity and access. There is a gap of fleet  
6 engagement and medium- and heavy-duty standards, including  
7 and specifically the small- and medium-sized fleets and  
8 private entities. The lessons of fleets need to be  
9 integrated and standards supported immediately. Standards  
10 make technology affordable and scalable for all.

11 Thank you for this opportunity.

12 BOARD CLERK ESTABROOK: Thank you.

13 Chris King, you may unmute and begin.

14 CHRIS KING: Thank you. This is Chris King with  
15 Siemens again. Siemens has been actively involved in the  
16 initial rulemaking on this topic and we participated in  
17 the workshops, provided comments, and testimony. We've  
18 remained active and we participated with staff on this  
19 technology review. We feel staff has done an excellent  
20 job of assessing this topic.

21 We bring the perspective of being an EVSE  
22 manufacturer as well as extensive experience globally. In  
23 Europe, open standards and open payment systems have led  
24 to more rapid EV adoptions, higher consumer satisfaction  
25 with public charging, and higher utilization of public

1 chargers to the benefit of those providers.

2           In contrast here in the U.S., public charging has  
3 been the subject of walled gardens. Only Tesla drivers  
4 can use Tesla's extensive and great network. And for  
5 other public chargers, drivers have to download multiple  
6 apps and enroll with each separate network provider to use  
7 them. These barriers have slowed EV adoption, according  
8 to multiple market surveys. Our view is that fueling EVs  
9 should be as easy as fueling ICE vehicles.

10           The vast majority of gasoline purchases continue  
11 to use credit cards and not require any kind of  
12 membership. Card readers also improve equity, because  
13 consumers can use credit, debit, or even prepaid cards,  
14 such as those used by Supplemental Nutritional Assistance  
15 Program recipients or Social Security as Jay was  
16 mentioning. The overall effect of card readers actually  
17 is to take down these walled gardens.

18           Finally, as a manufacturer, we already provide DC  
19 fast chargers with card readers, no ish there, and see no  
20 unreasonable cost increase to provide the card readers for  
21 Level 2 AC chargers. Card readers themselves cost about  
22 \$400 compared to a DC fast charger cost of \$20,000 or  
23 more, and even an AC charger costs that range from \$2,500  
24 to \$8,000 or so.

25           So for these reasons, we agree with and strongly

1 support staff's conclusions and recommendations of --  
2 further support the recommendation that this not be  
3 relitigated at this time. And thank you very much for the  
4 chance to comment.

5 BOARD CLERK ESTABROOK: Thank you.

6 Next is a Akash Singh. You may unmute and begin.

7 AKASH SINGH: Good afternoon, Madam Chair and  
8 members of the Board. Thank you so much for providing  
9 this opportunity for public comment. My name is Akash  
10 Singh and I am the Western States Policy Advocate at the  
11 Union of Concerned Scientists. I'm writing in support of  
12 the proposed requirement that EVSEs have both a  
13 credit/debit card chip EMV reader and mobile payment  
14 options.

15 Access to charging is critical in enabling,  
16 sustaining, and expanding transportation electrification.  
17 To ensure access, we simply must have multiple payment  
18 methods at charging stations. While a plethora of  
19 individuals have access to digital wallets, app based  
20 payment systems, and tap payment systems, not everyone has  
21 access to smartphones and/or has the capacity to use a  
22 smartphone to enable EV charging.

23 Using a widely available technology like card  
24 readers that are found in nearly every gasoline pump  
25 remove the barrier to access for many drivers. The

1 proposed requirement to have a chip reader does not  
2 preclude the use of just tap or mobile payments. It  
3 simply adds an equitable choice to accommodate more EV  
4 drivers.

5           In addition to increasing access, having multiple  
6 independent methods for payments means that there is  
7 simply a greater likelihood that an EVSE will be usable in  
8 the event that one or other methods are temporarily  
9 unavailable to a driver.

10           Chip readers are not some new or challenging  
11 technology. EVSE companies have had adequate lead time to  
12 incorporate readers, and as we look to broaden the EV  
13 market, having the simple zero friction payment methods --  
14 method is incredibly important for access.

15           Thank you so much to the Board and especially the  
16 staff who put so much work behind this report. Thank you.

17           BOARD CLERK ESTABROOK: Thank you.

18           Our next speaker will be Gillian Gillet. You may  
19 unmute and begin.

20           GILLIAN GILLET: Hello. Thanks for giving me  
21 another shot while I worked out the technology.

22           Chair Randolph, Vice Chair Berg, and Board  
23 members, thank you for this opportunity to comment. I'm  
24 Gillian Gillet, Program Manager of California Integrated  
25 Mobility at Caltrans.

1           The Integrated Travel Project, Cal-ITP provides  
2 technical assistance to State and local agencies in  
3 removing structural barriers in transportation to make  
4 travel reliable, cost effective, and inclusive.

5           Our focus has been on standardizing trip planning  
6 and payments. Last year, we introduced direct payments by  
7 bank cards on five transit services in California followed  
8 by procurement with the Department of General Services for  
9 all transit systems in the United States to obtain the  
10 interoperable technologies to accept contactless payments,  
11 so you can pay for transit the same way you pay for  
12 coffee.

13           Scores of more transit agencies are applying to  
14 do the same thing. While we've started with removing  
15 barriers in transit, in meeting with our colleagues at  
16 ARB, we offer technical assistance and our team's global  
17 payment expertise to public EV charging. So I'm here  
18 today to say on the record that Cal-ITP supports ARB's  
19 interoperability and equity focus on reducing barriers to  
20 accessing public EV charging and hopes to partner with  
21 staff on financial inclusion regarding which the State is  
22 a critical agent and catalyst of change.

23           Bank cards are how the vast majority of Americans  
24 pay for goods and services today. And so we agree that  
25 ensuring that Californians can pay for EV charging with

1 the card that is already in their wallet will ensure  
2 interoperability across EV service providers and  
3 geographies for those Californians, the same as in  
4 transit.

5 We are excited to work with your team on the  
6 reporting periods and the next stages of this evolving  
7 regulatory process and also hope to jointly develop  
8 recommendations that could be used to -- improving the  
9 next phase of ARB's Clean Cars for Now[SIC] and other  
10 government benefit programs.

11 For example, we are working with Valley CAN,  
12 Valley Clean Air Now, to test the use of reloadable  
13 contactless debit cards for low income EV drivers in the  
14 San Joaquin Valley to pay for zero-emission vehicle  
15 charging at public stations.

16 The goal of this and other demonstrations is to  
17 gather standardized data about how bank cards are used in  
18 paying for travel with the view of information sharing and  
19 generating policy and program recommendations to improve  
20 access to mobility and improve financial inclusion in  
21 California, which is the core issue here.

22 We are excited to contribute to this important  
23 process. Thank you for this opportunity and my team and I  
24 are here if you have any questions.

25 Thanks.

1 BOARD CLERK ESTABROOK: Thank you.

2 All right. We have two more speakers for this  
3 item and that is a phone number ending in 556 and then  
4 Susanna Sanders.

5 Phone number ending in 556, please state your  
6 name for the record and then you may begin.

7 NATALIE NAX: Good afternoon. Can you all hear  
8 me?

9 BOARD CLERK ESTABROOK: Yes, we can.

10 NATALIE NAX: Great. My name is Natalie Nax and  
11 I'm speaking on behalf of the Electric Vehicle Charging  
12 Association, also known as EVCA.

13 EVCA is a non-profit trade association comprised  
14 of 15 companies across the EV ecosystem dedicated to  
15 increasing EV adoption through innovation, competition,  
16 and business model inclusivity. EVCA greatly appreciates  
17 ARB's raising this issue of charger reliability. There is  
18 also a lot of activity happening on this topic already at  
19 both the federal and state levels.

20 First, three of our members are sponsoring  
21 legislation this year to address EV charging reliability  
22 and also the Energy Commission is conducting a robust  
23 stakeholder process to increase reliability requirements.  
24 Second, the PUC is discussing the importance of  
25 reliability requirements via filing form from PG&E and



1 also the Federal Highway Administration is currently  
2 developing reliability requirements for EV charging funds  
3 for all 50 states, including California. So given these  
4 existing processes, we believe that the State is taking  
5 meaningful concrete action to address this topic. And we  
6 would be happy to brief ARB Board members in more detail  
7 about these processes and incorporate their concerns and  
8 feedback into our work on this issue.

9 BOARD CLERK ESTABROOK: Thank you.

10 Our next speaker is Susanna Saunders. Susanna,  
11 you may unmute and begin --

12 SUSANNA SAUNDERS: Good afternoon. My name is  
13 Susanna Saunders and I want you to know that I was one of  
14 the main testers for the UC Berkeley study. So I got a  
15 really up-close look at the 27 percent failure rate for  
16 the DC fast chargers. And my -- my thoughts are that in  
17 order for this transition to happen to electric vehicles,  
18 we must have a reliable charging system. Along the way, I  
19 met many frustrated drivers and heard their stories.  
20 These standards must be enforceable with a mandatory 97  
21 percent uptime. And my suggestion would be that there  
22 needs to be an escrow account for maintenance, which  
23 accounts for a large portion of the cost of these machines  
24 to ensure it gets done.

25 The cables are not long enough and that is a big

1 problem. I'm having to back in to reach many of the  
2 chargers and it is frightening to not want to hit a pole  
3 or a car on the opposite side of the parking lot, and  
4 having to back in. So my suggestion would be that the  
5 design needs to be so the cables can reach all the cars.

6 I met a older couple along the way who were  
7 trying to charge. It was hot. They couldn't read the  
8 screen. They had a Mach-E Ford. They were trying to plug  
9 in. The charge would not initiate. The husband was  
10 getting very frustrated. He started yelling at the wife.  
11 And I just thought how sad that here is this couple that  
12 has done the right thing and chosen a car that will have  
13 zero emissions and won't cause air pollution and they're  
14 having this frustrating experience and that's very common.

15 So I also wanted to say that I saw myself first  
16 cut cable yesterday, because I know that the copper -- so  
17 that is very expensive and something that people are going  
18 to try and steal, so that's something that needs to be  
19 start thinking about, maybe retractable cables.

20 And I also want to say that a large part of the  
21 failure rate is for the credit card readers. And I think  
22 we need to plan for the future where most people have  
23 smartphones that the apps work better. So my -- so that's  
24 something we need to think about in planning for the  
25 future that one thing I've learned is that the credit

1 cards have to go through multiple software and connection  
2 issues, and it causes a large part of the problems. And  
3 all of the charging manufacturers will tell you that the  
4 apps have a better initiation rate.

5           And like I said, the design of the chargers  
6 and -- must be fixed. And we must go back and fix the  
7 existing charging stations. You know I talked to many  
8 frustrated folks along the way, and this is just something  
9 that has to be fixed. The existing charging stations have  
10 to be fixed and the new ones have to have enforceable  
11 standards. They will not do it on their own and there  
12 needs to be pressure and I sincerely hope that that will  
13 happen to ensure that we transition to electric vehicles.

14           Thank you.

15           BOARD CLERK ESTABROOK: Thank you.

16           Our final speaker is Francesca Wahl. Francesca,  
17 you may unmute and begin.

18           FRANCESCA WAHL: Good afternoon, Chair Randolph  
19 and members of the Board. My name is Francesca Wahl. And  
20 I'm here today on behalf of Tesla. As you may know, Tesla  
21 currently has about 270 fast charging locations with over  
22 4,000 fast chargers in California and about 40 percent of  
23 those sites are actually located in disadvantaged  
24 communities.

25           We greatly appreciate staff's diligence in

1 undertaking the technology review. As we know, it was a  
2 very time-consuming and intensive, yet very worthwhile,  
3 effort.

4           We did submit brief comments on the technical  
5 review articulating our support for the review process  
6 generally, and more broadly looking at technology  
7 availability for EV charging and drivers across the state.  
8 To provide a more seamless charging experience over time,  
9 customer payment technology innovation continues to be  
10 necessary.

11           In our comments, we specifically focused on some  
12 technical recommendations, two of which I'll briefly  
13 discuss here. The first, which has also been articulated  
14 by other speakers today, is the need to conduct ongoing  
15 technology reviews with an emphasis on gathering  
16 additional data on the availability, as well as the usage  
17 of the various payment mechanisms, and also starting to  
18 look at distinctions potentially between fast charging use  
19 cases and applications and Level 2 charging. Each of  
20 those are related to different dwell times whenever you're  
21 sitting there for 30 to 45 minutes or several hours, and  
22 there may be some distinctions that need to be looked at  
23 in the context of the payment methods used for each  
24 technology type.

25           The second recommendation would be to also

1 evaluate an opportunity for a potential third-party  
2 assessment to ensure that the technology review or future  
3 reviews do not become overly burdensome and time consuming  
4 for staff and also to ensure additional clarity can be  
5 incorporated.

6           This technology review and staff's next steps, as  
7 outlined in the presentation today are great first steps  
8 in providing more insight into the payment technology, is  
9 that as you've heard from many of the speakers, there's  
10 still a lot of questions outstanding. All EV drivers need  
11 to have confidence that they will be able to use a  
12 charging station reliably across the entire state. And  
13 this has been a key principle of the design for the Tesla  
14 fast charging network. So we appreciate the opportunity  
15 to provide brief comments today and staff continued work  
16 on this issue, as it's extremely important for driving EV  
17 adoption broadly across California.

18           Thank you.

19           BOARD CLERK ESTABROOK: Thank you.

20           Chair, that concludes the commenters for the  
21 item.

22           CHAIR RANDOLPH: All right. Thank you very much.  
23 Questions or comments from Board members?

24           By the way, this is an informational item, so no  
25 need to officially close the record.

1 All right. Board Member De La Torre is first.  
2 Who else raised their hands though?

3 BOARD MEMBER HURT: I did.

4 BOARD MEMBER SPERLING: Me too.

5 BOARD MEMBER DE LA TORRE: Okay. Thank you,  
6 staff. Thank you for going through this yet again. You  
7 know, the data still shows what it showed before and we  
8 keep having this conversation. And the folks are  
9 complaining about it. And it's a problem in search of a,  
10 you know -- or it's a solution in search of a problem,  
11 whatever the saying is.

12 I'm frankly as frustrated as I've been the other  
13 times we've had this conversation. We're talking about  
14 something that may or may not exist and may or may not be  
15 an issue, et cetera, et cetera. Cost and quality are an  
16 issue. We heard it over, and over, and over again today  
17 during the public comment. Cost and quality are issues  
18 for charging. Quality meaning reliability.

19 That's my concern. That's what I want to be  
20 focused on. That's where we need to be expending our  
21 energies, you need to be expending our en -- your energies  
22 with our collaborators at the PUC and the other agencies  
23 that have a hand in this. So I hope that this is the last  
24 time we have this conversation for a while and we can zero  
25 in.

1 I know there are three others studies not done by  
2 us that are out there in the cost and quality reliability  
3 space. Staff shared those with me. I'm not going to talk  
4 about them right now, but -- but that's where we -- we  
5 need to be looking at the results of those kinds of  
6 studies and what do we do about it, because as I've said  
7 before, we're the ones who are pushing this technology.  
8 And there cannot be a situation where we're promising  
9 something and what consumers are seeing out there is very  
10 different.

11 So again, as many times as this thing comes up,  
12 I'm going to focus on the two things that do matter to  
13 consumers, not some inside baseball arguments by vendors.

14 Thank you.

15 CHAIR RANDOLPH: Board Member Hurt.

16 BOARD MEMBER HURT: Thank you, Chair. So I guess  
17 on the other side of your comments, I'm going to jump to,  
18 you know, since I've joined this Board last year, I've  
19 seen the power of CARB's policies and regulations that  
20 activity help signal or push the market in appropriate  
21 directions. And I'm curious whether this is another  
22 opportunity, a moment in time in the payment market that  
23 we can signal what is the gold standard that centers  
24 people with enhanced customer service promotion, and  
25 whether we can do this today by refining this standard.

1 You know, what is the most ideal and equitable accessible  
2 way? And based upon that resource -- research, how are we  
3 focusing on the under and unbanked individuals.

4 At the last meeting, I asked for more details  
5 around that. I still haven't seen enough. I think the  
6 survey is a great start and I'm actually really blown away  
7 at how many people with ZEVs took the survey and they have  
8 an income under \$50,000 and they responded.

9 I'm wondering what those ZIP codes are, but, you  
10 know, the baseline is affordability and easy access. And  
11 I'm wondering, you know, peer to peer, and apps, and tap  
12 and pay, and contactless versus this chip EMV. And I know  
13 you said we've kind of already talked about this over and  
14 over, but the market is evolving and I think we have to  
15 keep talking about it. But one thing I haven't heard a  
16 lot is how are we going to bring everybody along with  
17 those who are unbanked again and underbanked.

18 And I think we do have some models and I'm glad  
19 folks from Caltrans called in in the public transit  
20 sector. What are they currently doing? What's working  
21 and what's not working for low-income households and the  
22 modes of travel that they use? What are the lessons that  
23 we can learn on the way that they pay to travel. And I  
24 think we already have a lot of that data in our local  
25 transportation agencies that we can look to and model.



1 I'm glad that we are talking about equity, but I  
2 don't know if that survey gets us there. And I hope -- I  
3 like the recommendations -- the staff recommendations to  
4 do more, but I hope that we can also take into  
5 consideration that, you know, we also don't want to waste  
6 money on unnecessary costs, even though it may be not very  
7 much to put in an E -- a chip reader, because that is one  
8 less charger maybe that could be put out there. And we  
9 know exponentially we need a ton of chargers. So I know  
10 that's kind of asking you all to kind of thread the line  
11 on like the safety of using the EMV chargers, and saying,  
12 well, it's not that much to add on the cost, but I'd also  
13 tell you that that's less chargers where it could be going  
14 to, more chargers in disadvantaged communities.

15 And I just look forward to the data and the  
16 research that's coming out. And I hope we solicit input  
17 directly from our AB 617 communities, those that are  
18 CalEnviroScreen communities, and again just underline  
19 borrowing ideas from what's currently working in public  
20 transit and how we can mimic it and make it better.

21 But I do think we need to evaluate this now and  
22 see what it looks like in a year's time, because it may be  
23 a better solution than what we've put forward now.

24 And I think in Europe there's a lot of like  
25 different ways that folks are using to pay and it's not

1 with a chip reader -- EMV chip readers, so we need to  
2 understand and analyze that as well.

3 Okay. Thank you, Chair.

4 CHAIR RANDOLPH: Dr. Sperling and then Board  
5 Member Kracov.

6 BOARD MEMBER SPERLING: I have nothing to say.

7 CHAIR RANDOLPH: Oh. Oh, sorry.

8 Board Member Kracov.

9 BOARD MEMBER KRACOV: Yeah. I was going to ask  
10 why the survey didn't ask whether the chargers were  
11 causing marital problems, but that's a --

12 (Laughter.)

13 BOARD MEMBER KRACOV: Okay. So really appreciate  
14 staff coming back on this. It was raised I think during  
15 public comments, you know, four, five months ago and you  
16 promised to come back and you did. So, you know, really  
17 appreciate that consistency and follow through.

18 You know, we still have sort of this difference  
19 of opinion even after the release of this survey. I know,  
20 Ms. Gress and her team, you know, are aware of that. So I  
21 wanted to try to drill down a little bit to see if we can  
22 kind of get at the heart of the issue. You know, I heard  
23 all of the commenters today, you know, they want more  
24 access. They want it to be reliable, Board Member De La  
25 Torre, and they don't want it to be too expensive.

1 I think everybody wants that. We need a  
2 proliferation of these, especially the Level 2 chargers,  
3 which are so important in the disadvantaged communities  
4 and really I think a key to solving our equity piece.

5 So, you know, it comes down to sort of this cost  
6 issue. The folks from the industry, the vendors as  
7 another Board member called them, are saying that  
8 including the card readers adds substantially to the cost,  
9 especially for the Level 2 chargers, which may be, let's  
10 say, are five, six to ten thousand dollars, but adding the  
11 cost of the card readers is, you know, three or four  
12 thousand dollars.

13 So what I'd like to drill down a little bit and  
14 maybe ask a couple questions of staff, whoever the  
15 appropriate person is, is, you know, what -- what is the  
16 difference in cost between a charger with a contactless  
17 versus the cost of a charger with contactless and the card  
18 reader? To me, that's the fundamental thing here. If the  
19 card reader indeed is a lot more expensive, let's come to  
20 terms with that and figure out how it affects the cost and  
21 reliability questions. If it's not much more expensive,  
22 well, then that's a different story. But there's got to  
23 be a reason why industry keeps coming to us and indicating  
24 that there's a problem with the cost of these card  
25 readers. So can we drill down on that a little bit?

1           STCD CHIEF GRESS: Sure. Happy to. Jennifer  
2 Gress, Chief of the Sustainable Transportation and  
3 Communities Division.

4           I'll just start by saying we believe the actual  
5 cost of the -- of implementing the reg with the payment  
6 system requirements will be much lower than we -- we  
7 estimated as part of the original rulemaking and certainly  
8 lower than what stakeholders are claiming today.

9           So I'll start by saying when we did our economic  
10 analysis -- and lot of what we're seeing from stakeholders  
11 are relying on information from that economic analysis,  
12 when we estimated our cost, we -- we estimated the  
13 combined cost of chip and tap together. And so removing  
14 the chip requirement is not going to significantly reduce  
15 costs, because we could -- we looked at that together.

16           Now, to kind of tease apart a little bit, I'm  
17 going to talk about equipment costs and then operations  
18 and maintenance costs. So for the equipment costs, we  
19 originally estimated about \$371 per unit combined tap  
20 and -- and chip reader. So more recent data that we've  
21 been asking from vendors kind of trying to differentiate  
22 what's the cost of a payment system that is chip plus tap  
23 versus tap only?

24           And what we're seeing is about \$70 difference,  
25 roughly, based on initial more recent data. So that's

1 equipment costs. Looking at maintenance costs --

2 BOARD MEMBER KRACOV: So it's \$70 cheaper to have  
3 without the card reader?

4 STCD CHIEF GRESS: That's right.

5 Now, looking at maintenance costs, and this was  
6 one thing that we estimated in our economic analysis, it's  
7 about \$270 per year to maintain the payment -- the payment  
8 equipment on a charger.

9 And when we did that calculation, we assumed --  
10 that cost came from basically a trip out to the charger to  
11 take a look at the payment equipment only. It did not  
12 include, you know, the -- kind of the broader charging  
13 equipment. It was just to look at the payment -- the  
14 payment technology.

15 So again, that cost was one trip to get at both  
16 tap and chip. And we think that, you know, that cost is  
17 the same, whether you have a chip and tap versus just tap.  
18 Furthermore, we believe that in actuality that most  
19 companies most of the time will probably combine a service  
20 call to a charger to look at both the equipment as a whole  
21 and the payment equipment, right?

22 When we did our economic analysis, just assumed  
23 those would be separate tips, because we were only -- we  
24 were only requiring in our regulation payment methods. So  
25 if a charging company combined their maintenance of the

1 system as a whole and the -- and the payment technology,  
2 we would look at much lower costs altogether associated  
3 with the regulation.

4           And then the last thing I'll say is one of the --  
5 to help reduce costs of the regulation, one thing we  
6 allowed for is companies to comply with the payment  
7 technology requirements using a kiosk. So it doesn't have  
8 to be that every charger has a chip read. It can be the  
9 case that there's one kiosk that serves a bank of  
10 chargers. And that's another way that the charging  
11 companies can reduce their costs.

12           BOARD MEMBER KRACOV: Thank you, Ms. Gress. So  
13 did our survey discuss any of these cost questions or the  
14 survey was focused on a different topic, correct?

15           STCD CHIEF GRESS: Yeah. We had three different  
16 surveys, one of drivers. We didn't really ask about cost  
17 of payment technologies. The second survey was of the  
18 credit card companies, and the third was that the charging  
19 companies -- let me look to staff. I do not believe we  
20 asked any questions about the -- their cost of payment  
21 technologies.

22           STCD CHIEF GRESS: Okay. Yeah. We did not ask  
23 for that in the survey.

24           BOARD MEMBER KRACOV: Thank you. Just a few more  
25 questions then, Chair. So our conclusion is that -- so

1 the maintenance costs over time are much larger than this  
2 initial \$370 cost, but it's our conclusion that over time  
3 either the visits that deal with problems with the card  
4 reader would be combined with normal visits to the  
5 location, right, or that you're not going to have a lot of  
6 special trips just to deal with the card reader issues,  
7 which are going to really inflate the costs, is that our  
8 conclusion?

9 STCD CHIEF GRESS: Yeah, our -- what we're  
10 anticipating is that companies by and large will do  
11 maintenance of the payment equipment when they do  
12 maintenance of the charging station as a whole. And they  
13 will not be separate costs as we estimated it in the  
14 original rulemaking.

15 BOARD MEMBER KRACOV: Do you have a sense, or  
16 maybe you can respond, I think it's a fair question, why  
17 do -- why do you believe we're getting such pushback from  
18 industry, if that's the case? If it really doesn't matter  
19 whether you have the combined system or just the tap,  
20 why is industry or -- and certain segments of the vendors  
21 so concerned about this?

22 STCD CHIEF GRESS: Well, it's hard to say for  
23 sure. I think there have been different concerns  
24 expressed to us over time. Initially, part of the concern  
25 was, hey, we've already designed our systems to be tap

1 only. This is -- in -- with respect to Level 2 in  
2 particular. And so we would have -- we need -- we would  
3 have to like redesign them and that's going to take time.  
4 And at the time we were doing the rulemaking, we heard  
5 that concern, and therefore extended the initial  
6 compliance deadline, so that they would have more time to  
7 redesign their systems. So by the time the Level 2  
8 requirement is in effect, it will be four years from  
9 the --

10 BOARD MEMBER KRACOV: So we gave extra time.

11 STCD CHIEF GRESS: So we have them extra time.  
12 You know, there's been a lot of speculation as to, you  
13 know, the financial motive of a card company wanting to  
14 stick with tap -- you know, a charging company wanting to  
15 stick with tap. It's - you know, I hate to share  
16 speculation, but, you know, when you have the tap  
17 technology, right, that's the same technology that you use  
18 when you -- when you're paying through a membership RFID  
19 card or a membership-based app, right? It's the same  
20 technology. And so charging companies can make it easier  
21 to use the app for the -- or their membership card. And  
22 that's a way they just get more information about the  
23 user. That's the speculation that we have heard for a  
24 long time. It's hard for us to conclude that that's --  
25 that's right or wrong, but that is what we've been hearing



1 over time.

2 BOARD MEMBER KRACOV: Well, thank you very much  
3 for this. You know, to me, and I think some of the other  
4 Board members, you know, we do believe, and I think, you  
5 know, there are some other studies out there that show  
6 that the technology is going in a different direction. I  
7 go to Starbucks all the time. People, it appears to me,  
8 of all income levels and demographics are -- or  
9 demographics are using their tap.

10 It just seems that that's where the world is  
11 heading. I know that we are going to continue to study  
12 this in the future. I would like to have more data on the  
13 cost question. We need to proliferate these Level 2  
14 chargers. And if putting an antiquated card reader in  
15 there is going to make it more complicated, more costly,  
16 and less effective to deploy these, we have to get to the  
17 bottom of it. So as we're continuing to do these studies,  
18 Ms. Gress and staff, as we're continuing to survey the  
19 charging companies in the next iteration of this, I would  
20 like us to drill down further on this cost question, so  
21 that we know we're not, you know, shooting ourselves in  
22 the foot a little bit here. Does that make sense?

23 STCD CHIEF GRESS: Absolutely. We're happy to do  
24 that.

25 BOARD MEMBER KRACOV: Okay. Thank you.

1 CHAIR RANDOLPH: Okay. I think the cost  
2 conversation is really helpful. I mean I don't know what  
3 the real sort of rollout timeline is going to be for tap  
4 technology to be ubiquitous, but I think what we have  
5 learned so far is that it's not today and it's probably  
6 even -- I mean, even some of the data from the credit card  
7 companies indicate that this is going to sort of --  
8 there's going to be an uptake, but it's going to be within  
9 the next two years.

10 And I think it kind of gets back to a -- a basic  
11 sort of regulatory question of do we stop what we're doing  
12 now and tackle this question immediately, or do we gather  
13 some more data. And then based on the information we  
14 learn from Valley CAN study, you know, from other studies,  
15 take a look at this in a year's time or whatever timing  
16 kind of makes sense based on the data we're seeing, and  
17 then take action at that time, because I do think that the  
18 fundamental purpose of the statute and then the regulation  
19 that was adopted in 2019 was to have as many payment  
20 methods as possible and to -- people, -- so people didn't  
21 feel locked in to using an app. And I think that purpose  
22 is still valid.

23 It is not -- it's not, you know, chip or  
24 contactless, right? I mean, we are -- they can do both,  
25 and -- and so I think where staff is going with collecting

1 more data and understanding I think it's a fair question  
2 to ask for maybe some more information about costs for the  
3 difference, because I'm sure if you had no credit card  
4 reader at all, that would probably be a significant cost  
5 savings, but I don't know that that's where we want to go  
6 in terms of accessibility for individuals.

7           So then kind of to Jen's point, it really becomes  
8 a -- what is the incremental difference in cost of having  
9 both the chip and the tap. And so recognizing that that  
10 Delta may not be particularly large and the -- and the  
11 access benefits might be significant, I think we need to  
12 be willing to spend a little more time recognizing the  
13 future. And I do think when we do finally amend this  
14 regulation, you know, I think we're going to want to think  
15 about ways we can build a little more flexibility into it,  
16 so that we don't have to always go back to the regulation  
17 as things change. I'm not sure if that's possible or not.

18           But I -- buy I just don't see this as an urgent  
19 issue that has to be tackled immediately. I think we can  
20 take the time to get some more data and to see how the  
21 rollout is occurring and what people's real lives  
22 experiences are.

23           And I'm not even going to go down the reliability  
24 point, because I think my Board members and members of the  
25 public made great points about ensuring the reliability of

1 the charging network is very, very important and I think  
2 we have a lot of work to do there.

3 BOARD MEMBER HURT: I have a question of staff.  
4 Yeah. To that point, it sounds like the Chair made the  
5 point that we want to give it some time and see what the  
6 data shows, and that we're not maybe in a rush, or any  
7 time within the next year. What timeline does staff see  
8 that, you know, just to kind of signal to stakeholders how  
9 long you think you can -- you need to gather? You know,  
10 what does it mean to be broadly recognizable? I think  
11 that was one of the languages used in one of the staff  
12 reports to me. Just curious.

13 STCD CHIEF GRESS: Yeah. In terms of when we  
14 anticipate coming back to you all, we're thinking next  
15 gives. That will give us enough time to work through the  
16 listening sessions, through -- work through the Valley CAN  
17 process and continuing doing more cost analysis. But in  
18 terms of when we think that the transition to tap will be  
19 complete, it's really hard for us to predict that. It's  
20 clear that the tap is accelerating, but is it three years  
21 away, is it five years away? We know we can't predict  
22 that.

23 BOARD MEMBER HURT: I understand. Thank you.

24 CHAIR RANDOLPH: Okay. All right. As noted,  
25 this is an informational item, so no action is necessary.

1 And so we will now move to open public comment for those  
2 who wish to provide a comment regarding an item of  
3 interest within the jurisdiction of the Board that is not  
4 on today's agenda. And the clerk will call on those who  
5 have submitted a request to speak card or if those of you  
6 who are joining remotely who have clicked the raise hand  
7 button or dialed star nine.

8 BOARD CLERK GARCIA: Thank you.

9 We currently have one in-person commenter who  
10 wishes to speak.

11 So John Blue. You

12 MR. BLEU: Can I move to the back of the queue?

13 BOARD CLERK GARCIA: What?

14 Do you mind if I move to the back of the queue?

15 BOARD CLERK GARCIA: You're the -- you're the  
16 only in-person commenter.

17 MR. BLUE: I understand there's some on-line  
18 commenters. I'd like to hear what they say first.

19 CHAIR RANDOLPH: How many do we have in person?

20 BOARD CLERK GARCIA: We have on person.

21 CHAIR RANDOLPH: Oh, okay.

22 MR. BLUE: I may not -- I may not even speak at  
23 all. That's my concern.

24 CHAIR RANDOLPH: All right.

25 BOARD CLERK ESTABROOK: We currently have 12

1 people with their hands raised to speak online in Zoom.

2 Our first speaker is going to be Gary Hughes.

3 And then after Gary will be Dave Cook and Frank Donnelly.

4 Gary, you can unmute and begin.

5 GARY HUGHES: Thank you so much. Thank you,  
6 Chair and thank you members of the Board for this chance  
7 to speak briefly. My name is Gary Hughes and I work as  
8 the Americas Program Coordinator for the international  
9 organization Biofuelwatch.

10 And I just really wanted to very briefly try to  
11 give the Board here a bit of an update about what is going  
12 on with the conversion of refineries in the San Francisco  
13 Bay Area to manufacturing renewable diesel and eventually  
14 sustainable aviation fuel. The governance of the  
15 environmental review has been highly irregular. And just  
16 wanted to flag that on Tuesday, May 3rd, next week, there  
17 will actually be hearings of the appeals of the Planning  
18 Commission decision with Contra Costa County to certify  
19 the FEIRs of both the Marathon Neste joint venture at the  
20 Martinez's Refinery and the Phillips 66 biofuel refinery  
21 project in Rodeo.

22 Now, I know that Chair Randolph is aware of these  
23 refinery conversions. I heard the testimony during the  
24 joint legislative committee on transportation policies.  
25 And it, as someone who's been very involved with the

1 governance of this and the environmental review and  
2 recognized all the irregular -- irregularities with the  
3 CEQA review of this, I was a little bit discouraged to see  
4 references being made to these refinery conversions as  
5 being so central to California's plan for decarbonization,  
6 without any recommendation of community concerns.

7           There's, you know, a lot that needs to be said  
8 about how the Low Carbon Fuel Standard needs very serious  
9 review. And we think that the issues that are being  
10 raised during the environmental review of these refinery  
11 conversions in terms of the high emissions of the refining  
12 process itself as well as with all of the evidence that's  
13 building with the risks of deforestation from relying  
14 commodities like soy for making fuel, you know, all of our  
15 concerns have been basically ignored.

16           So I just wanted to flag for the Board here that,  
17 yes, next Tuesday May 3rd folks should pay attention and  
18 see what's going on. There's a few other dynamics with  
19 the way that high executives from the Air Resources Board  
20 actually came to the planning commission hearings on these  
21 refinery conversion projects and spoke in support of the  
22 companies was also a dynamic that, you know, really  
23 illuminates the irregular governance around these issues.

24           So thanks for allowing me to make this extra  
25 comment at what has been a long meeting. Thank you for

1 your service.

2 BOARD CLERK ESTABROOK: Thank you.

3 Next is Frank Donnelly. Frank, you may unmute  
4 and begin. We're going to pull up your slides. So just  
5 give it a moment and I will -- we won't be able to display  
6 the timer while you're giving your slides, so I will keep  
7 track and I'll let you know when you've got 30 seconds  
8 left and when your time is up.

9 (Thereupon a slide presentation.)

10 FRANK DONNELLY: Good afternoon, Madam Chairman,  
11 and fellow Board members. I'm Frank Donnelly currently  
12 the President of Tractive Power Corporation and former  
13 founder area of Railpower Corporation from my team 55  
14 dominant -- battery dominant hybrid locomotives nicknamed  
15 Green Goats into service between 2004 and 2007.

16 Back in 2005, each locomotive demonstrated market  
17 readiness of battery powered switcher locomotives, even  
18 though the older technology, lead acid batteries, fell  
19 short of rail industry expectations.

20 Next slide, please.

21 --o0o--

22 FRANK DONNELLY: My new company, Tractive Power,  
23 manufactures industrial switching locomotives from  
24 remanufactured locomotive components. The industrial  
25 switcher application involves the moving of short strings



1 of rail cars spotting one at a time while each is loaded  
2 or unloaded.

3 This is the lightest duty application and an  
4 excellent opportunity for a evolving and maturing battery  
5 systems specific to locomotives. As the chart on the  
6 right illustrates, these industrial switcher locomotives  
7 offer higher Tractive effort than most railcar movers,  
8 allowing the longer cuts of cars to be moved safely.

9 Our industrial switching locomotives come in  
10 variations from two axles to six axles, which each allow  
11 an additional 23,000 pounds of Tractive effort or pulling  
12 power.

13 Next slide, please.

14 --oOo--

15 FRANK DONNELLY: Utilizing the CORE voucher this  
16 summer, we will demonstrate our first zero-emission  
17 industrial switching locomotive at a locomotive repair  
18 shop Diesel Motive in Cali -- in Stockton, California.  
19 This facility is located in an area that has a  
20 CalEnviroScreen rate of 87 percent and borders on an  
21 neighborhood at 97 percent. The locomotive that will be  
22 parked when this locomotive is in service is a small 1950  
23 era AP9.

24 BOARD CLERK ESTABROOK: Thirty seconds remaining.

25 FRANK DONNELLY: I beg your pardon?

1 BOARD CLERK ESTABROOK: Thirty seconds remaining.

2 FRANK DONNELLY: Okay. Better than a hybrid

3 Green Goat, these locomotives are zero emissions.

4 Okay. Next slide, please.

5 --o0o--

6 FRANK DONNELLY: We believe the CORE voucher  
7 program with its three-year lease option is an innovative  
8 approach to promote low-emission locomotives as the Carl  
9 Moyer verification and scrappage requirements or hurdles  
10 that we could not overcome with our Tier 4 locomotives.

11 BOARD CLERK ESTABROOK: Thank you.

12 CHAIR RANDOLPH: Clerk. I'm going to go ahead  
13 and note that we will be closing the queue in two minutes.  
14 So if you haven't already raised your hand to get into the  
15 queue, please raise it within the next two minutes.

16 Thank you.

17 BOARD CLERK ESTABROOK: Thank you.

18 And now I will call on Dave Cook. Dave, you can  
19 unmute and begin your portion.

20 DAVID COOK: Hello. Can you move to the next  
21 slide, please.

22 --o0o--

23 DAVID COOK: The motive -- good afternoon, Madam  
24 Chair and fellow Board members. My name is David Cook and  
25 I work for rail propulsion systems. Electric locomotives

1 have been market ready since the diesel electric  
2 locomotive was introduced in the 1950s, but the rail  
3 industry now feels burdened by decades of incrementally  
4 less reliable and more expensive equipment in the pursuit  
5 of lower diesel emissions.

6           The simplicity of batter-powered locomotives used  
7 in the right applications could reverse this trend, but we  
8 need to find a way to accelerate the evolution of battery  
9 systems in these locomotives in a manner that is low risk  
10 to railyard operations.

11           The three-year lease option under the CORE  
12 program that delays the need to scrap and existing  
13 locomotive may be the tipping point to getting enough  
14 systems in service to promote rail industry acceptance.

15           Next slide, please.

16                               --o0o--

17           DAVID COOK: RPS is focusing on battery  
18 conversions specific to four and six axle locomotive  
19 conversions for yard switching and shortline applications,  
20 while industrial switching locomotives that (inaudible) --

21           (Multiple voices.)

22           DAVID COOK: -- with strings of rail cars one  
23 spot at a time, yard switcher locomotives move longer cuts  
24 of railcars back and forth across small railyards to sort  
25 railcars between different tracks. Yard switchers will

1 require more power and energy storage.

2           This picture is the railyard that our existing  
3 zero-emission switcher operates at illustrating a shift  
4 work of railyard switching operations. It also  
5 illustrates how locomotives in these applications could be  
6 wirelessly charged while in motion on one track allowing  
7 24-hour operations without downtime for charging.

8           Next slide, please.

9   --o0o--

10           DAVID COOK: The 999 pictured here charging has  
11 been operating one day every few weeks for the last year  
12 at a railyard located in an area with an EnviroScreen  
13 rating of 88 percent and a pollution burden of 93 percent.

14           Every day the 999 is operating, it is displacing  
15 a smokey 1950s GP9 locomotive. With a CORE voucher, RPS  
16 can both convert this railyard to regular daily  
17 zero-emission service and also allow our partner company  
18 Pacific West Systems to temporarily place the 999 at other  
19 California railyards in order to educate others on this  
20 technology and generate additional customers for  
21 zero-emission locomotives.

22           In the CORE program workshops that Tractive Power  
23 and my company participated in staff has expressed a  
24 reluctance to keep the manufacturer self-purchase option.

25           BOARD CLERK ESTABROOK: Thirty seconds.

1           DAVID COOK: RPS is requesting CARB leadership  
2 staff extend the manufacturer's self-purchase option and  
3 increase the voucher limit for the CORE Program. As the  
4 retail cost for higher performance zero-emission switcher  
5 locomotives may range up to \$5 million, the current  
6 \$500,000 cap will slow down the market penetration of  
7 higher performance battery switcher locomotives.

8           I'd be happy to any -- answer any questions and  
9 thank you for your time.

10          BOARD CLERK ESTABROOK: Thank you.

11          CHAIR RANDOLPH: Board Member Kracov.

12          BOARD MEMBER KRACOV: Just a quick follow-up. I  
13 hear from this stakeholder a lot in the South Coast. This  
14 is the CORE Program. Who on staff would be the person to  
15 speak to about the CORE Program?

16          DEPUTY EXECUTIVE OFFICER SEGALL: Yes. That's  
17 us. I was chuckling earlier, because I've never seen  
18 anyone so seamlessly give a presentation across two  
19 commenters.

20          BOARD MEMBER KRACOV: Right.

21          DEPUTY EXECUTIVE OFFICER SEGALL: But the larger  
22 point about the importance of zero-emission locomotives is  
23 a real one.

24          BOARD MEMBER KRACOV: Okay. So I could follow up  
25 with you afterwards?

1           DEPUTY EXECUTIVE OFFICER SEGALL: Yes. And I  
2 guess what I'll just say briefly, Board Member, is that  
3 CORE is modifying some of its guidelines that should  
4 provide broader access for certain kinds of zero emission  
5 switchers. I don't know about this particular project of  
6 course, but there is room there and we can follow up  
7 further.

8           BOARD MEMBER KRACOV: Thank you so much. I'll  
9 follow up with you after the meeting, Mr. Segall.

10          CHAIR RANDOLPH: Thank you.

11          Okay. Clerk, go ahead and continue calling  
12 commenters.

13          BOARD CLERK ESTABROOK: All right. Thank you.

14          Next will be Elliot Gonzalez. After Elliot will  
15 be Karim Tarraf.

16          Elliot, you may unmute and begin.

17          ELLIOT GONZALEZ: Hello. Good afternoon. My  
18 name is Elliot. I live in Long Beach, California. I'm a  
19 nation -- I work with the national organizing team of the  
20 Sierra Club and just in my personal life I'm a -- I'm a  
21 member of the Sierra Club. I'm an activist. Very  
22 concerned about the short time before the planet reaches a  
23 point of no return and what the International[SIC] Panel  
24 on Climate Change is saying. I just wanted to talk really  
25 briefly about the Scoping Plan and just a few issues that

1 I noticed with it.

2 One, that it doesn't call for the stopping of any  
3 new gas plants in all of the plans. And I just think that  
4 environmental activists have been very clear, the  
5 International[SIC] Panel on Climate Change has been very  
6 clear, that we must stop using fossil fuels, that includes  
7 gas and so-called renewable sources from cow exhaust is  
8 not stopping the methane -- the methane concerns.

9 So I just wanted to say that Scenario 1 looks  
10 like a promising scenario in that it does promise carbon  
11 neutrality by 2035. But, in general, there's still, I  
12 think, a more robust discourse that needs to be had with  
13 the public. I don't think that this represents a public  
14 vision for a just transition. And that's really what the  
15 work of the Air Resources Board is to pell out exactly how  
16 does California go about a just transition? How do we  
17 stop all of these gas plants and retire them in a very  
18 short amount of time, and looking to how that's going to  
19 affect the economy and plan the economy accordingly.

20 So I just would like to say that I think that  
21 this type of discussion needs to be had out with the  
22 public and that the public has a lot of ideas on how to  
23 reach attainment and reach our climate goals. Solutions  
24 for the renewable future are here and -- and I do think  
25 that -- that there needs to be a greater public

1 discussion.

2           So CARB, at this point, is failing to  
3 appropriately address the environmental injustices that  
4 are going on. The climate reality needs to be fully  
5 expressed in a document. It needs to have vision and that  
6 vision must come from the public. So I just want to ask  
7 as a member of the public that CARB be more thorough in  
8 engagement and really make some space for the public to  
9 give its input on -- in terms of what types of Scoping  
10 Plan -- what is the general scope the Air Resources Board  
11 needs to be looking into in order to reach its compliance.

12           Thank you.

13           BOARD CLERK ESTABROOK: Thank you.

14           Our next speaker will be Karim Tarraf. After  
15 Karim will be Ari Eisenstadt, Catherine Ronan, and Ashley  
16 Hernandez.

17           Karim, I -- we will be pulling up your slides for  
18 you. And when you see them, you can unmute and begin your  
19 comment.

20           (Thereupon a slide presentation.)

21           BOARD CLERK ESTABROOK: I will give a reminder  
22 when you have 30 seconds remaining and when your time is  
23 up.

24           KARIM TARRAF: Thank you very much for the  
25 Invitation to speak in front of the board. My name is



1 Karim Tarraf. I'm one of the four co-founders of a  
2 company Hawa Dawa based in Europe. A bit of background to  
3 myself.

4 Next slide, please.

5 --o0o--

6 KARIM TARRAF: I grew up in Cairo, Egypt, a city  
7 that shows all the typical traits of an emerging economy.  
8 Both my parents were -- or are doctors for respiratory  
9 diseases. My brother suffered from childhood asthma. So  
10 I'm very well aware of how air pollution not only needs  
11 air quality monitoring in (inaudible), but it's about  
12 limited life quality, high health care expenditures, and  
13 episodes of asthma attacks where we try to find reliever  
14 medication and wondering what type of trigger caused that  
15 and when this trigger occurred.

16 So this question actually is a mirror image of  
17 the question I heard earlier is how does, you know, what  
18 we do equate to improved health. And the question lies in  
19 what type of data do we have

20 Next slide, please.

21 --o0o--

22 KARIM TARRAF: So, of course, we're all familiar  
23 that we collect data with these large instruments, very  
24 delicate, very complex instruments that can really measure  
25 particulate matter, for example, up to the fifth digit

1 after the decimal point, but because of their del --  
2 expensiveness, we cannot rule -- roll them out area-wide.  
3 And of course lower cost sensors and mobile sensors  
4 promise to fill this gap, but they fail to abide to the  
5 standards that we use to determine how air quality is  
6 judged being above threshold or lower than threshold and  
7 really assess the severeness of air pollution.

8           Next slide, please.

9                               --o0o--

10           KARIM TARRAF: And I want to point the Board to  
11 a -- towards a development here in Europe where hybrid  
12 sensor networks are now happening where, for example, our  
13 company was able to prove that with a hybrid sensor  
14 network and with a sensor network that we can achieve the  
15 same level of accuracy as -- accepted as well in the U.S.  
16 For example refer -- against the reference method and the  
17 equivalence method, so you can really have -- not compare  
18 oranges with apples anymore, but really have standardized  
19 data and really bring the data that you trust under  
20 surveillance of air pollution, and really answer the  
21 question on how this air pollution affects our health.

22           If you go to the next slide.

23                               --o0o--

24           KARIM TARRAF: And this -- the one after, please.

25                               --o0o--

1           KARIM TARRAF: And this allows us to answer  
2 questions like what you see on the right-hand side, how  
3 many people with diabetes, how many people with asthma,  
4 how many people with respiratory diseases, or  
5 cardiovascular diseases are exposed to NO2 levels, for  
6 example, higher than 40 micrograms. You can really dig  
7 down into the data on a postal code level or even on a  
8 street by treat level and understand in real time how  
9 does -- how does the policies that the CARB introduces  
10 really affect environmental justice and health as a whole.  
11 And you can also use the same data to really combine it  
12 with traffic information the types of vehicles are driving  
13 through here and it really has --

14           BOARD CLERK ESTABROOK: 30 seconds remaining.

15           KARIM TARRAF: -- that's one of the biggest  
16 challenges that California faces.

17           So if you go to the -- actually the slide before  
18 last, you can skip all through and just go to the slide  
19 before last.

20                               --o0o--

21           KARIM TARRAF: What we're looking for is a way to  
22 demonstrate the -- or in the pilot deployment the system  
23 as it operates in California and to prove that it can  
24 really achieve regulatory grade accuracy and support in  
25 identifying the hot spots, the so far -- the social

1 identification, as well as really deploying it in key  
2 locations, such as schools and hospitals, and really take  
3 the question of how does what we do equate to improved  
4 health really have numbers and data behind it --

5 BOARD CLERK ESTABROOK: Thank you.

6 KARIM TARRAF: Yeah -- instead of guessing.

7 BOARD CLERK ESTABROOK: Thank you. That  
8 concludes your time. We do have your entire slide show.  
9 We see that you've posted it to the docket, so thank you  
10 for that.

11 Our next speaker will be Ari Eisenstadt and then  
12 Catherine Ronan, and Ashley Hernandez.

13 Ari, you may unmute and begin.

14 ARI EISENSTADT: Hi there. Thanks so much. My  
15 name is Ari Eisenstadt and I'm a staff member of the  
16 California Environmental Justice Alliance. And I'm  
17 speaking on the Scoping Plan electricity sector scenarios  
18 today on behalf of the Regenerate California campaign.  
19 Thank you so much for the opportunity to provide public  
20 comment.

21 I'm here today because of the unjust nature of  
22 the Scoping Plan proposals. As you all are aware, CARB  
23 staff recently recommended adopting Alternative 3, which  
24 like Alternative 2 and 4, allows 30 million metric tons of  
25 greenhouse gas emissions from the electric sector through

1 2050. All of the Scoping Plan scenarios, even Alternative  
2 1, propose new gas builds. In particular, Alternative 3  
3 would require a projected 10 gigawatts of new gas-fired  
4 power capacity. This is equivalent to roughly 38 new  
5 midsized gas fired power plants.

6 California, like the rest of the U.S., has a  
7 history of disproportionately siting these power plants in  
8 low income communities of color, contributing to some of  
9 the highest ozone pollution burdens in the country. In  
10 order to have a Scoping Plan that operationalizes racial  
11 equity, we are asking that the Board demand that there be  
12 no new gas capacity in any of the electricity sector  
13 scenarios, and that all of the scenarios should reach zero  
14 million metric tons of greenhouse gas emissions by 2045.

15 The consequences of CARB's actions are extremely  
16 significant and you have the opportunity to lead the  
17 country and the world with ambitious Scoping Plan goals.  
18 Entertaining the expansion of fossil gas would do the  
19 exact opposite. The Scoping Plan is an opportunity to  
20 send a signal to agencies like the CPUC and to the rest of  
21 the country that we will no longer sacrifice communities  
22 of color.

23 Thank you.

24 BOARD CLERK ESTABROOK: Thank you.

25 Catherine Ronan, you may unmute and begin.

1           CATHERINE RONAN: Good morn -- good afternoon.  
2 My name is Catherine Ronan and I'm a member of the Sierra  
3 Club in California. I'm speaking today because I'm very  
4 concerned about what I've seen of the CARB Scoping Plan,  
5 which will be coming before you soon.

6           Right now, shockingly, all four alternatives  
7 proposed by staff call for more gas plants. We need to be  
8 ending our reliance on gas. Not only is burning methane a  
9 particularly dangerous way of emitting greenhouse gases,  
10 but it's also toxic to our communities, where these gas  
11 plants are located.

12           The scenarios also rely way too much on carbon  
13 capture, which is unproven at large scale. We have better  
14 alternatives to gas and carbon capture, such as more  
15 renewable energy including solar, wind, offshore wind, and  
16 geothermal resources, storage, energy efficiency, and  
17 demand response.

18           Moreover, Alternatives 2, 3, and 4 are all very  
19 similar and none of them are ambitious enough. They don't  
20 meet the requirements of SB 100 or of Governor Newsom's  
21 edict that every alternative reach a zero carbon electric  
22 system by 2045.

23           I believe that CARB can and should do better.  
24 CARB needs to present multiple pathways to address air  
25 quality concerns in the electric sector. And this

1 requires offering more than one scenario that provides  
2 tangible improvements in air quality for front-line  
3 communities. CARB can do this by raising the level of  
4 ambition in Alternatives 2, 3, and 4.

5 Thank you.

6 BOARD CLERK ESTABROOK: Thank you.

7 Ashley Hernandez will be next. After Ashley will  
8 be Sofi Magallon, Angie Balderas, and Francis Yang.

9 Ashley, you can unmute and begin.

10 ASHLEY HERNANDEZ: Hello. Thank you. My name is  
11 Ashley Hernandez. I'm a resident of Wilmington,  
12 California and an organizer with Communities for a Better  
13 Environment. We are a leading environmental justice  
14 organization in the state of California building people  
15 power and advocating for environmental health and justice.

16 I'm here speaking on the CARB Scoping Plan.

17 CHAIR RANDOLPH: Excuse me, Ms. Hernandez. I'm  
18 sorry to interrupt. Could you -- would you mind speaking  
19 up a little bit. We can barely hear you.

20 ASHLEY HERNANDEZ: No worries. I also -- I want  
21 to begin by urging the CARB Board to reconsider  
22 prioritizing public comment, because allowing residents to  
23 be online for a few hours to fight for our health is an  
24 unnecessary obstacle. And public comments should be a  
25 priority as well as uplifting the voices of impacted

1 residents. I'm calling because the CARB needs -- CARB  
2 needs to create an aggressive plan to prevent  
3 environmental injustices going on in our State and prevent  
4 the worst impacts of climate catastrophe in our serious  
5 climate conditions.

6 CARB wants to keep burning gas, and that includes  
7 investing in building more gas plants. Burning gas is a  
8 direct attack on those living on the front lines of toxic  
9 energy that harms -- harms the lungs and health of my  
10 community and our impacted planet.

11 I live in a refinery town and air quality affects  
12 so many of the peers, family, and members I've enacted  
13 with throughout the years. All of these folks can't be  
14 here today, but feel strongly as I do that creating a plan  
15 that allows impacted neighbors thrive rather than face  
16 aggressive forms of cancer, asthma, and much more should  
17 be important and be the priority.

18 I'm asking the Board to stop any new plants in  
19 all plans and ensure that all plans should reach a zero  
20 MMT by 2045, and need new scenarios because only one helps  
21 us reach the goals that will protect our most impacted  
22 communities.

23 It is inexcusable that CARB wants to keep all our  
24 communities attached to gas and even build new gas  
25 project. Solutions for renewable energy are here and we



1 need those investments to be done and delivered. And we  
2 need to invest in these alternative forms before spending  
3 any more money on gas and other harmful forms of energy  
4 that are directly situated in our neighborhoods.

5 The bottom line is that front-line EJ communities  
6 have a right to clean air and healthy lungs. Please make  
7 sure that the health of our communities is your top  
8 priority by rejecting all gas and helping our state move  
9 towards a clean and just energy future.

10 Thank you.

11 BOARD CLERK ESTABROOK: Thank you.

12 The next speaker is Sofi Magallon. Sofi, you may  
13 unmute and begin.

14 SOFI MAGALLON: Good afternoon. Thank you for  
15 the opportunity to speak. My name is Sofi Magallon. I am  
16 a resident of Oxnard, California and I'm with the  
17 organization CAUSE. I am speaking on the CARB Scoping  
18 Plan electricity sector scenarios. CARB needs to create  
19 more ambitious plans and create the path to zero emissions  
20 to stop the environmental injustices ongoing in our states  
21 and for the health of both our people and our planet.

22 My community of Oxnard, California in the Central  
23 Coast has a population of about 75 percent Latino and is  
24 surrounded by fossil fuel plants, a Superfund site, and a  
25 port that continually leaches heavy levels of diesel

1 exhaust.

2           In 2017, Oxnard residents advocated to stop the  
3 building of a new 262 megawatt natural gas peaker plant  
4 named Puente and won this victory. Out of the four  
5 scenarios proposed by CARB, CARB staff formally  
6 recommended Scenario 3, the second least aggressive path,  
7 which does not shut down any of the gas power plants that  
8 currently pollute our neighborhoods and keep all fossil  
9 fuels gas plants operating.

10           The first scenario, which is said to be the most  
11 ambitious, reaches our climate goals by reaching a hundred  
12 percent carbon neutrality by 2035. However, this first  
13 most ambitious scenario still allows a build-out of six  
14 gigawatts of natural gas, which is equivalent to 23 Puente  
15 power plants that my EJ community fought so hard to stop.  
16 And CARB -- and CARB recommended the second least  
17 ambitious scenario.

18           In the CARB Scoping Plan, I am asking the  
19 Commission to stop any new gas plants in all plans and  
20 ensure all plans should reach zero MMT by 2045.

21           Thank you so much for your time and  
22 consideration.

23           BOARD CLERK ESTABROOK: Thank you.

24           Angie Balderas, you may unmute and begin.

25           ANGIE BALDERAS: All right. Good afternoon. My

1 name is Angie Balderas. I reside here on occupied Serrano  
2 land in the IE. I'm an organizer with the Sierra Club My  
3 Generation Campaign, and also the co-chair to the AB 617  
4 San Bernardino/Muscoy.

5 I'm here to speak on a huge piece of the puzzle  
6 in order to get us to zero-emissions. We need CARB to  
7 create the road to zero emissions for the health of all  
8 our folks and our planet. I live in the IE where the air  
9 quality is -- well, how do I put it in a nice term. It's  
10 shitty. And it affects only -- it affects my family, me,  
11 my loved ones, my community very harshly, even in -- like  
12 for some folks it's death.

13 I'm really not looking forward to breathing  
14 issues and the doctor visits this summer, but that's the  
15 struggle of living in impacted communities like the IE.  
16 We are demanding the Commission to stop any new gas plants  
17 in all plans. Let's ensure a plan that should reach zero  
18 emissions by 2045 or sooner. That would be nice. We need  
19 new scenarios, because only one brings us here. Let's do  
20 right by our communities, our climate, and Mother Earth.  
21 Bring forth a community-centered CARB Scoping Plan.

22 And I've been -- CARB is really failing to -- our  
23 communities and to be community-centric. I've been  
24 hearing the words equity and equality tossed around so  
25 casually, so empty -- some empty words that you're all

1 just throwing around. Just -- I mean, start within your  
2 own infrastructure, your own -- your own agency. Like a  
3 simple thing as public comments, you all don't make it  
4 very inclusive for everyone. Step back and remember that  
5 not everyone has the privilege of getting paid to be here  
6 and sit around since nine o'clock in the morning.

7           Community has to take the time off. Community  
8 has to make arrangements in order just to fight and voice  
9 their concerns for you all to listen, and sometimes it  
10 falls on deaf ears.

11           So if you're going to be using words like equity  
12 and equality, don't talk about it, be about it. Let's do  
13 better. Let's be better. Come on, CARB, do better by the  
14 communities that you so are appointed to fight for.

15           Thank you.

16           BOARD CLERK ESTABROOK: Thank you.

17           Our next speakers will be Francis Yang, David  
18 Haake, and Andrew Craig.

19           Francis, you can unmute and begin.

20           FRANCIS YANG: Good morning -- I mean, afternoon.  
21 My name is Francis Yang. I'm a resident of unceded Tongva  
22 land in Los Angeles and part of the Sierra Club My  
23 Generation Campaign. I'm commenting today on the CARB  
24 Scoping Plan and really here to urge you all are air  
25 regulators and CARB staff to be ambitious and create the

1 road to a clean energy future.

2           Every day for years now, you've seen climate  
3 catastrophes. Even here in California, we're all familiar  
4 with wildfire season, which has turned into a constant  
5 wildfire state. Our water has dried up. We're concerned  
6 there won't even be enough in LA to get through the  
7 summer, and all the while communities breathe the air of  
8 our outdated, extractive, and toxic fossil fuel systems to  
9 keep the lights on.

10           We know that the solutions are here and we have  
11 the tools to heal our climate and people. But when I look  
12 at the four scenarios proposed, I see even more pollution  
13 in front-line communities. I see an insufficient response  
14 to climate catastrophe. I see my future's needs unmet and  
15 environmental justice postponed again.

16           As leaders of our state, we need you to stop any  
17 fossil fuel buildout. It feels so backwards to be asking  
18 you to stop this, when the conversation should be about  
19 retiring them rapidly. We need that road to zero  
20 greenhouse gas emissions ASAP. Even 2045 is late,  
21 according to any authoritative climate report.

22           And in Scenario 3, the one that CARB staff  
23 recommends is not a path to the future. It looks more  
24 like a dead end. CARB Commissioners and staff we need you  
25 to be bold and ambitious. Deliver us a Scoping Plan that

1 prioritizes environmental justice and meets the climate  
2 needs.

3           Lastly, to follow up with Angie, we have been  
4 waiting for hours to provide general public comment. And  
5 as some of you all have been discussing what equity looks  
6 like, it can look like bringing public comments at the  
7 beginning of the meeting so that everyday people who are  
8 unpaid to be here can say what they need to say and get  
9 back to their busy lives. We had requested this earlier,  
10 but were rejected. And this is not an inclusive nor  
11 equitable time for communities to engage and we need to do  
12 better.

13           Thank you for your time.

14           BOARD CLERK ESTABROOK: Thank you.

15           David Haake, you may unmute and begin.

16           DR. DAVID HAAKE: Hello. Can you hear me?

17           BOARD CLERK ESTABROOK: Yes, we can.

18           DR. DAVID HAAKE: My name is David Haake. Thank  
19 you for the opportunity of speaking today. I'm a resident  
20 of Los Angeles and I'm speaking on the CARB 2022 Scoping  
21 Plan. I'm a professor at UCLA and a physician practicing  
22 in the Los Angeles area.

23           I'm speaking because Los Angeles continues to  
24 have the worst air quality in the entire country,  
25 particularly in our front-line communities. CARB needs to

1 be much more ambitious in stopping the environmental  
2 injustices ongoing in our city and to prevent the worst  
3 impacts of the climate catastrophe. It's extremely  
4 unfortunate and does not reflect well on CARB that despite  
5 our rapidly deteriorating climate CARB wants to keep  
6 burning gas and wants to build more gas plants.

7           Burning gas harms our lungs and the health of our  
8 communities. We need CARB to create the road to zero  
9 emissions for the health of both our people and our  
10 planet.

11           I'm calling in today, because I care about this  
12 issue, not only because I live here in Los Angeles, but  
13 because the poor air quality here is harming me, my  
14 family, and my community. I don't understand why all the  
15 scenarios in the Scoping Plan involve building new gas  
16 plants. The Scoping Plan is supposed to create a plan for  
17 reducing emissions, better health for the communities most  
18 impacted by environmental racism, and fewer costs for  
19 working families.

20           To do this, we need to close down those dangerous  
21 gas-fired power plants. Unfortunately, CARB staff is  
22 recommending a scenario that does none of these things.  
23 We need a scenario that moves us forwards not backwards.  
24 It's time that the California Air Resources Board steps  
25 up, does its job, and protects the air for me and the

1 millions of people living in the Los Angeles area.

2 Thank you very much.

3 BOARD CLERK ESTABROOK: Thank you.

4 Andrew Craig, you can unmute and begin.

5 ANDREW CRAIG: Good afternoon, Chair and Board  
6 members. And thank you for the opportunity to comment  
7 today. My name is Andrew Craig and I'm representing  
8 California Bioenergy. We are a company who partners  
9 directly with family-owned dairies throughout California,  
10 and we help develop anaerobic digesters on their farms.

11 And we want to just say we deeply appreciate the  
12 work of CARB and the leadership you've displayed over the  
13 years in taking the steps to seriously tackle climate  
14 change by developing the necessary incentives through SB  
15 1383 and the Low Carbon Fuel Standard Program. These  
16 programs help to incentivize the capture of dairy biogas  
17 to be utilized for beneficial use as a renewable natural  
18 gas and for electric vehicle charging.

19 CARB, along with multiple international,  
20 national, and state authorities, including the IPCC, EPA  
21 recognize that methane reductions are the best, most cost  
22 effective, and will result in the most immediate cooling  
23 impacts than any other climate protection strategy.

24 Digesters are among the most, if not the most,  
25 cost effective means of achieving methane reductions on a



1 public dollars invested per greenhouse gas reductions  
2 achieved.

3           We currently have dozens of digesters operating  
4 and producing renewable natural gas, as well as a fuel  
5 cell project that is operated on dairies that's delivering  
6 ultra low CI electricity to power the electric vehicles  
7 that have been discussed today. This is technology that  
8 is ultra clean, creating electricity with virtually no  
9 emissions all while helping solve the climate crisis,  
10 create jobs, and improve the economic viability of the  
11 dairy.

12           So I just want to say that these programs that  
13 have been developed by CARB's -- CARB over many years to  
14 incenti -- incentivize digesters are working exactly as  
15 planned. We want to thank you for the workshop that was  
16 hosted on March 29th to allow the facts about digesters  
17 and their benefits be expressed. And we just -- you know,  
18 we stand ready with CARB to deliver on the much needed  
19 emission reductions and help continue the leadership of  
20 the state, who's leading the world and showing what it  
21 looks like to deliver climate solutions.

22           Thank you.

23           BOARD CLERK ESTABROOK: Thank you.

24           Our next -- our final three speakers from Zoom  
25 are Michael Boccadoro, a phone number ending in 371, and a

1 phone number ending in 645.

2 Michael, you can go ahead and unmute and begin.

3 MICHAEL BOCCADORO: Thank you. This is Michael  
4 Boccadoro on behalf of the Agricultural Energy Consumers  
5 Association. I just wanted to also call in and thank the  
6 Board and staff for the honest fact-based discussion that  
7 occurred last month on the important role that dairy  
8 digesters and other dairy methane reduction efforts are  
9 playing to reduce methane from livestock.

10 I cannot stress enough and, you know, support the  
11 comments of Mr. Craig a few moments ago that markets,  
12 including the LCFS, are critical if we're going to achieve  
13 the reductions the State is looking for. We can capture  
14 methane, but we have to be able to put it to productive  
15 use.

16 As Mr. Craig stated, our efforts are fully  
17 consistent. I think this is one of the key points from  
18 the workshop was what the United States government and  
19 administration are doing, what the European Union is  
20 doing, United Nations is doing, and also supported by  
21 leading environmental organizations as the optimal way to  
22 reduce methane.

23 Simply put, without digesters and markets for  
24 cost effective utilization of the renewable energy, our  
25 livestock methane reductions that the State is looking for

1 cannot and will not be achieved. We're leading with an  
2 ambitious 40 percent reduction. And we simply cannot get  
3 there without digesters. And we're well ahead of the rest  
4 of the world who are all working toward a 30 percent  
5 pledge. We cannot lose sight of that.

6           And I just want to conclude by saying digesters  
7 are not a silver bullet solution for all livestock  
8 operations, but they significantly reduce methane and they  
9 have shown documented substantial reductions in criteria  
10 air pollutants.

11           And really important, we cannot throw out the  
12 really, really good in search of the perfect. And we  
13 recognize that digesters do not solve some of the water  
14 quality concerns that are constantly being raised by the  
15 environmental justice community, but you can rest assured  
16 that your sister agency, the State Water Resources Control  
17 Board is actively working on a precedential order, as we  
18 speak. And the environmental justice community has been  
19 involved in that process every step of the way, along with  
20 the dairy sector. And they'll be putting out enhanced  
21 water quality requirements for dairies in California  
22 moving forward.

23           We already have the world's most stringent  
24 environmental regulation of these projects. That was  
25 shown time and time again during the workshop. And those

1 water quality requirements are going to get even more  
2 significant here in California going forward. So  
3 recognize that some of these issues not addressed by  
4 digesters are being addressed appropriately by the other  
5 agencies that have that jurisdiction.

6 Thank you and thank you for your leadership on  
7 this issue.

8 BOARD CLERK ESTABROOK: Thank you.

9 Phone number ending in 371, you will hear a  
10 prompt to unmute and then you may begin your comment.  
11 Please make sure to state your name for the record.

12 BILLY: Hello?

13 BOARD CLERK ESTABROOK: Hi. We can hear you.

14 BILLY: Hi. Is -- Awesome. Hi my name is Bill  
15 and I'm a resident of South LA. And I'm just calling in  
16 and, you know, very concerned about some of the things  
17 that are being discussed, particularly the fact that we're  
18 still pushing for more fossil fuels, when this is the time  
19 that we're in the middle of a climate crisis and we should  
20 be talking about zero emissions.

21 I also want to point out, you know, I live about  
22 two blocks away from the 110 Highway. Before that, I  
23 lived three blocks away from the 101. And before that,  
24 you know, my family in Carson lived about two blocks away  
25 from a highway as well. What I'm trying to say is that,

1 you know, the people who are going to be most  
2 disadvantaged from having more gas, and, you know,  
3 continuing to push fossil fuels are the people who are  
4 already disadvantaged and living in these communities. I  
5 think it's getting hard enough for working people to live  
6 in California, how expensive it is, how unaffordable  
7 things are. And a lot of people are moving and we just  
8 want to stay here and live here, but we need a clean safe  
9 environment. And if we're not talking about zero  
10 emissions, we're not talking about the future.

11 We don't want these problems to keep on coming  
12 up. And I think this is a really, you know, historic  
13 opportunity for the Board to make a statement and move  
14 forward and say that we do want a livable city, we do want  
15 a livable state, and that we do care about the people who  
16 live here, because increasingly like a failure of  
17 leadership is showing that it's the opposite.

18 So I just wanted to say that. Thank you for  
19 listening. And, yeah, I do hope that, you know, this is  
20 taken seriously. And I appreciate all the other callers  
21 voicing their concerns as well.

22 Thank you.

23 BOARD CLERK ESTABROOK: Thank you.

24 Phone number ending in 645, please unmute, state  
25 your name for the record, and you may begin.

1           You might need -- oh, yeah. It looks like you're  
2 unmuted.

3           SVEN THESEN: Hello. My name is Sven Thesen.  
4 Chemical engineer by training, business owner, taxpayer,  
5 and dad. I would like to read something by Martin  
6 Eberhard, co-founder of Tesla Motors from May 2007, 15  
7 years ago.

8           "The Air Resources Board continues to show a  
9 bias towards hydrogen fuel cell vehicles and  
10 against the less expensive and more efficient  
11 battery electric vehicles. Tesla Motors believes  
12 this bias not justified by science or the  
13 evidence of actual vehicles and infrastructure.

14           "However, we are actually delighted by the  
15 way this bias find implementation in the ZEV  
16 mandate. For the results of this mandate is that  
17 all of our potential EV competitors, all of the  
18 big car companies, remain mired in non-productive  
19 and deeply expensive fuel cell programs keeping  
20 them out of the EV marketplace and indeed out of  
21 the serious ZEV marketplace entirely.

22           "Every year spent on a hydrogen fuel cell  
23 program by GM, Honda, Ford and the rest is  
24 another year that we at Tesla motors can build  
25 our technological and market lead in the

1 obviously winning technology, battery electric  
2 vehicles. We therefore sarcastically and  
3 enthusiastically encourage CARB to maintain the  
4 hydrogen bias and keep our competitors in the  
5 quagmire".

6 So let's just state some facts. This month --  
7 excuse me the month of March this year, Tesla sold 111,000  
8 electric vehicles. There are only 11,000 fuel cell  
9 vehicles on the road in the United States since, what,  
10 2004? Elon Musk said, hydrogen fuel cell vehicles  
11 mind-boggling stupid. And we spend the money that we  
12 taxpayers are paying for fuel cell support on what's  
13 really solving the problem, please? Can we wise-up and  
14 accept that electric vehicles won the economic and  
15 environmental. It's just science people and economics.  
16 Just like that other caller just said, we're paying taxes  
17 for a technology that doesn't work. Can we please stop.  
18 It's just -- it's just inane and it's not good for our  
19 kids and the future of California.

20 Thank you.

21 BOARD CLERK ESTABROOK: Thank you. And then  
22 John, did you want to make a comment.

23 MR. BLUE: I'm good.

24 BOARD CLERK ESTABROOK: Okay. So Chair, that  
25 concludes the commenters.

1 CHAIR RANDOLPH: All right.

2 Thank you much very much.

3 That concludes our formal agenda items for  
4 today's meeting. However, we are not done yet. We will  
5 now transition to a ceremonial presentation recognizing  
6 our Executive Officer Richard Corey.

7 I have an important announcement to make. As you  
8 may have heard, Richard is retiring, which causes us a  
9 great deal of heart break. His retirement will be  
10 effective June 30th, but this is going to be his last  
11 Board meeting where he is front and center with staff, and  
12 so we wanted to make sure that we recognized him over his  
13 objections.

14 It's hard to --

15 BOARD MEMBER KRACOV: You can still come during  
16 general public comment.

17 (Laughter.)

18 CHAIR RANDOLPH: It's hard to imagine CARB  
19 without Richard Corey. He's been an integral part of  
20 CARB's operations for 37 years. He began at CARB in 1984,  
21 having graduated with a degree in toxicology from UC  
22 Davis. He worked in the early toxics program, including  
23 the then new Air Toxics Hot Spots Law in 1987. He rose  
24 steadily through the ranks and by 1997 was Branch Chief in  
25 the Research Division, where he led the Innovative Clean



1 Air Technologies Program while at the same time working on  
2 his MBA at UC Davis.

3 In 2004, when CARB adopted its first in the  
4 nation limits on tailpipe emissions of greenhouse gases,  
5 Richard played a key role in developing, communicating,  
6 and defending staff's findings on the need to address  
7 climate change and the economic impacts of the regulation.  
8 And this set the course for CARB's further initiatives on  
9 climate change.

10 So I it made perfect sense that when AB 32 was  
11 then signed, Richard, who was the Assistant Division Chief  
12 in the Research Division, was responsible for the Early  
13 Action Measure Report, which developed early action  
14 measures to reduce GHG emissions. And many of those early  
15 actions became programs large and small that continue to  
16 this day for ocean-going vessels plugging in to the  
17 electric grid when at berth to nation reading -- leading  
18 regulations to control HFCs, which are powerful carbon  
19 polluting chemicals used in refrigeration.

20 As the Stationary Source Division Chief, Richard  
21 oversaw the adoption and implementation of the  
22 groundbreaking Low Carbon Fuel Standard. After becoming a  
23 Deputy Executive Officer, Richard oversaw the first  
24 Cap-and-Trade auctions and received CARB's highest honor,  
25 the Global Award of Excellence.

1           Then in 2013, Richard became CARB's Executive  
2 Officer. In the nine years since then, CARB has grown  
3 under Richard's rock steady leadership as it developed and  
4 implemented a string of nation-leading programs and  
5 initiatives. This included tackling methane and other  
6 short-lived climate pollutants, the continued  
7 implementation of the Truck and Bus Regulation,  
8 development of the Clean Freight Plan, and the 2017  
9 Scoping Plan.

10           And, of course, in 2015, there was the Volkswagen  
11 scandal, which propelled CARB onto the world stage  
12 resulting in settlements that set in place the nation's  
13 first statewide electric vehicle charging system.

14           Richard took a personal interest in the passage  
15 of the Tropical Forest Standard, oversaw the creation of  
16 the Office of Community Air Protection and the AB 617  
17 Program, created a new position for an Executive --  
18 Executive Officer for Environmental Justice, and brought  
19 Chanell Fletcher on board to inaugurate that role and  
20 establish the new Office of Environmental Justice and  
21 Office of Racial Equity.

22           With the pandemic hit, Richard provided a steady  
23 hand overseeing a successful overnight transition to  
24 telework and oversaw a fundamental reorganization of the  
25 divisions, which set in place a structure that set the

1 stage for CARB's current work to eradicate fossil fuel  
2 combustion and develop the most important Climate Action  
3 Plan yet, the 2022 Scoping Plan, which will set the  
4 roadmap to carbon neutrality over the next quarter  
5 century.

6           And lest we forget, Richard was there last  
7 November when we dedicated our new Southern California  
8 headquarters in Riverside with our newly established  
9 Deputy EO Annette Hebert at its helm.

10           Richard's is, by any measure, a remarkable career  
11 that is touched the lives of thousands of CARB employees,  
12 Californians, and people across the country and the world.  
13 Rising through the ranks, Richard has provided us all with  
14 an exemplary commitment to CARB's mission in deed and  
15 word, and has continually demonstrated a tenacity of  
16 purpose and meticulous follow-through.

17           To show our heartfelt appreciation, the Board has  
18 prepared a resolution, which is in actually extremely  
19 small print, because there's so much to say about your  
20 work and your dedication to the State of California, so I  
21 am not going to read all of the very small print, but I  
22 will say that it ends with this sentiment, be it further  
23 resolved that while we will miss the pleasure of working  
24 with Richard and his constant encouragement and guidance,  
25 we wish him a fond farewell and extend our heartfelt

1 gratitude for his unparalleled leadership.

2           So before we turn to Board members for their  
3 comments, we, not surprisingly, have some of Richard's  
4 previous colleagues and dear friends here to say a few  
5 words.

6           So I will turn it over to Katie.

7           BOARD CLERK ESTABROOK: All right. We will begin  
8 with Mary Nichols.

9           MARY NICHOLS: Thank you, Katie. And thank you,  
10 Richard for putting up with this with a good spirit and I  
11 how embarrassing and painful this is to you --

12           (Laughter.)

13           MARY NICHOLS: -- to hear all these wonderful  
14 things being said about you, besides the fact that you  
15 richly deserve them and more. You're not exactly the type  
16 to stand up and take a bow for yourself. I can see you're  
17 already flushing a little bit.

18           (Laughter.)

19           MARY NICHOLS: So we'll just have to put up with  
20 this embarrassing situation for a little while longer.  
21 But I was delighted to be invited to join the list of  
22 people who were invited to say a few words before the  
23 Board members themselves speak up and just to say how much  
24 I value the time that you and I worked together. I've  
25 said to you I think before, and I would say to anybody,

1 that the relationship that we had when we worked together  
2 was phenomenal. And it was really something that I think  
3 enriched the Board history and our ability to get work  
4 done was the fact that you did such a terrific job not  
5 only of anticipating and figuring out what the Board was  
6 going to need in order to act as a Board, but also of  
7 communicating to the staff, and being that pivotal point  
8 that made sure that everybody was able to express their  
9 concerns, and to have input in all the procedural  
10 sometimes thicketts that we had to go through to get things  
11 done. But that we were able to accomplish so much is  
12 really I think a testament to your skills and the fact  
13 that this job just suited you to a T. You shaped it in a  
14 way that I think will be a tough act for anybody to  
15 follow.

16           And I'm sure whoever it is will do so in their  
17 own unique way and make their own stamp as people always  
18 do. But I think you really have shown how critical the  
19 role of the Executive Officer is, both as an internal  
20 manager of the whole process, and also as the face of the  
21 Board to the rest of the world.

22           So I just want to say on this particular occasion  
23 how much I admire and appreciate you and your work at  
24 CARB. And I can't say enough about the joys of  
25 retirement, because I haven't actually ever figured out

1 what I was supposed to be doing in retirement. And I  
2 suspect you're going to have some of the same problem.  
3 But as -- as time goes on, I think you will find that this  
4 chapter in your life was of amazing significance for the  
5 State of California and for the world. And I hope you  
6 will look back on it as fondly as I do.

7 So thanks and best of luck in your retirement.

8 BOARD CLERK ESTABROOK: Thank you, Mary.

9 (Applause.)

10 BOARD CLERK ESTABROOK: Chair, that's -- the  
11 other speaker is not on at this time, so if you want to  
12 take the Board and then I'll back and see if they've  
13 joined.

14 CHAIR RANDOLPH: Okay. Supervisor Serna.

15 BOARD MEMBER SERNA: Great. Thank you, Chair.  
16 And I don't know if she's still on, but thanks to our  
17 former Chair, Mary Nichols, for her words.

18 Obviously, I think we're all going to want to  
19 share, you know, expression of thanks and good will on the  
20 occasion of your retirement, Richard, but I just wanted to  
21 share a particular experience that I had. It was actually  
22 a charge that our former Chair Mary Nichols gave me a few  
23 years back, and it was to help in your review, and to  
24 provide you some feedback about your job performance.

25 (Laughter.)

1           BOARD MEMBER SERNA: And my task was to talk to  
2 my colleagues up here, talk to your executive team and  
3 others in the agency and get their impressions of your  
4 executive leadership. And almost to a person almost  
5 everyone that I spoke to had the same thing to say, which  
6 was you have an unparalleled work ethic, so much so that  
7 if there was any criticism it was that you worked too hard  
8 and you're going to ultimately burn yourself out, which  
9 I'm glad you didn't. I think we're all glad that you  
10 didn't.

11           But I think the fact that everyone around us  
12 around here saw that your commitment to the mission of the  
13 California Air Resources Board was I think internalized to  
14 a point where not only is it your profession to lead us,  
15 but I think you made it a personal -- a very personal  
16 objective for yourself too. And it shows in the work  
17 product, and it shows in your leadership, and your  
18 ability, and your skill set. And I agree with the Chair,  
19 Mary Nichols about you -- you know, you being a very  
20 difficult act to follow. I'm not sure how the next person  
21 is going to be able to do that.

22           But I certainly have learned a lot from you. I  
23 want to thank you for your leadership. I've had a chance  
24 to work with you almost a decade now and just want to wish  
25 you well.

1           Thanks

2           CHAIR RANDOLPH: Board Member Takvorian.

3           BOARD MEMBER TAKVORIAN: Thank you. Hey,  
4 Richard.

5           (Laughter.)

6           BOARD MEMBER TAKVORIAN: This is odd, because I  
7 think -- so much -- so many nice things have been said and  
8 I would agree with all of them. I just -- I think one of  
9 the things I think about when I think of you is how you  
10 have such an amazing depth of knowledge about seemingly  
11 everything that CARB is doing. I mean, I can't remember  
12 having asked you a question that you didn't have a very  
13 complete answer to. So I've always been amazed and a  
14 little bit intimidated by that. So I wanted to thank you  
15 for -- for your vast wealth of knowledge and for being so  
16 willing to share it early in the morning, late at night,  
17 on weekends. And I really appreciate that.

18           And amongst many other things to say, I think  
19 your contribution to advancing environmental justice with  
20 the agency is really something that we all want to thank  
21 you for. I'm very grateful for it. I -- Dean and I came  
22 on as the first environmental justice representatives and  
23 you welcomed us. And we started work on the position that  
24 Chanell is in and that Veronica was in. And I really  
25 appreciated your attention to that and to understanding



1 that that was just the first in many steps that would be  
2 taken to really advance environmental justice with the  
3 agency.

4           And another indication of that from you is within  
5 a few months you were in San Diego in my car taking a tour  
6 of the communities. And I really appreciated the time  
7 that you took to really get to understand the challenges  
8 that our communities are facing. And I know you've done  
9 that in many other places around the state, so I think  
10 we're all very grateful for that, as well as all the other  
11 things that have been acknowledged. So thank you and I  
12 think we'll still have your phone number, right, so --

13           (Laughter.)

14           BOARD MEMBER TAKVORIAN: Okay. Thank you.

15           CHAIR RANDOLPH: Okay. Dr. Sperling.

16           BOARD MEMBER SPERLING: I'm going to just be very  
17 brief, because, you know, we all know how fabulous you've  
18 been, Richard. You've been an inspiration. You've been a  
19 bun mentor on real-world politics and policy. I  
20 appreciate that. You've been a leader. Helped out in the  
21 very beginning with the LCFS. Helped out on -- you know,  
22 early on with ZEVs, with the ICT, that's the bus rule, and  
23 so much more.

24           So whoever gets you next, Richard, is going to be  
25 very lucky. And I just want to wish you my good friend

1 the best including more fun, a shorter work -- workweek  
2 and more hiking, and good beer.

3 (Laughter.)

4 CHAIR RANDOLPH: Board Member De La Torre.

5 BOARD MEMBER DE LA TORRE: Where to start. Well,  
6 just the obvious. Thank you, Richard, for your service to  
7 the people of California, to this agency. The level of  
8 work that you've put in on behalf of the people of  
9 California is tremendous as has been cited. We could not  
10 have accomplished what we've accomplished in these last  
11 nine years, or whatever it's been, for you as the  
12 Executive Director. And I didn't really know you before  
13 you became Executive Director.

14 So I must say now -- Liane and I had a  
15 conversation. And to me, now it's -- you're the model,  
16 right? Your characteristics are just right for this  
17 position. So whoever it is that is going to follow has to  
18 have those characteristics, namely the work ethic, namely  
19 the availability to the Board, because, you know, you're  
20 herding cats all the time.

21 (Laughter.)

22 BOARD MEMBER DE LA TORRE: I mean, I acknowledge  
23 we're -- I'm one of them. So that is really hard to do,  
24 where you give each of us our equivalent share of the  
25 action, as a colleague on another board said. I want my

1 share of the action. Well, you're giving us our share of  
2 the action. And that is incredibly important, and it's  
3 fair, it's balanced among all of us.

4           Your work with the Legislature tremendous - that  
5 was not always the case - where we sent somebody over  
6 there to represent us and we knew that things would be  
7 okay, that there wouldn't be blow-back at something that  
8 was said or some -- something. That's never happened with  
9 you. So I have nothing but confidence every time you go  
10 over there to represent us, because again in all that  
11 time, I have never heard a complaint. I did before.

12           So that's really, really important for this  
13 entity for this agency to know that we're not going to  
14 mistakenly get into fights with the Legislature, because  
15 that can happen. There's -- you know, there's egos over  
16 there.

17           So -- and I know, because I was there.

18           (Laughter.)

19           BOARD MEMBER DE LA TORRE: It's not -- that's not  
20 a slight. So -- so that's incredibly important.

21           The -- your knowledge of all the things that we  
22 do, as Diane mentioned, is -- is amazing. I've had the  
23 same experience where, you know, some -- I'll talk to  
24 somebody or -- and I'll have some kooky, you know, idea  
25 thrown at me and I have no idea. And I'll ask Richard and

1 he'll fire off like, you know, three paragraphs on it.  
2 And so, you know, that gives us confidence to be able to  
3 be responsive to people, but also that it's the right  
4 thing.

5           And then finally, in terms of strategy, in terms  
6 of direction, you get it. You -- you see the path to get  
7 a solution. And this -- this organization has so much on  
8 its plate. And you're juggling all of these pieces  
9 constantly with an -- with an end in sight to accomplish  
10 whatever the policy is for this -- this issue, that  
11 issues, et cetera. And they are all ways moving. And  
12 that's a -- that's a testament to staff. Obviously,  
13 you're the ones doing the day to day, but it's also  
14 Richard shepherding these things in such a way that --  
15 that we get them done. And then finally -- I said finally  
16 before, but I'll say one more thing.

17           (Laughter.)

18           BOARD MEMBER DE LA TORRE: We know we're going to  
19 get challenged and sued on a lot of things we do, so we  
20 have to do it right. And that starts with the science and  
21 you certainly know the science behind what we're doing  
22 here from your background. And I like to tell people our  
23 science is going to kick your science's ass.

24           (Laughter.)

25           BOARD MEMBER DE LA TORRE: And it does and that's

1 why we win those court cases, because the science is true,  
2 and then the policy comes directly from the science. And  
3 that's why we win in court.

4 And so you have combined all of those components  
5 and have led us to where we are now, which is the leading  
6 air quality and climate agency on the planet. And thank  
7 you. Thank you for all of it. It's going to be really  
8 hard around here without you.

9 EXECUTIVE OFFICER COREY: Thanks.

10 CHAIR RANDOLPH: Okay. Well, I'll just be really  
11 brief, because I have -- although I've known Richard for  
12 several years, he was always the guy who would show up at  
13 the -- at these interagency meetings and would like have  
14 all the right answers and be very informative. So that  
15 was my experience before I came to CARB.

16 And it's been my absolute joy to be taught the  
17 ways of CARB by Richard. And, you know, kind of -- kind  
18 of what Diane said, the -- any issue comes up, and like,  
19 Richard, what's the deal with this? And there's a, you  
20 know, 20 years of history, really interesting statutory  
21 background, and stakeholder background, and, you know,  
22 scientific background, and it's all there inside his head.  
23 So I like -- you know, it would be nice if you could just  
24 leave all of that somewhere in a box for us, because it's  
25 going to be really hard without it.

1           And the other thing it's going to be hard without  
2 his sense of humor. He's just a fun person to work with,  
3 a fun person to talk to in our check-ins. And I'm really  
4 having a hard time imagining, like many of you all, what  
5 CARB is going to be like without him. And I'm like one of  
6 the -- like hanging onto his ankles like don't go, don't  
7 go.

8           So we'll all need to get used to it, but I just  
9 want to appreciate your service to the State of California  
10 and the world in terms of really thinking broadly and  
11 expansively about how to tackle climate change. And I'm  
12 really excited to see the things that you end up doing  
13 next and the ways that you will contribute -- continue to  
14 continue to the world.

15           Anybody else?

16           BOARD MEMBER KRACOV: Keep that phrase about the  
17 science out of the legal briefs, okay, Ellen?

18           (Laughter.)

19           BOARD MEMBER KRACOV: So thank you, Richard, for  
20 your service to California and to this agency. You know,  
21 I probably know you the least of everyone who's spoken  
22 here. I just joined the Board about 14 months ago.

23           The thing I will always remember about you is  
24 that every conversation we had I learned something from  
25 you. And I always -- also remember that whenever I would

1 reach out to you and say, Hey, Richard I'd like to speak  
2 with you, you would always text back, okay. Do you have  
3 some time Sunday morning?

4 (Laughter.)

5 BOARD MEMBER KRACOV: Yeah, he probably has us  
6 back to back.

7 And I always learned something during those  
8 discussions. I haven't spent a lot of time with you  
9 personally. I know you were gracious enough in the  
10 middle, you know, of the COVID stuff to spend an hour or  
11 two with me over there at Azul over a beer. And I learned  
12 a lot then too about, you know, your history, about your  
13 view of the accomplishments of the agency, and, you know,  
14 your view about culture of the agency.

15 And, you know, this agency has a culture of  
16 excellence. You know I've seen that in all of the staff  
17 in the way that things come to the Board. And, you know,  
18 my understanding and experience is it's not always that  
19 way with other agencies in State government. There's  
20 something about the way things are done at CARB, and, you  
21 know, that culture of excellence comes from the top.

22 And I've also observed your style of leadership,  
23 not only with the Board members and herding the cats, but  
24 with the staff as well. And there are really lessons of  
25 leadership there that I hope to carry on in my own life

1 and interacting with others.

2           You know, and the last thing I'll say is, you  
3 know, I haven't been at the agency that long, but I see  
4 the body of work that all of you have done under Richard's  
5 leadership and that Richard leaves. You're leaving the  
6 agency in a strong good place, and with all these  
7 accomplishments, certainly leaving the agency, you know,  
8 better than when you started. And I think that's what we  
9 all hope to accomplish in our service here in our service  
10 to the State.

11           So you're going to be leaving, but at least this  
12 Board member is going to try to emulate some of these  
13 lessons that I've learned from you in the short period of  
14 time that we've been together. So no matter what, your  
15 work will certainly carry on, and I look forward to  
16 continuing to chat from you -- with you and learn from you  
17 in the future.

18           CHAIR RANDOLPH: Okay. Oh, Board Member Hurt.

19           BOARD MEMBER HURT: Yeah, just really quickly.

20           Thank you.

21           So I'm new to the Board, as Board Member Kracov  
22 is as well, and I am just so sorry to have not had the  
23 time, like so many others, to get to know you really well.  
24 But one thing about you is every time I reached out, you  
25 were very fast on responding to back to me. And like many



1 others have said, the knowledge that you have and you  
2 imparted was so helpful, so easy to understand in a  
3 language that I received and understood. I'm very  
4 thankful for that.

5           And I think someone said earlier about packaging.  
6 It's like we need to get a tape recorder - is that an old  
7 word - get it in front of him and do the Richard Corey  
8 monologues or something to understand all that you know  
9 and understand here in this building and the work that  
10 we've done. But you've been very committed and your  
11 legacy will live on in the programs that have helped a lot  
12 of people set the standard in the world. And I'm very  
13 thankful to -- to know what I do know of you. And  
14 hopefully I can call on you in the future to give me that  
15 plain language explanation about some of these very  
16 difficult topics and conversations.

17           And I just wish you much successes and happiness  
18 in the next project in your life. Thank you for your time  
19 and your service.

20           CHAIR RANDOLPH: Okay. Then I think we are  
21 now --

22           BOARD CLERK ESTABROOK: No, i've got --

23           CHAIR RANDOLPH: Okay.

24           BOARD CLERK ESTABROOK: I'm sorry.

25           CHAIR RANDOLPH: I was like, you know, what's

1 next.

2 BOARD CLERK ESTABROOK: I was looking in the  
3 virtual environment, but I didn't realize your next  
4 speaker was here in person.

5 CHAIR RANDOLPH: Okay.

6 BOARD CLERK ESTABROOK: So if you want to come  
7 up.

8 CHUCK SHULOCK: All right. Thanks. Good  
9 afternoon, Madam Chair and members. Hi, Richard.

10 I'm Chuck Shulock, long time CARB employee. I'm  
11 here as the Ghost of Board Meetings Past, I guess.

12 (Laughter.)

13 CHUCK SHULOCK: Before I start for myself, I  
14 actually also have something from Tom Cackette who wanted  
15 to be here, but, you know -- I think he's actually meeting  
16 with your heavy-duty staff at the moment, so...

17 (Laughter.)

18 CHUCK SHULOCK: A glimpse into your future,  
19 Richard. This is from Tom.

20 "I've know Richard for a long time. Didn't  
21 often work closely with him while I was at ARB,  
22 but his reputation was a very smart and very hard  
23 worker. I retired before he became EO, so my  
24 comments here come from his -- from the viewpoint  
25 as an outsider.

1           "As a consultant, my clients and I have  
2 worked with Richard on numerous mobile source  
3 issues. He always welcomed our input, clearly  
4 had mastered the mobile source policy and  
5 technical issues, listened to us, and always  
6 provided helpful responses and advice. Often,  
7 that is all stakeholders need and expect, a  
8 knowledgeable and professional engagement with  
9 ARB management, and Richard provided that.

10           "It is really impressive that he found the  
11 time to personally engage with so many  
12 stakeholders, given the plethora of his other  
13 obligations ranging from the Governor,  
14 Legislature, Board members, the budget, and  
15 especially the 1,500 ARB staff members who remain  
16 the best in government.

17           "In summary, my outsider observation is  
18 Richard did A plus job and ARB luckily -- lucky  
19 to have him as EO. It will be hard to fill his  
20 boots and I wish you luck on that. The air is  
21 not yet clean for all Californians, especially  
22 those living in disadvantaged front-line  
23 communities. And climate change remains an  
24 existential threat. Richard, you have so much to  
25 offer, so please keep engaged and continue to

1 help solve these challenges. And finally, also  
2 take time to enjoy retirement. My experience is  
3 it is great".

4 And I'll segue to Chuck now and it's -- it is  
5 great.

6 (Laughter.)

7 CHUCK SHULOCK: I'll just second that.

8 I had the pleasure of working with Richard on  
9 many issues over the years. When I think back I'll just  
10 zero in on one memory. It may be a bad one for Richard,  
11 but I'll say it anyway.

12 When I think back, what sticks out for me is the  
13 run up to the first AB 32 Scoping Plan. Richard was in  
14 the Research Division at the time, Assistant Division  
15 Chief, I believe, and as such played a key role in  
16 describing both the impacts of climate change and the  
17 economic impacts of the control strategies. Both of those  
18 dimensions were essential to build the record and  
19 withstand attack.

20 The economic analysis in particular was  
21 challenging. That was the first time CARB was adopting  
22 economy-wide measures. There were not good modeling tools  
23 available to project the impact of the Cap-and-Trade  
24 portion of the program. Meanwhile, we were under  
25 tremendous scrutiny from all sides. It was a very, very

1 intense undertaking. Richard managed that analysis  
2 through several iterations with tight deadlines, with good  
3 communication, and good humor, and got the job done.

4           On a personal level, he certainly made my job  
5 easier at the time and on a societal level helped to  
6 ensure that the program moved forward to successful  
7 implementation.

8           Richard, many thanks for your contributions. If  
9 I'm batting cleanup up here, and it sounds like perhaps I  
10 am, just on behalf of all Californians, you know, good  
11 work. Good job.

12           (Applause.)

13           CHAIR RANDOLPH: Okay. So the meeting is  
14 officially adjourned and we're going to do some -- Board  
15 members I want -- we're going to do some photographs with  
16 Richard to present the resolution. And then we'll have  
17 some more celebration after that.

18           Great. So thank you.

19           (Thereupon the Air Resources Board meeting  
20 adjourned at 3:27 p.m.)

21

22

23

24

25


CERTIFICATE OF REPORTER

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Air Resources Board meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and was thereafter transcribed, under my direction, by computer-assisted transcription;

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 16th day of May, 2022.



JAMES F. PETERS, CSR  
Certified Shorthand Reporter  
License No. 10063