

MEETING
STATE OF CALIFORNIA
AIR RESOURCES BOARD

ZOOM PLATFORM

CALIFORNIA ENVIRONMENTAL PROTECTION AGENCY
BYRON SHER AUDITORIUM
1001 I STREET
SACRAMENTO, CALIFORNIA

THURSDAY, MAY 22, 2025

9:32 A.M.

JAMES F. PETERS, CSR
CERTIFIED SHORTHAND REPORTER
LICENSE NUMBER 10063

J&K COURT REPORTING, LLC

APPEARANCES

BOARD MEMBERS:

Liane Randolph, Chair

John Balmes, MD

Hector De La Torre

John Eisenhut (Remote)

Dean Florez (Remote)

Todd Gloria (Remote)

Eric Guerra

Lynda Hopkins

Assemblymember Corey Jackson

Patricia Lock Dawson

Dawn Ortiz-Legg (Remote)

Tania Pacheco-Werner, PhD (Remote)

Susan Shaheen, PhD

Diane Takvorian

STAFF:

Steve Cliff, PhD, Executive Officer

Courtney Smith, Principal Deputy Executive Officer

Shannon Dilley, Chief Counsel

Edie Chang, Deputy Executive Officer, Planning, Freight & Toxics

Chanell Fletcher, Deputy Executive Officer, Environmental Justice (Remote)

APPEARANCES CONTINUED

STAFF:

Christopher Grundler, Deputy Executive Officer, Mobile Sources and Incentives

Edna Murphy, Deputy Executive Officer, Internal Operations

Femi Olaluwoye, Deputy Executive Officer, Southern California Headquarters and Mobile Source Compliance

Rajinder Sahota, Deputy Executive Officer, Climate Change and Research

Jeremy Avise, Chief, Modeling and Meteorology Branch, Air Quality Planning and Science Division(AQPSD)

Michael Benjamin, Division Chief, AQPSD

Matthew Botill, Division Chief, Industrial Strategies Division(ISD)

Chelsea Carey, PhD, Air Pollution Specialist, Emissions Data Quality Assurance Section and the Nature Based Strategies Section, ISD

Sue Chen, PhD, Air Pollution Specialist, Regulatory and Risk Modeling Section, AQPSD

Pingkuan Di, Manager, Regulatory and Risk Modeling Section, AQPSD

Linda Echegaray, Senior Attorney, Legal Office

Vernon Hughes, Assistant Division Chief, AQPSD

Natalie Lee, Assistant Division Chief, ISD

Adam Moreno, Manager, Nature-Based Strategies Section, ISD

Brock Williams, Attorney Legal Office

APPEARANCES CONTINUED

ALSO PRESENT:

Vitaliy Arnaut, Lumin Auto Group

Thomas Becker

Kimberly Burr, Forest Unlimited

Evan Edgar, California Compost Coalition, Edgar and Associates

Richard Falcon, United Latinos

Richard Filgas, California Farm Bureau

Amanda Hansen, Deputy Secretary, California Natural Resources Agency

Virginia Jameson, Deputy Secretary, California Department of Food and Agriculture

Brian Kolodji, Kolodji Corporation

Kathy Saechou, Valley Vision

Afrack Vargas, Lumin Auto Group

Pascale Warren, Sacramento Metropolitan Air Quality Management District

<u>INDEX</u>	<u>PAGE</u>
Call to Order	1
Roll Call	1
Opening Remarks	2
Item 25-3-1	
Chair Randolph	8
Executive Officer Cliff	9
Staff Presentation	10
Board Comments and Q&A	28
Item 25-3-2	
Board Member Takvorian	47
Executive Officer Cliff	51
Staff Presentation	53
CDFA Deputy Secretary Jameson	69
CNRA Deputy Secretary Hansen	74
Evan Edgar	77
Brian Kolodji	79
Richard Filgas	80
Board Comments and Q&A	82
Public Comment	
Evan Edgar	108
Pascale Warren	110
Vitaliy Arnaut	112
Afrack Vargas	113
Richard Falcon	114
Kimberly Burr	116
Brian Kolodji	118
Thomas Becker	119
Kathy Saechou	120
Recess into Closed Session	125
Adjournment	126
Reporter's Certificate	127

PROCEEDINGS

CHAIR RANDOLPH: Okay. Good morning. Sorry for the late start. The May 22nd, 2025 public meeting of the California Air Resources Board will come to order.

Board clerk, will you please call the roll.

BOARD CLERK LEVRINI: Dr. Balmes.

BOARD MEMBER BALMES: Here.

BOARD CLERK LEVRINI: Mr. De La Torre.

BOARD MEMBER DE LA TORRE: Here.

BOARD CLERK LEVRINI: Mr. Eisenhower.

BOARD MEMBER EISENHUT: Here.

BOARD CLERK LEVRINI: Senator Florez.

BOARD MEMBER FLOREZ: Florez here.

BOARD CLERK LEVRINI: Mayor Gloria.

BOARD MEMBER GLORIA: Here.

BOARD CLERK LEVRINI: Mr. Guerra

BOARD MEMBER GUERRA: Here.

BOARD CLERK LEVRINI: Mr. Hopkins.

BOARD MEMBER HOPKINS: Here.

BOARD CLERK LEVRINI: Senator Jackson.

BOARD MEMBER JACKSON: Here.

BOARD CLERK LEVRINI: Mayor Lock Dawson.

BOARD MEMBER LOCK DAWSON: Here.

BOARD CLERK LEVRINI: Ms. Ortiz-Legg.

BOARD MEMBER ORTIZ-LEGG: Here.

1 BOARD CLERK LEVRINI: Dr. Pacheco-Werner.

2 BOARD MEMBER PACHECO-WERNER: Here.

3 BOARD CLERK LEVRINI: Dr. Shaheen.

4 BOARD MEMBER SHAHEEN: Here.

5 BOARD CLERK LEVRINI: Ms. Takvorian.

6 BOARD MEMBER TAKVORIAN: Here.

7 BOARD CLERK LEVRINI: Chair Randolph.

8 CHAIR RANDOLPH: Here.

9 BOARD CLERK LEVRINI: Madam Chair, we have a
10 quorum.

11 CHAIR RANDOLPH: All right. Thank you. We will
12 start with the housekeeping items before we get started.

13 We are conducting today's meeting in person as
14 well as offering remote options for public participation
15 both by phone and in Zoom. Anyone who wishes to testify
16 in person should fill out a request-to-speak card
17 available in the foyer outside the Board room. Please
18 turn it into a Board prior to the commencement of the
19 item. If you are participating remotely, you will raise
20 your hand in Zoom or dial star nine if calling in by
21 phone. The Clerk will provide further details regarding
22 how public participation will work in a moment.

23 For safety reasons, please note the emergency
24 exit to the rear of the room through the foyer. In the
25 event of a fire alarm, we are required to evacuate this

1 room immediately and go down the stairs to the lobby and
2 out of the building. When the "All Clear" signal is
3 given, we will return to the auditorium and resume.

4 A closed captioning feature is available for
5 those of us -- for those of you joining us in the Zoom
6 environment. In order to turn on subtitles, please look
7 for a button labeled "CC" at the bottom of the Zoom window
8 as shown on the screen now. I would like to take this
9 opportunity to remind everyone to speak clearly and from a
10 quiet location, whether you are joining us in Zoom or
11 calling in by phone.

12 Interpretation services will be provided today in
13 Spanish for both in-person and Zoom attendees. If you are
14 joining us using Zoom, there is a button labeled
15 "Interpretation" on the Zoom screen. Click on that
16 interpretation button and select Spanish to hear the
17 meeting in Spanish. If you are joining us here in person
18 and would like to listen to the meeting in Spanish, please
19 speak to a Board assistant and they will provide you with
20 further instructions. I want to remind all of our
21 commenters to speak slowly and pause intermittently to
22 allow the interpreters the opportunity to accurately
23 interpret your comments.

24 THE INTERPRETER: Thank you, Chair Randolph. And
25 as customary, we'll provide the same language access

1 instructions for the benefit of our Spanish listening
2 audience.

3 (Interpreter translated in Spanish).

4 THE INTERPRETER: Thank you so much, Chair
5 Randolph. Back to you.

6 CHAIR RANDOLPH: Thank you. I will now ask the
7 Board clerk to provide more details regarding public
8 participation.

9 BOARD CLERK LEVRINI: Thank you, Chair Randolph.
10 Good morning, everyone. I will be providing additional
11 information on public participation for today's meeting.

12 We will first call in-person commenters who have
13 turned in a request-to-speak card and then call on
14 commenters who are joining us remotely. If you are
15 joining us remotely and wish to make a verbal comment on
16 one of today's Board items or during the open comment
17 period at the end of today's meeting, you must be using
18 Zoom webinar or calling in by phone. If you are watching
19 the webcast, but wish to comment remotely, please register
20 for the Zoom webinar or call in. Information for both can
21 be found on the public agenda for today's meeting.

22 To make a verbal comment, we will be using the
23 "Raise Hand" feature in Zoom. If you wish to speak on a
24 Board item, please virtually raise your hand as soon as
25 the item has begun to let us know you wish to speak. If

1 you are using a computer or tablet, there is a raise hand
2 button. And if you are calling in on the phone, dial star
3 nine to raise your hand. If you previously indicated
4 which item you wished to speak when you registered, you
5 must raise your hand at the beginning of the item to be
6 added to the queue. When the comment period begins, the
7 order of commenters is determined by who raises their hand
8 first. We will call each commenter by name and will
9 activate each commenter's audio when it is their turn to
10 speak. For those calling in, we will identify you by the
11 last three digits of your phone number. We will announce
12 the next three or so commenters in the queue so you are
13 ready to testify when we come to you. Please note, your
14 testimony will not appear by video. For all commenters,
15 please state your name for the record before you speak.
16 This is especially important for those calling in by
17 phone.

18 Each commenter will have a time limit of two
19 minutes. Although, this may change at the Chair's
20 discretion. During public testimony, you will see a timer
21 on the screen. For those calling in by phone, we will let
22 you know when you have 30 seconds left and when your time
23 is up.

24 For anyone giving verbal comments today in
25 Spanish, please indicate so at the beginning of your

1 testimony and our interpreter will assist you. During
2 your comment, please follow any instructions the
3 interpreter provides. Please note your time will be
4 doubled if you require Spanish interpretation.

5 Finally, to submit written comments, please visit
6 CARB's "Send Us Your Comments" -- please visit CARB's
7 "Send Us Your Comments" page or look at the public agenda
8 on our webpage for links to submit your comment. Written
9 comments will be accepted on each item until the Chair
10 closes the record for that item.

11 Thank you. I'll now turn the microphone back to
12 Chair Randolph.

13 CHAIR RANDOLPH: All right. Thank you. Before
14 we get to today's agenda items, I would like to introduce
15 the newest member of the California Air Resources Board,
16 Mayor Patricia Lock Dawson of Riverside, who was appointed
17 by Governor Newsom some in April.

18 Previously, Mayor Lock Dawson held -- yeah,
19 let's --

20 (Applause).

21 CHAIR RANDOLPH: We're very excited to have you,
22 particularly because our Southern California Headquarters
23 are in the City of Riverside.

24 Previously, Mayor Lock Dawson held several key
25 positions within the U.S. Department of Interior serving

1 as an ecologist, ecosystem planner, and wildlife
2 biologist. She also founded and led PLD Consulting
3 Government Affairs from 2001 to 2020, where she
4 specialized in public policy and environmental planning.

5 Mayor Lock Dawson currently chairs California's
6 Big City Mayors Coalition and the Legislative
7 Communications and Membership Committee of the Southern
8 California Association of Governments, and services on the
9 Boards of local governments for sustainability, the
10 Riverside County Regional Conservation Authority, and the
11 South Coast Air Quality Management District. Welcome,
12 Mayor Lock Dawson who is a very busy person. So we are so
13 happy that you're here with us doing this work together.

14 BOARD MEMBER LOCK DAWSON: Thank you, Chair
15 Randolph. And I'm really happy to be here, really pleased
16 to be here and I've had a warm welcome so far.

17 So thank you.

18 CHAIR RANDOLPH: And another warm welcome to our
19 newest Deputy Executive Officer, Christopher Grundler. He
20 is a -- spent many, many decades at the U.S. EPA working
21 on mobile source regulation and we are so excited that we
22 now have his incredible expertise here at CARB, as we will
23 need to be very creative in meeting our air quality and
24 climate goals. So welcome. We're really happy to have
25 you.

1 Okay. The first item on the agenda is Item
2 number 25-3-1, an informational update on the California
3 Air Toxics Assessment. If you are here with us in the
4 room and wish to comment on this item, please fill out a
5 request-to-speak card as soon as possible and submit it to
6 Board assistant. If you are joining us remotely and wish
7 to comment on this item, please click the "Raise Hand"
8 button or dial star nine now. We will first call on
9 in-person commenters, followed by any remote commenters,
10 when we get to the public comment portion of this item.

11 During this item, the Board will hear about the
12 California Air Toxics Assessment. Ongoing effort by CARB
13 staff to estimate people's exposure to air toxics in
14 California. The products of this work inform the public
15 of the health risks associated with the long-term exposure
16 to major air toxics over time. They also provide
17 policymakers at State, local, and community levels with
18 insights into the health benefits of past and current
19 regulations, while offering guidance for future emissions
20 control measures. This work shows that our programs are
21 succeeding in reducing air pollution and associated health
22 risks and highlights how strong science is foundational to
23 developing sound public policy.

24 This is particularly important, given the
25 challenges we currently face at the federal level with

1 many health and environmental programs facing cuts that
2 will hamper long-term efforts to protect human health and
3 the environment.

4 Dr. Cliff, would you please introduce the item.

5 EXECUTIVE OFFICER CLIFF: Thank you, Chair
6 Randolph.

7 The California Air Toxics Assessment, or CATA,
8 started in 2017 in support of Assembly Bill 617 as a tool
9 to inform communities and stakeholders of the health risks
10 associated with air toxics across California.

11 Iterative air quality modeling, CATA estimates
12 and tracks ambient concentrations and health risks of air
13 toxics at neighborhood scales over time. Its trend
14 analysis tracks risk reductions associated with past and
15 current regulations, and provides insights into the
16 potential benefits of future toxic control measures.
17 CATA's high spatial resolution enables community-level
18 analysis, such as identifying areas of disproportionately
19 burdened by -- areas disproportionately burdened by air
20 toxics exposure, determining the major air toxic species
21 impacting the public and pinpointing key emission sources
22 contributing to overall health risks. The near statewide
23 coverage of CATA also complements the existing toxics air
24 monitoring network helping fill the gaps between
25 monitoring locations.

1 Today, you will also hear about the progress of
2 CATA, now in it's third iteration, along with ongoing
3 developments towards improving our understanding of toxic
4 emissions and sources that will be included in future
5 updates to CATA.

6 I will now ask Dr. Sue Chen of the Air Quality
7 Planning and Science Division to begin the staff
8 presentation.

9 Dr. Chen.

10 (Slide presentation).

11 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Thank
12 you, Dr. Cliff. Good morning, Chair Randolph and Board
13 members. My name is Sue Chen. I will be presenting an
14 informational update on the California Air Toxics
15 Assessment, or CATA.

16 CARB has a long history of addressing air toxics
17 issues, and I hope that after today's presentation, you
18 will see CATA as a useful tool for Californians to better
19 understand our exposure to air toxics and to demonstrate
20 why CARB's regulatory efforts are so critical to reducing
21 air toxics emissions and exposure.

22 [SLIDE CHANGE]

23 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN:

24 Today's presentation is structured as follows:

25 I will start with a brief introduction on what

1 CATA is and why we started this work. Then I will detail
2 four major ways that CATA can be used by the public and to
3 support CARB' efforts.

4 First, how it can be used to inform the public of
5 the exposure and health risks associated with air toxics
6 in California. Second, how CATA can be used to track
7 trends in risk from different emission sectors over time,
8 and from those trends, provide insights into future toxics
9 emissions and exposure reduction measures and regulations.
10 Third, how it can be used to support community-based
11 efforts, such as the development of Community Emission
12 Reductions Plans, or CERPs. Fourth, how it can be used to
13 supplement the monitoring network by filling gaps between
14 monitor locations. Finally, I will end by talking about
15 our progress so far and future developments to CATA.

16 [SLIDE CHANGE]

17 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: The
18 California Air Toxics Assessment, abbreviated as CATA, is
19 a computer model-based assessment of the cumulative cancer
20 risks associated with long-term exposure to air toxics in
21 California. For any region of interest, whether it's an
22 entire air basin or down to a single census tract, CATA
23 can tell you which air toxic was prominent in that region
24 and which were the emission sources that caused the
25 highest cancer risks. CATA is a multi-year effort, where

1 we conduct an updated assessment every three to five
2 years. The reason why each update can take up to five
3 years to complete is because the work is extremely
4 resource intensive, in terms of both high demands for
5 computational resources, as well as highly skilled staff
6 to conduct and interpret the analysis.

7 Before the model assessment can begin, it takes
8 about two years to build emissions inventory and prepare
9 the meteorological data. Once those are ready, it takes
10 another two years to conduct air quality modeling. Then
11 it takes another year or more to analyze the results,
12 publish those results in scientific journals, summarize
13 the key information and relay that information to the
14 public. This process is done on CARB's high performance
15 computing cluster, or HPC, and requires the equivalent to
16 the processing power of more than 10,000 laptops running
17 simultaneously for a year, while utilizing the storage
18 equivalent of more than 2,000 standard CARB laptops.

19 Due to the immense demand for resources, we
20 divide the state into six smaller regions outlined on the
21 map to the right, where each region is centered over a
22 major air basin. This means that CATA is a
23 quasi-statewide assessment covering most of the state's
24 population and emission sources. We hope that
25 computational advancements and expansion of CARB's HPC

1 will allow future iterations of CATA to provide hundred
2 percent coverage of the state's population.

3 Even though, it is resource intensive, this
4 iterative process over time provides critical information
5 to communities and internal and external stakeholders on
6 the trends in exposure to air toxics. For example, CATA
7 results show that significant benefits were achieved from
8 past and current on-road diesel regulations at reducing
9 diesel particulate matter emissions, and can point to
10 potential new areas of focus as on-road diesel emissions
11 continue to decline.

12 Each CATA update reflects the current best
13 estimates of air toxics emissions, for example, diesel
14 particular matter, or DPM, toxic volatile organic
15 compounds or VOCs, such as formaldehyde, and heavy metals,
16 like hexavalent chromium. It is important to note that
17 there are inherent uncertainties associated with emission
18 inventories and numerical models. So what you see today
19 represents our best estimate of exposure down to the
20 neighborhood scale, but an individual's actual exposure
21 will be different.

22 As new advancements made in our understanding of
23 the emissions and the physical and chemical processes that
24 affect air toxics in the atmosphere, modeled exposure and
25 risk will be updated.

1 [SLIDE CHANGE]

2 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: CATA
3 stems from a series of efforts at controlling air toxics
4 in California. California's Air Toxics Program started in
5 1983 with Assembly Bill 1807, which mandates CARB to
6 identify and control air toxics. In 1987, Assembly Bill
7 2588 passed, requiring stationary sources, such as
8 commercial facilities, to identify, report, and reduce air
9 toxics emissions. More recently, in 2017, Assembly Bill
10 617 was passed, which requires CARB to identify and reduce
11 exposure in communities that experience high cumulative
12 exposure to air pollution and to evaluate emission control
13 measures that will lead to reduced exposure.

14 The CATA work started in 2017 with the purpose of
15 providing support to AB 617 and other toxics programs.
16 Some of you may be familiar with the MATES studies, which
17 started in 1986. MATES focuses on the South Coast region,
18 whereas CATA provides information at the statewide level,
19 these are complementary to each other.

20 [SLIDE CHANGE]

21 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Now,
22 how does CATA work? CATA starts with using
23 three-dimensional emissions data, either estimated by CARB
24 staff or reported to CARB, that represents our best
25 estimate of actual emissions occurring during a calendar

1 year.

2 Emission sources can be categorized into groups
3 of sectors, such as on-road mobile sources, like trucks
4 and cars, off-road mobile sources, like locomotives,
5 ocean-going vessels, or OGVs, and aircraft, area sources,
6 such as agricultural activities, construction, different
7 types of burns and fires, which includes wildfires as well
8 as transported pollutants from Mexico, and stationary
9 points sources, including commercial and industrial
10 facilities.

11 All those add up to more than 10 million sources
12 statewide that CATA models to estimate exposure and risk
13 to the public, and the number is growing with each CATA
14 update as we receive more information on sources and
15 emissions. For diesel PM and heavy metals, we're keeping
16 track of more than 30 categories of emission sources
17 independently, so that we can do detailed analysis of
18 which sources are contributing most to health risk. For
19 example, how much of the total risk comes from on-road
20 mobile sources versus how much comes from locomotives.

21 By keeping track of source contributions over
22 time, we can also quantify sector-specific health risk
23 changes for each toxic species, and relate those to major
24 regulations in effect during that period.

25 [SLIDE CHANGE]

1 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: CATA
2 takes that comprehensive and detailed emissions inventory
3 and allocates emissions to each hour of the day and then
4 utilizes meteorological and air quality models to predict
5 the transport and dispersion of those emissions to better
6 estimate ambient concentrations and exposure to air
7 toxics. It is necessary to go beyond just information on
8 emissions and to utilize air quality models when we want
9 to estimate the health impact of air toxics, because what
10 is being emitted doesn't necessarily translate to what we
11 breathe.

12 Surface wind can blow pollutants toward or away
13 from populations. The sun and other chemicals in the air
14 can participate in chemistry that form or destroy
15 pollutants. Those are some of the processes that air
16 quality models take into account to estimate ambient
17 concentrations or how much pollutant is in the air at a
18 certain time and place.

19 This animation shows the propagation of a plume
20 from a single fire, as an example of what happens in the
21 model. Now, imagine the 10 million sources we described
22 earlier all being transported together simultaneously,
23 that is what CATA captures within its model framework.
24 Adding people into the picture, CATA uses population data
25 and factors that impact exposure, such as absorption, the

1 amount of time people spend outdoors, and their
2 sensitivity to toxics depending on their age, to estimate
3 the overall exposure and cancer risks at each census block
4 and tract statewide.

5 Whenever available, the CATA modeling is compared
6 against toxics measurements at monitors throughout the
7 state and within communities to validate the results.

8 [SLIDE CHANGE]

9 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Now,
10 that we have exposure and risk estimates, what can we do
11 with this information? As mentioned earlier, the results
12 from CATA can be useful in four different ways. First, it
13 provides a near statewide estimate of ambient
14 concentrations, exposure, and cancer risk of air toxics in
15 California at the census block and tract levels, as shown
16 on the maps on the left for different air toxics for the
17 year 2017. The statewide assessment provides public
18 information about the major air toxics, included in CARB's
19 emissions inventory and associated health risk throughout
20 the state of over time, which supports the goals of AB
21 1807. It also bridges the gap between national studies,
22 such as U.S. EPA's National Air Toxics assessment, or
23 AirToxScreen, and regional air toxics studies, like MATES
24 in the South Coast.

25 CATA also complements the CalEnviroScreen tool

1 developed by OEHHA by adding potential public health risk
2 from air toxics as an additional factor into their scoring
3 system.

4 [SLIDE CHANGE]

5 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN:

6 Second, CATA tracks trends over time that can
7 provide insights into the present and future exposure to
8 air toxics. On the left, the bars represent results from
9 the first two CATA iterations and projections to future
10 assessments and years, while showing an example of source
11 attribution of the overall cancer risks.

12 The relative proportions of DPM on-road sources
13 are shown in green, the rest of the diesel PM sources in
14 yellow, heavy metals in purple, and VOCs in blue. The
15 2012 and 2017 data are estimated by detailed CATA
16 modeling. We are in the process of completing the 2021
17 iteration. The results shown here for 2021 and 2037 are
18 initial estimates based on the 2017 modeling results, and
19 projected emission trends, and will be confirmed with
20 future CATA updates.

21 We can see a clear trend in risk reduction over
22 time, pointing to the success of past CARB regulations and
23 providing insights on where to focus on in the future. We
24 also see a clear reduction in the contribution of diesel
25 on-road sources compared to other sources in air toxics

1 from 60 percent of total risk in 2012 down to 50 percent
2 in 2017. And it is expected to continue to decrease in
3 the years to come. In other words, on-road diesel PM
4 sources have declined more than other diesel PM sectors,
5 mainly thanks to past stringent on-road regulations.

6 Therefore, CATA can be used to evaluate the
7 progress of sector-based regulations in reducing air
8 toxics exposure and help assess the health benefits of
9 those regulations. We would like to clarify here that
10 even the results from CATA can be used to support
11 regulatory efforts and evaluate health benefits, it is not
12 intended to replace the health risk assessments used to
13 estimate risk near sources, such as the Hot Spots Program.

14 CATA estimate risk at the census block and tract
15 level, more like a neighborhood scale estimate,
16 considering all emission sources in the vicinity. It does
17 not provide risk at close proximity to sources, nor does
18 it quantify risk for any individual person or household.
19 Therefore, the true usefulness of CATA doesn't lie in
20 providing an exact cancer risk for a particular person.

21 Rather, it informs the public and policymakers of
22 the progress we're making in reducing exposure to air
23 toxics through current regulations statewide or in the
24 particular area, as well as where future efforts might be
25 most effective in further reductions.

1 [SLIDE CHANGE]

2 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: For
3 example, CATA results show that overall in California,
4 cancer risk from all diesel PM sources have decreased by
5 42 percent from 2012 to 2017. When looking at individual
6 source category contributions to cancer risk, we found
7 that on-road diesel PM risk decreased by 49 percent. This
8 reflects major health benefits from the Truck and Bus
9 Rule. Similarly, we found that -- a 43 percent decrease
10 in OGV-related cancer risk and the 31 percent decrease for
11 the rest of off-road and area sources.

12 Those reflect the combined impact of many
13 regulations, such as those targeting ocean-going vessels,
14 commercial harbor craft, cargo handling equipment, and
15 transport refrigeration units. In contrast, sources from
16 outside of California within Mexico decrease by less than
17 one percent. Those cross-border contributions continue to
18 heavily impact near border communities. With each of
19 update of CATA, the impact of new and existing regulations
20 will be reflected.

21 [SLIDE CHANGE]

22 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: At
23 the community level, the CATA assessments have helped
24 communities identify the major air toxics and emission
25 sources impacting their community, trends in how those

1 emissions and associated risk are changing over time, as
2 well as assisting developing community emission reduction
3 plans, or CERPs, and advancing environmental justice
4 across the state.

5 [SLIDE CHANGE]

6 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: For
7 example, we closely collaborated with the Portside
8 community, their steering committee, and the San Diego Air
9 District on how CATA could be used to assist with our CERP
10 goals and supplement the air quality measurements in the
11 community. CATA results that were shared include cancer
12 risk maps that showed the spatial distribution of exposure
13 to toxics such as the one on the left for diesel PM, where
14 we can see high risks downwind of the port area and major
15 highways like I-5.

16 We were also able to provide information on the
17 contribution of each air toxic to total risk, like what we
18 see in this pie cart to the right, as well as which
19 emissions sectors are responsible for the majority of
20 diesel PM risk in the community.

21 In 2017, diesel PM was still the dominant air
22 toxic in terms of long-term health risk and in-state
23 on-road sources were still the main source of diesel PM
24 risks. However, a projection to 2037 based on our 2017
25 CATA modeling and estimated emissions trends show that

1 assuming current emission controls and regulatory
2 authority, the major polluting sources will shift toward
3 off-road sectors and transport from Mexico. Many of these
4 analyses were prompted by discussions with the community
5 and steering committee members, and the feedback we
6 received led to the creation of a frequently asked
7 question page on our public data portal that we will
8 introduce later. These also illustrate the type of
9 analysis and information we can get from CATA at any
10 scale, whether it is for local community, an entire air
11 district, or air basin, or across the entire state.

12 Under AB 617, many communities are receiving
13 support to install additional monitoring. The early stage
14 community monitoring network for Portside is shown here on
15 this map. CATA can further complement those
16 community-level monitoring efforts by providing source
17 attribution of exposure and health risks, and by filling
18 the gaps between monitors.

19 [SLIDE CHANGE]

20 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: CATA
21 not only complements the mon -- the toxics monitoring
22 network at the community but also at the statewide level.
23 As mentioned earlier, monitoring measurements are used as
24 the ground truth against which we validate our modeling
25 results. However, monitoring over extensive periods of

1 time is expensive, which limits its coverage in space and
2 time. Choosing where to place the monitors also presents
3 a big challenge. As point measurements, monitors are
4 bound to be mostly impacted by sources located upwind.
5 For example, imagine the scenario, where a monitor is
6 downwind of a factory but upwind of a highway.
7 Measurements at that monitor site will be dominated by the
8 emissions from the factory and provide a good estimate of
9 the health impacts on nearby residents associated with
10 emissions from the factory. However, the measurements are
11 likely to underestimate the health impact from vehicle
12 exhaust on the highway.

13 [SLIDE CHANGE]

14 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: The
15 map on the left shows the current statewide toxics
16 monitoring network, including some of the community and
17 regional specific monitors in purple. We can see that
18 even though certain urban areas have good coverage, there
19 are large gaps across the state. CATA provides continuous
20 coverage of concentrations, exposure, and risk across the
21 state, so it can fill the gaps between monitor sites.

22 In addition, instruments measured total ambient
23 levels of toxics without source attribution, whereas CATA
24 keeps track of how much each emissions source contributes
25 to the total.

1 [SLIDE CHANGE]

2 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: To
3 date, we have completed two iterations of CATA
4 representing 2012 and 2017 conditions. We have also
5 released a comprehensive report on the major findings and
6 a publicly available GIS data portal with interactive
7 maps, where anyone can explore CATA's results. We are
8 currently working on the third iteration for the year
9 2021, which is expected to be completed next year. As we
10 move forward with future iterations, more regulations or
11 emission control measures will come into play, such as
12 incentives under AB 617. CATA will continue to keep track
13 of the trends over time and the benefits from existing and
14 new regulations.

15 [SLIDE CHANGE]

16 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Our
17 public data portal features interactive maps of total
18 cancer risk for predefined regions, such as statewide air
19 basins, counties, and local communities, including those
20 identified under AB 617. Users can also Zoom into any
21 area of interest, for example Bakersfield.

22 [SLIDE CHANGE]

23 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: The
24 interactive charts that display the contributions from
25 each air toxic and emissions source will refresh

1 automatically for that selected region. For example, we
2 can see that for Bakersfield in 2017, most cancer risk
3 came from diesel PM on-road sources and agricultural
4 activities. However, from the trends seen earlier, we
5 expect that to shift away from on-road in the future.

6 The portal also features a page that shows how
7 much risk has changed over time from 2012 to 2017. To
8 increase transparency, there is a compilation of
9 frequently asked questions as well as an option to
10 download the full report and analysis, and an email
11 address to ask questions. Below is the link to the
12 website, which is accessible to anyone to explore.

13 [SLIDE CHANGE]

14 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Prior
15 to releasing the 2017 CATA assessment, we conducted
16 multiple public outreach events, such as briefings to air
17 districts, CAPCOA, environmental groups, external
18 agencies, community steering committees, and community
19 members to better understand their needs and how CATA
20 could be helpful to them, as well as to listen to and
21 address any concerns or questions they may have had. We
22 have also presented at multiple international conferences
23 and received feedback from the research community.

24 Several journal articles are currently in
25 preparation for publication. Comments were positive with

1 some questions on how to properly message major findings
2 and address differences with other studies. The
3 frequently asked questions on our public data portal
4 document and address the major feedback we received from
5 communities and stakeholders.

6 [SLIDE CHANGE]

7 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN:

8 Summarizing our ongoing efforts with CATA and
9 what is coming ahead, CATA has shown that the health
10 impact associated with air toxics have reduced from 2012
11 to 2017, which reflects the successful implementation of
12 past and current regulations and policies. For example,
13 CATA estimates that, statewide, diesel PM cancer risks
14 decreased by 43 percent and non-cancer health effects from
15 diesel PM exposure decreased by 50 percent from 2012 to
16 2017. However, those reductions are not uniform in space
17 and disparities continue to persist across the state.

18 For example, in 2017, disadvantaged communities
19 identified under AB 617 and SB 535 were still overburdened
20 by higher levels of air toxics compared to regional and
21 statewide averages. From source attribution of cancer
22 risk in 2012 and 2017, we saw a shift in risk
23 contributions from the emission sectors and toxic species.
24 While some of those same trends, such as the decrease of
25 on-road sources are expected to continue in the future,

1 the sector-based trend analysis under CATA can help guide
2 future toxics control measures and regulations by
3 identifying which sectors and toxics to prioritize to
4 achieve greater emission reductions and greater health and
5 cost benefits.

6 Attention should also be placed on international
7 transport that can heavily impact the communities living
8 near the U.S.-Mexico border. As new advances are made in
9 quantifying toxics and associated health risks from
10 wildfires and emissions from urban structural burns within
11 the wildland urban interface, we look forward to
12 incorporating those new findings into CATA. Similarly,
13 new developments in emissions inventories through
14 reporting mechanisms, such as CTR and emerging air toxics,
15 like PCBTF and ethylene oxide will be incorporated into
16 CATA, as that information becomes available. CTR, short
17 for criteria pollutant and toxics emissions reporting, was
18 developed in 2017 in support of the mandates of AB 2588,
19 AB 617, and AB 197.

20 In 2020, CTR was amended to expand the
21 regulation's applicability requirements to increase the
22 number and types of facilities subject to annual emissions
23 data reporting. We see an example of that increase in
24 reporting on this map of the southeast and South Los
25 Angeles communities. As emissions inventories are

1 developed for enhanced reporting and emerging air toxics,
2 they will be reflected in CATA.

3 This concludes our presentation. We now welcome
4 any questions or comments.

5 BOARD MEMBER TAKVORIAN: Well, how about that.
6 Okay. Thank you so much. Chair Randolph was called away
7 on an urgent matter, so I will be sitting in for her.
8 Thanks so much for a great presentation. We really
9 appreciate it. It's such a great enhancement of community
10 right to know and also provides the scientific basis for
11 all of the affected rules that CARB currently has in place
12 and hope that we can (inaudible).

13 Chair Randolph and I talked about perhaps Board
14 members who may have questions could ask those first
15 before public testimony and those are questions, not long
16 comments, and then we can move to the public.

17 Member Hopkins.

18 BOARD MEMBER HOPKINS: Excellent presentation.
19 Thank you for that. You know, I think that we're all
20 acutely aware of what transpired at the U.S. Senate last
21 night and it's hard not to bring that lens into the
22 conversation today. It looks like we're actually able to
23 disaggregate the data based on source. And it seems like
24 that should allow us to attract -- to sort of track not
25 only the overall impact of regulations, but also

1 potentially the impacts of specific regulations.

2 So I was just -- you know, I want to recognize
3 that correlation is not causation, but is there an
4 opportunity to prove causality around particular
5 regulations. For instance, could we track the impact of
6 the EPA waiver that we have received over time,
7 recognizing that we have a relatively, you know, short
8 duration compared to, you know, since the Clean Air Act
9 was formed?

10 AQPSD CHIEF BENJAMIN: Thank you, Board Member
11 Hopkins. This is Michael Benjamin, Chief of the Air
12 Quality, Planning, and Science Division. The CATA
13 modeling does, indeed, reflect the benefits of all of the
14 regulations that have either been already implemented or
15 that we, at the time that the modeling was done, that we
16 expected those regulations to be implemented. If there
17 are changes in which regulations or actually implemented
18 going into the future, it is challenging to actually go
19 back and tease out the specific impact of a given
20 regulation without actually redoing the modeling.

21 We can come up with an estimate of what we think
22 the impact would be, which would probably be fairly
23 reasonable, but we wouldn't, I don't think, be able to
24 determine with confidence what the impact might be on a
25 given community from a specific regulation not being

1 implemented.

2 BOARD MEMBER HOPKINS: A follow up if I may,
3 through the Chair? I just wanted to ask what is -- so, I
4 am total data geek and I love this and know that we have
5 some stakeholders who are also total data geeks. What is
6 our kind of ability to tell the story beyond, you know,
7 kind of the modeling? Like, how are we going to share
8 this in potentially, you know, more of a story telling or
9 a narrative way to members of the community, and do we
10 have a communications plan associated with this?

11 AQPSD CHIEF BENJAMIN: That's a great question.
12 We've been in active communication with a number of
13 community members through the outreach efforts in the
14 development of this version of CATA. We're also working
15 very closely with our Office of Community Air Protection,
16 as well as our Public Information Office to really think
17 about what's the best way to disseminate, make available
18 this tool, and let people know what the results are, and
19 the benefits of CARB's regulations at the community scale.

20 As Dr. Chen mentioned, we already have a number
21 of scientific publications and peer review that are going
22 to be published. But in terms of what we need to do for
23 the layperson, I think we need to think carefully about
24 how do we translate this highly complex information into
25 something that's understandable for people at the

1 neighborhood level, and that's something that we're
2 currently working on.

3 BOARD MEMBER TAKVORIAN: Okay. Thank you very
4 much.

5 So I'm going to call on Dr. Balmes, because he is
6 probably going to have to step away for a little while, so
7 if you wouldn't mind going for first, and then I'll call
8 on the other Board members.

9 BOARD MEMBER BALMES: So first of all, I want to
10 thank Dr. Chen for an excellent presentation. As I've
11 said many times from this dais, I think that our control
12 of air toxics is really the frontier that we need to be
13 pursuing. You know, we've done a pretty good job with the
14 criteria pollutants, so that means that the toxic
15 contaminants that our communities breathe, those are more
16 important for us to deal with. And so I really am pleased
17 with the progress that's been made.

18 And I think that slide nine shows that progress,
19 except for cross-border diesel emissions from Mexico is
20 remarkable. And, you know, I hope that the projection for
21 2021 is as good as you folks hope.

22 And again, to Board Member Hopkins comments,
23 hopefully we're going to be able to continue on a
24 progress -- a path towards progress in reducing air
25 toxics, especially in our most vulnerable communities.

1 You know, the -- especially -- I'm especially
2 pleased about the public data portal, because we were kind
3 of slow in getting that going, but now we have it. And I
4 don't know if you have any way of tracking how often it's
5 being used at this point. I hope it's -- Michael is
6 smiling. I don't know if that means it's good or bad. If
7 it's not being used as much as we would like, then it's up
8 to us to inform the public that they have this tool that
9 they can use, especially our AB 617 steering committees,
10 but really the whole state's public, because that was, to
11 me, a key part of what the Legislature wanted out of our
12 Air Toxics Program. So I'm mostly very happy. You have
13 to continue to make progress, but, you know, what you
14 showed today is cross-border diesel emissions heartening.

15 The one question I have is given that some air
16 toxics are pretty hard to measure, exactly how do you
17 incorporate new air toxics or air toxics that are hard to
18 measure into the...(inaudible).

19 AQPSD CHIEF BENJAMIN: This is Michael Benjamin
20 again. As Dr. Chen mentioned, we're for -- we're working
21 very closely with our Monitoring and Laboratory Division,
22 our Research Division, and partners inside and outside of
23 the agency, as well as the air districts to make sure that
24 each iteration of CATA has the most accurate input
25 information as possible. At the end of the day, these

1 modeling results are only as good as the data that go into
2 them. And fortunately, there are a lot of developments in
3 terms of the instrumentation and technology for real-time
4 measurement of toxics. And as we deploy and collect
5 information on these various toxics, we'll incorporate
6 them into future iterations of CATA.

7 BOARD MEMBER BALMES: And those new monitoring
8 instruments, do we do those on our own or do we partner
9 with the air districts prior to that monitoring?

10 AQPSD CHIEF BENJAMIN: Well, we have a long
11 history as an agency of partnership with many entities,
12 not just the local air districts, but also other State
13 agencies, federal partners, NOAA and NASA, and EPA. And
14 other agencies have been incredibly important in terms of
15 helping develop these new technologies and also deploying
16 them. And so we've really appreciated those partnerships
17 and we see them as an important -- really play an
18 important role going forward.

19 BOARD MEMBER BALMES: Thank you, Michael. And
20 because I'm not going to be able to make your retirement
21 party unfortunately, I just want to say how much I've
22 appreciated your service on the Board, and particularly
23 your help to me on multiple occasions when I've reached
24 out to you. And you're going to be missed by me and
25 others, but I hope your good work will continue past your

1 retirement.

2 AQPSD CHIEF BENJAMIN: Thank you, Dr. Balmes.

3 BOARD MEMBER TAKVORIAN: Thank you, Dr. Balmes.

4 Thank you for that information.

5 Dr. Shaheen.

6 BOARD MEMBER SHAHEEN: Thank you. So, Dr. Chen,
7 thank you, again for the wonderful presentation. I have
8 just a point of clarification on slide nine. Help me
9 understand what's on that Y axis.

10 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Yes.
11 So the Y axis is the total diesel PM related cancer risk
12 for the two years that are showing.

13 BOARD MEMBER SHAHEEN: What's the scale?

14 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Per
15 million.

16 BOARD MEMBER SHAHEEN: Per million.

17 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Yes.

18 BOARD MEMBER SHAHEEN: Okay. Thank you. That's
19 what I was looking for. All right. Yes, Dr. Balmes
20 pointed out that I'm a scientist, so I'm sorry, but that's
21 why I'm on the Board. So -- and Dr. Balmes, I totally
22 appreciate your comment on slide nine. I think these data
23 are really instructive. I love longitudinal analysis.
24 While I'm not thrilled with the lack of progress on the
25 international border, I also noted though that in that

1 spread, right, that shows about a 42 percent percentage
2 point reduction, that there's only a 31 percent reduction
3 in the area of off-road area emissions in diesel
4 particulate matter.

5 So I was curious how we target that, if, you
6 know, those data aren't showing as great a reduction as
7 we're seeing on-road and in the area of ocean-going
8 vessels.

9 DEPUTY EXECUTIVE OFFICER CHANG: This is Edie
10 Chang. So in terms of the off-road this is sort of more
11 of a control strategy question. And we have in recent
12 years started looking more at off-road emission reductions
13 from diesel sources, both from sort of kind of the -- I
14 would call them the traditional sources, like construction
15 equipment, farming equipment even within census programs,
16 as well as programs that reduce emissions from diesel
17 engines that work on freight sources. So it is an area
18 that is sort of -- it's following what's happening on
19 on-road, but it has been a big focus of our control
20 program. So we would expect to see going forward to see
21 more progress in that area.

22 BOARD MEMBER SHAHEEN: Yeah. Thank you. That's
23 why these types of data are so instructive, right, because
24 they can tell you where we need to focus. The other slide
25 that my eyes went to, and Dr. Chen, I think I spoke to you

1 about this in our briefing, is slide 13, which shows a
2 clear hot spot in the CATA modeling efforts in
3 Bakersfield. And so that's obviously really concerning.
4 And my question relates to back, you know, from this
5 particular area and how we might be integrating that. But
6 there's also, as you can see in the Southern California
7 region, additional hot spots, but really that Bakersfield
8 really stood out to me. So I was wondering how we're
9 working with the community there to integrate their
10 feedback?

11 AQPSD CHIEF BENJAMIN: This is Michael Benjamin.
12 So, as I mentioned earlier, we're working very closely
13 with our Office of Community Air Protection to share the
14 results with the community members and to talk with them
15 about what the most significant sources are. One of the
16 things that I think we all need to remember with what
17 we're seeing today is that this is a snapshot from 2017.
18 And so the risk that is currently being posed to the
19 communities, for example, in Bakersfield, if we were to go
20 to the slide that shows the projections to 2021, I think
21 we'll see that there's a really dramatic reduction that
22 we're anticipating seeing, and that the Bakersfield
23 communities will benefit from. It's not to say that
24 they're not exposed to proportionately higher risks than
25 surrounding areas, because it is a hub for transportation

1 freeways, and rail, and so on that pass through the
2 Bakersfield area.

3 So I think it, again, highlights the importance
4 of our control programs and the need to continue to press
5 on those, in order to be able to address this disparity in
6 risk that we're seeing in the Bakersfield area. But we
7 are working very closely with our Office of Community Air
8 Protection on community outreach and communication.

9 BOARD MEMBER SHAHEEN: Thank you so much. And
10 just one final question. We also spoke about urban
11 wildfires and their potential integration into the CATA
12 modeling. Dr. Chen, I don't know if you could address
13 that question.

14 AQPSD STAFF AIR POLLUTION SPECIALIST CHEN: Sure.
15 So since the 2017 assessment, we have been including the
16 impact of wildfires. Although, CATA focuses on the
17 long-term health impacts. And so it doesn't include the
18 acute health impact that may come from wildfires. And if
19 it is -- if we want to look at a more comprehensive health
20 assessment from specific wildfires, additional modeling
21 efforts will probably be needed to look at specific toxics
22 that may be released from that wildfire, especially if
23 there's structural burns involved.

24 BOARD MEMBER SHAHEEN: Yeah. I think now that
25 we've seen, you know, more than one major urban wildfire

1 disaster in this State, I think getting that into this
2 particular model would be wonderful. Thank you for
3 addressing my comments.

4 Thank you.

5 BOARD MEMBER TAKVORIAN: Okay. Thank you. So
6 now we'll hear from the public who will -- who has signed
7 up to speak on this item, either by submitting a request
8 to speak card or a raised hand in Zoom. So I'll ask the
9 Board Clerk to begin calling the names of the public
10 commenters.

11 BOARD CLERK LEVRINI: Thank you, Ms. Takvorian.
12 We do not have any commenters for this item

13 BOARD MEMBER TAKVORIAN: On either platform?

14 BOARD CLERK LEVRINI: On either in person --

15 BOARD MEMBER TAKVORIAN: Okay.

16 BOARD MEMBER LEVRINI: -- or -- oh, it looks like
17 we might have a panelist.

18 It looks like Ms. Ortiz-Legg would like to speak.

19 BOARD MEMBER ORTIZ-LEGG: Yes. Thank you. You
20 know, it's so great to have the data. Really appreciate
21 it and thank you for giving us all these details. I think
22 one of the things that I'm curious about is that, you
23 know, it's pretty obvious when you look at the sectors
24 that we're talking about real economic drivers. And I'm
25 wondering if there's any ability to really take a look at

1 those targeted sectors in relations to jobs and economic
2 impact, because I think that there's a really clear
3 indicator here that we've got to be mindful of, but I will
4 also note that I think that the 2021 progress is going to
5 be important because it's going to demonstrate that a Lot
6 of effort has been put in place.

7 So I guess my question is basically is there a
8 capability to add a component of this to -- relating to
9 what those impacts are economically in regards to those
10 sectors that we target to the reduction of emissions?
11 Thank you.

12 EXECUTIVE OFFICER CLIFF: Well, thanks for that
13 question. Generally speaking, each regulatory action that
14 we take we evaluate the economic impacts. And for the
15 most part, regulations that tend to reduce energy use,
16 such as those targeting zero-emission vehicles save
17 consumers money and have positive impacts on the economy.

18 Furthermore, we also incorporate the public
19 health benefits of those actions. So just as an example,
20 if you look at what the Senate is taking up today, there's
21 about 43 -- \$45.3 billion in public health benefit
22 associated with those actions, and by, for example, the
23 Senate trying to wipe out our authority to enforce those
24 regulations. If that were to ultimately be upheld, it
25 would impact the economy by increasing public health costs

1 by that \$45 billion. So that's just sort of an example of
2 the benefits associated with these regulations that we
3 track.

4 This type of modeling effort is not really
5 targeted at looking at those economic impacts, but that is
6 part of our ongoing analysis.

7 BOARD MEMBER ORTIZ-LEGG: Sure.

8 EXECUTIVE OFFICER CLIFF: And then for any
9 (inaudible) that we undertake, we also look at those types
10 of -- those types of data points.

11 BOARD MEMBER ORTIZ-LEGG: Yeah. Yeah.
12 Understood. Really important stuff obviously. Health is
13 the most important thing that we can have. I think that
14 regarding jobs is kind of, you know, really the target in
15 my question. But knowing that there's only so much we can
16 do and that we have a goal here, but I do think that
17 there's a connection. And just so that the public can
18 understand, you know, when we're talking these equations
19 what it can mean locally to different districts in regards
20 to their economic drivers. So thank you very much.

21 BOARD MEMBER TAKVORIAN: Thank you, Board member.
22 And I apologize for not seeing your hand raised. I'm
23 still looking at three screens and trying to figure it
24 out.

25 BOARD MEMBER ORTIZ-LEGG: Yeah, that's okay. It

1 was a late raise. Thank you.

2 BOARD MEMBER TAKVORIAN: I'm managing all of
3 this. So are there any other Board members online that --
4 I don't see any other.

5 Now, Mr. De La Torre. But let me just check.
6 Are there -- do you see any -- clerk, I'm sorry. Do you
7 see any other hands raised? I don't.

8 BOARD CLERK LEVRINI: Not for Board members, no.

9 BOARD MEMBER TAKVORIAN: Okay. Okay. Thank you.

10 BOARD CLERK LEVRINI: We do have one Zoom
11 commenter though, when we're ready for that part.

12 BOARD MEMBER TAKVORIAN: Thank you.

13 BOARD MEMBER DE LA TORRE: Thank you. I didn't
14 have a question, so...

15 BOARD MEMBER TAKVORIAN: Thank you.

16 BOARD MEMBER DE LA TORRE: It's about MATES,
17 which I'm very (inaudible) accessing it (inaudible). And
18 one of the things that I've seen there that is relevant to
19 this conversation -- and we discussed (inaudible) is that
20 we've made incredible progress, incredible progress in the
21 South Coast Air Quality Management District. (Inaudible)
22 20 years ago -- 20 plus years ago, most of Southern
23 California was purple, which was the most at risk
24 (inaudible). The most recent one, which was before 2017,
25 something like that, there's only one purple spot left in

1 Southern California in the South Coast Air District. And
2 it stands out, because everything else is, you know, not
3 green, but pretty good.

4 It's the port complex. Port complex of San Pedro
5 (inaudible), Long Beach. And I bring this up all the time
6 when I'm dealing with the ports because they -- even
7 though we've made this incredible progress through all of
8 our regulations, through the regulations there, it's still
9 the biggest problem. And so I see the hot spots on here
10 statewide, and they mirror that kind of activity. And
11 that's a problem. And we need to talk more about how --
12 pat ourselves on the back, well deserved, but we need to
13 keep the focus on these hot spots. We need to talk to the
14 community about these hot spots and why they are hot
15 spots. And obviously, it's diesel.

16 I --in Southern California, diesel accounts for
17 over 70 percent of the carcinogenic defect of air
18 pollution. And during my briefing -- I always thought the
19 statewide number was less, but now it's caught up. It's
20 also over 70 percent statewide. So, diesel and I've said
21 it here many, many, many, many times to kill diesel,
22 because it's killing us. So I just wanted to flag that,
23 because these -- this data mirrors that data. And, you
24 know, scientists in the room, you know, numbers don't lie.

25 So, I just wanted to emphasize that, because the

1 patterns are there. Thank you.

2 BOARD MEMBER TAKVORIAN: Okay. Thank you.

3 I want to put my Board member at on for just a
4 second, because I had a couple of comments to follow up on
5 Mr. De La Torre's as well as Dr. Balmes. I just -- I just
6 want to give me huge gratitude to this team for the
7 incredible work that you've done. And I started my career
8 in community right to know a few decades ago and I think
9 that this is such an enhancement and delivering the kind
10 of data that the public really needs to know. And I
11 appreciated your question, Dr. Shaheen, because I think
12 the public has many questions. And what we want is to
13 present this in the most user-friendly way possible. And
14 I think -- (clears throat) -- excuse me -- you've got a
15 long way to doing that. So huge gratitude to you for
16 that, for the entire state.

17 And I just want to say that I really appreciate
18 you weighing in and wading in to the Portside community
19 debate about cancer risk and about how we measure that.
20 And I don't know that that's over yet, but I think this
21 data makes it very clear to emphasize Mr. De La Torre's
22 point that the ports have a huge role. And I think that
23 many of them are stepping up and working on it, but it
24 really points to that and it really emphasizes the need
25 for the rules that we've adopted and more that we have on

1 our plate.

2 I also want to express gratitude for your flex
3 really -- actually, the whole agency's flex to really
4 addressing the issues of cross-border pollution. I mean,
5 we really live in a schizophrenic kind of community, given
6 the lack of rules in Mexico and the lack of enforcement of
7 rules in Mexico, although things have changed over my time
8 in that region, but we can really see the difference. And
9 we have the busiest port in the world -- busiest border
10 crossing, excuse me, in the world at the U.S.-Mexico
11 border in San Diego and Tijuana, so we really see what the
12 impacts are, and the communities that I've worked in in
13 Mexico are really suffering. And we just can extrapolate
14 that data right at the border for the impacts of those
15 communities that are on the border.

16 So please know that your -- the data I think is
17 going to be influential for those recipients in Mexico,
18 who I think are looking at this data very carefully and
19 thinking about the rules and the actions that they can
20 take as well. So another example of how CARB is having an
21 international impact.

22 So I that's -- those are my comments, and again,
23 big gratitude to you, since we have --

24 BOARD CLERK LEVRINI: The hand is down. We're
25 good. So no in-person and no Zoom --

1 BOARD MEMBER TAKVORIAN: Okay. Hand is down.

2 BOARD CLERK LEVRINI: -- commenters for this
3 item.

4 BOARD MEMBER TAKVORIAN: All right. So, Dr.
5 Cliff, are there any other comments that staff may want to
6 make on this item?

7 EXECUTIVE OFFICER CLIFF: No, thank you.

8 BOARD MEMBER TAKVORIAN: Thank you. So this is
9 an informational item only, so there's no need to close
10 the record, and with that our Board member questions.

11 So before we move to the next Board item, as Dr.
12 Balmes has kind of teed up for us, I want to acknowledge
13 Michael Benjamin. So the Division Chief -- who is the
14 Division Chief of the Air Quality Planning and Science
15 Division. Michael is retiring from CARB after 32 years --
16 sorry, Michael. Michael is retiring from CARB after 32
17 years of exemplary service that has spanned the Mobile
18 Source Division, the Research Division, the Monitoring and
19 Laboratory Division, and AQPSD.

20 Michael will be greatly missed, but his legacy
21 will live on in work like this CATA model we just heard
22 about. Thank you so much.

23 Throughout his career, Michael has championed
24 scientific integrity and advanced the technical
25 underpinnings of CARB's work, the foundation that all of

1 our control programs are built on. The work that he and
2 his staff have done ensures that we target the right
3 sources of pollution and that we have a strong evidence
4 based to push for the rigorous regulations needed to clean
5 California's air.

6 Michael cares deeply about his staff and is a
7 staunch advocate for what is right. He has garnered the
8 respect of the Board, his colleagues, the air districts,
9 and our many stakeholders. Michael, thank you for all you
10 have done for CARB and for the people of California. We
11 wish you well in your retirement.

12 (Applause).

13 AQPSD CHIEF BENJAMIN: Thank you.

14 BOARD MEMBER TAKVORIAN: Okay. So moving to the
15 next item. Thank you so much.

16 BOARD CLERK LEVRINI: Ms. Takvorian, I believe
17 Board Member Pacheco-Werner would like to speak.

18 BOARD MEMBER TAKVORIAN: Thank you.

19 BOARD MEMBER PACHECO-WERNER: Yes. Thank you.
20 Thank you, Board Member Takvorian. I just didn't want
21 Michael to leave without just knowing how much he's meant
22 to the valley and how much he's meant to not only our
23 constituents but the air district and myself personally.
24 So thank you for always, you know, putting people and
25 science together, because I think that's how we navigate

1 things best. And you were just so skillful in that. And
2 I wish you the absolute best, but you will absolutely be
3 missed. Thank you so much.

4 BOARD MEMBER TAKVORIAN: Thank you.

5 So the last item on the agenda, is Item number
6 25-3-2. This is an informational update on natural and
7 working lands and nature-based strategies.

8 If you're here with us in the room and wish to
9 comment on this item, please fill out a request-to-speak
10 card as soon as possible and submit it to a Board
11 assistant. If you're joining us remotely and wish to
12 comment on this item, please click the "Raise Hand" button
13 or dial star nine now. We will first call on in-person
14 commenters followed by any remote commenters when we get
15 to the public comment item of this -- public comment
16 portion of this item.

17 Today, we're going to have a staff presentation
18 on the work they've been doing to support nature-based
19 climate strategies and how this sector is part of our
20 overall climate strategy. Natural and working lands help
21 to mitigate climate change and support all life within
22 California. California is home to the world's tallest,
23 largest, and oldest trees, our redwoods, sequoias and
24 bristle cone pines. Our Central Valley is home to the
25 most economically productive agricultural system in the

1 United States. Within our borders our both at the highest
2 peak at Mount Whitney and the lowest point at Badwater
3 Basin in the lower 48 states, within biking distance of
4 one another.

5 California is home to the most National Parks and
6 the most endangered species in the United States. Natural
7 and working lands also include the everyday green spaces
8 that are embedded within our communities, our parks,
9 playgrounds, and backyard gardens.

10 People flock to California's coastlines, parks,
11 and mountains from around the world every year to see this
12 special place. It is these lands that CARB, and
13 California more broadly, are working to protect and make
14 more resilient. This will help in the fight against
15 climate change and will enhance the health and well-being
16 of our communities and ecosystems.

17 California's natural and working lands are on the
18 front line of climate change. Reducing and avoiding the
19 impacts of climate change on our lands, has been woven
20 into -- has been woven into California's climate strategy
21 since its inception. As we close in on almost 20 years,
22 since the adoption of Assembly Bill 32, it is now more
23 important than ever to remind ourselves of what is at
24 stake, both for the people of California and for this
25 state's natural and working lands.

1 I'm going to read a short quote from California's
2 Global Warming Solutions Act of 2006, that hallmark
3 legislation that ultimately is the reason we are here
4 today. Introductory text of AB 32 says, and I quote,
5 "Global warming poses a serious threat to the economic
6 well-being, public health, natural resources, and the
7 environment of California. The potential adverse impacts
8 of global warming include the exacerbation of air quality
9 problems, a reduction in the quality and supply of water
10 to the state from the Sierra snowpack, a rise in sea
11 levels resulting in the displacement of thousands of
12 coastal businesses and residences, damage to marine
13 ecosystems and the natural environment, and an increase in
14 the incidences of infectious diseases, asthma, and other
15 human health-related problems. Global warming will have
16 detrimental effects on some of our largest..." -- "...on
17 some of California's largest industries, including
18 agriculture, wine, tourism, skiing, recreational and
19 commercial fishing and forestry."

20 Some of these predictions are now a reality. A
21 2024 national report ranked California the worst state for
22 natural disasters, fueled by a changing climate, with
23 expected annual losses totaling more than \$16 billion
24 statewide.

25 Home insurance is harder and more expensive to

1 get. Yes, we just went through that struggle in my
2 household. During seven extreme heat events over the past
3 decade, California experienced \$7.7 billion in losses.
4 And over the last -- over the past two decades, wildfires
5 intensified by climate change have reduced thousands of
6 homes to ashes, displaced tens of thousands, and
7 tragically taken lives. Entire communities made up of
8 homes, schools, businesses, and gathering spaces have been
9 lost. The recent wildfires in Southern California alone
10 are estimated to have caused over \$250 billion in economic
11 losses.

12 While California has always grappled with natural
13 disasters, there is no doubt that they are being made
14 worse by climate change. Everyone in this room likely has
15 either been affected by or is close to someone that has
16 been directly affected by a recent climate-fueled
17 disaster. Doing nothing is not an option here in
18 California. We have a legal, scientific, and moral
19 imperative to act. On the legal side, the Legislature and
20 the Governor gave this Board the responsibility and
21 authority to reduce greenhouse gas emissions in
22 California. Legislative mandates have repeatedly
23 reaffirmed and guided that responsibility, most recently
24 with AB 1279 in 2022, which requires California to be
25 carbon neutral no later than 2045.

1 We have approached the charge to reduce
2 greenhouse gases and achieve carbon neutrality seriously.
3 We have been guided each step of the way with the science
4 and facts on our side. When this Board voted in 2022 to
5 approve our current Climate Change Scoping Plan, we made
6 it clear that the path to achieving carbon neutrality
7 means reducing our greenhouse gas emissions and increasing
8 the deployment of nature-based strategies.

9 We are here today for an update on the work that
10 has happened since we approved the 2022 Scoping Plan and
11 to continue the legacy of years of leadership from our
12 state this Board on climate action.

13 Dr. Cliff, would you please introduce this item.

14 EXECUTIVE OFFICER CLIFF: Thank you, Board Member
15 Takvorian. Today, staff is presenting and overview of
16 natural and working lands, how they contribute to
17 California's carbon neutrality objectives, and how this is
18 tracked and quantified. This is a non-voting item and is
19 an opportunity for Board members to further familiarize
20 themselves with this program, provide input, and ask
21 questions of staff.

22 Natural and working lands include the lands and
23 waters that we enjoy here in California. These lands and
24 waters provide the air we breathe, the water we drink, the
25 trails and parks that we enjoy, the wildlife that inspire

1 us, and the food that we eat. These lands and waters also
2 store much of the state's carbon.

3 Staff works to identify the contribution that
4 these lands have towards the state's goal of carbon
5 neutrality and advances nature based strategies across
6 multiple program areas. Today, you'll hear about the work
7 the Industrial Strategies Division, or ISD, is doing to
8 advance nature-based strategies in support of California's
9 overall climate goals.

10 Before I hand it to ISD staff for the
11 presentation, I want to recognize the other CARB divisions
12 that are also working on nature-based strategies in
13 support of our state's climate and air quality objectives.
14 CARB's Research Division identifies and supports new
15 research on land management outcomes and public health
16 impacts, particularly from wildfire smoke. CARB's Air
17 Quality Planning and Science Division and Monitoring and
18 Laboratory work to monitor and quantify wildfire smoke
19 events and coordinates with air districts in support of
20 safe and effective prescribed burning. Our Sustainable
21 Transportation and Community Division works with agencies
22 like Cal Fire, the California Department of Food and
23 Agriculture, and others to assess the climate and
24 community benefits from Cap-and-Trade investments in
25 nature-based strategies. Our Public Information Office

1 works to increase awareness of smoke impacts and
2 prescribed fire events through tools like our Smoke
3 Spotter mobile application.

4 Throughout the years, as we've developed these
5 efforts across CARB, we've remained focused on ensuring
6 that CARB's nature-based strategy efforts prioritize
7 reducing climate and air pollution in improving -- and
8 improving public health, as well as bringing additional
9 environmental and economic benefits to Californians.

10 Today, we also have representatives from two of
11 our close State agency partners at the table who are
12 leading on implementation of nature-based solution climate
13 impacts: Amanda Hansen, Deputy Secretary for Climate
14 Change at the California Natural Resources Agency; and,
15 Virginia Jameson, Deputy Secretary for Climate and Working
16 Lands from the California Department of Food and
17 Agriculture. They will provide a few short remarks after
18 the staff presentation.

19 And with that, I will now ask Dr. Chelsea Carey
20 of the Industrial Strategies Division to begin the staff
21 presentation and provide more detail on the intersection
22 between carbon neutrality and natural and working lands.

23 Dr. Carey.

24 (Slide presentation).

25 ISD AIR POLLUTION SPECIALIST CAREY: Thank you,

1 Dr. Cliff. Good morning, members of the Board. Thank you
2 for the opportunity to speak with you today.

3 My name is Dr. Chelsea Carey and I'm here to
4 share how California's natural and working lands
5 contribute to the state's climate goals and to describe
6 the work that CARB is doing to accelerate climate action
7 in lands.

8 [SLIDE CHANGE]

9 ISD AIR POLLUTION SPECIALIST CAREY: As mentioned
10 in the opening remarks, natural and working lands include
11 all landscapes in California, from forest to cities,
12 croplands to deserts, these landscapes aren't just
13 beautiful scenery, they are living systems that provide
14 critical ecosystem services. They support biodiversity,
15 safeguard water and air quality, produce food and fiber
16 that feed the nation, and importantly for our work, they
17 help regulate the climate.

18 [SLIDE CHANGE]

19 ISD AIR POLLUTION SPECIALIST CAREY: California's
20 natural and working lands, and the communities that depend
21 on them, are increasingly threatened by climate change.
22 Rising seas, shrinking snowpack, drought, heat waves, and
23 severe wildfires are already impacting lives and
24 livelihoods. Between 2012 and 2023, extreme heat caused
25 an estimated \$7.7 billion in damages. The 2021 drought

1 alone led to \$1.7 billion in losses in the agricultural
2 sector and nearly 15,000 lost jobs. Wildfire risks are
3 also reshaping the insurance market, making coverage
4 harder to get and more costly. These growing threats
5 underscore why investing in natural and working lands is
6 vital, not just for cutting emissions, but for protecting
7 our communities.

8 [SLIDE CHANGE]

9 ISD AIR POLLUTION SPECIALIST CAREY: The impacts
10 climate change is having on California's lands reflects a
11 body of research that's amassed over decades. The body of
12 knowledge that's been produced is best reflected in the
13 work of the Intergovernmental Panel on Climate Change, or
14 the IPCC, which has compiled a robust body of evidence
15 that forms the scientific foundation for climate action.

16 Starting with the first report in 1990, the IPCC
17 assessments have deepened our understanding of how human
18 activities, and specifically the burning of fossil fuels,
19 are driving climate change, what the impacts of that are,
20 and what can be done to address them. Over time, this
21 body of evidence has made clear the vital role of lands in
22 mitigating climate change and helping communities adapt to
23 growing climate change impacts. And in 2018, there was a
24 landmark IPCC report that emphasized the urgent need for
25 nature-based solutions as a critical pathway to meeting

1 global climate goals.

2 The 2015 Paris Agreement built on this science to
3 set a target of limiting warming well below two degrees
4 Celsius. This Agreement it acts as a flagship example of
5 how the scientific foundation has translated into global
6 climate policy.

7 And here in California, we've also followed the
8 science for decades. We produced our own Climate Change
9 Assessments and Scoping Plan analyses that align with the
10 IPCC's findings and that provides state-of-the-science,
11 California-specific information to support strong and
12 ambitious climate policies.

13 [SLIDE CHANGE]

14 ISD AIR POLLUTION SPECIALIST CAREY: Building on
15 this scientific foundation, California has established the
16 goal of achieving carbon neutrality by 2045. This
17 strategy requires significant emissions reductions from
18 fossil fuels, industrial sources, landfills, and dairies,
19 which are tracked in CARB's AB 32 greenhouse gas
20 inventory. In addition to reducing emissions, reaching
21 carbon neutrality requires drawing down carbon from the
22 atmosphere through carbon removal technologies.

23 To fully account for California's carbon balance,
24 we must also consider natural and working lands. These
25 are dynamic systems that can be either a sink or a source

1 of emissions.

2 CARB's natural and working lands inventory it
3 tracks changes in carbon across these lands, representing
4 the net balance of carbon emissions and removals that are
5 driven by climate, land use change, management, wildfire,
6 and other factors over time.

7 Incorporating natural and working lands into the
8 state's carbon accounting is an essential step towards
9 achieving carbon neutrality.

10 [SLIDE CHANGE]

11 ISD AIR POLLUTION SPECIALIST CAREY: On the
12 previous slide, I outlined the main components of
13 California's carbon neutrality strategy: significant
14 emissions reductions from AB 32 sources, accounting for
15 natural and working lands, and the need for carbon
16 removal. We also have several more specific targets, such
17 as reducing greenhouse gas emissions by 85 percent.

18 But, even after ambitious action to reduce
19 greenhouse gas emissions, we still expect that there will
20 be remaining emissions that need to be compensated for to
21 achieve carbon neutrality. The graph on the right of this
22 slide it shows the outcome from our 2022 Scoping Plan
23 analysis, which shows those remaining emissions in 2045.

24 And because natural and working lands can act as
25 net sinks in certain places and at certain times, but can

1 also act as net sources of emissions, failing to reduce
2 emissions from these lands can make the path to achieving
3 carbon neutrality even more challenging.

4 [SLIDE CHANGE]

5 ISD AIR POLLUTION SPECIALIST CAREY: Now, I want
6 to take a moment and recognize that focusing on natural
7 and working lands and nature-based climate solutions is
8 not a new thing for CARB. CARB's efforts on natural and
9 working lands date back to 2006 with AB 32 and our first
10 Climate Change Scoping Plan that included initial forest
11 carbon assessments, which was approved by the Board in
12 2008.

13 From there, momentum built steadily. The
14 Cap-and-Trade program introduced its compliance
15 forest-offset protocol the same year. The Board also
16 approved offset protocols for urban forests, livestock
17 methane, and rice methane. Cap-and-trade auction proceeds
18 have been a significant source of funding over the past
19 decade, supporting many of the State's land programs, like
20 CDFA's Healthy Soils Program and CALFIRE's Healthy Forest
21 Program.

22 In 2018, CARB published the first official
23 Natural and Working Lands Carbon Inventory, which
24 quantified how much carbon is stored in California's
25 landscapes. Staff used that initial inventory, and

1 outcomes from our Cap-and-Trade investments, to develop
2 the natural and working lands carbon target that was
3 approved by the Board in the 2022 Scoping Plan. We also
4 used this analytical work to support the establishment of
5 the statewide AB 1757 nature-based solution climate
6 targets, which I'll speak to later in this presentation.

7 Again, taken together, these milestones, they
8 illustrate that California's work on nature-based
9 strategies is not new. I hope you can also see that our
10 nature-based strategy work rests on a strong scientific
11 foundation, has had long-standing legislative support, and
12 follows a clear policy trajectory, giving CARB both the
13 overall authority, science, and the momentum to maintain
14 California's lands as a central component of the State's
15 climate-mitigation strategy going forward.

16 [SLIDE CHANGE]

17 ISD AIR POLLUTION SPECIALIST CAREY: Now, the
18 progress I've just walked through and the achievements
19 still ahead are made possible, in part, because CARB has
20 been able to build a dedicated and growing team of natural
21 and working lands experts. Most recently, the creation of
22 the Nature-Based Strategies Section has added new depth to
23 CARB's expertise, which is represented by the team members
24 shown here.

25 Together, with the many additional colleagues

1 from across CARB's -- from across CARB working on natural
2 and working lands, we're able to maintain and advance our
3 internationally recognized, leading-edge programs.

4 [SLIDE CHANGE]

5 ISD AIR POLLUTION SPECIALIST CAREY: One of
6 staff's core responsibilities to -- is to maintain and
7 update the State's natural and working lands carbon
8 inventory. This inventory it includes every acre of
9 California, regardless of ownership or management.

10 As the map on the left indicates, tracking all
11 lands is essential to estimating the carbon stock and
12 greenhouse gas trends within California's borders, both
13 inside and outside of funded project boundaries.

14 This inventory tracks the natural carbon cycle,
15 which includes all of the carbon entering lands through
16 photosynthesis, and all of the carbon leaving lands
17 through respiration, and decomposition, management, and
18 wildfire. The arrows on the right illustrate that carbon
19 in these systems it moves in both directions. And
20 ignoring either side misrepresents reality, which is why
21 CARB's inventory it measures carbon stocks and stock
22 change over time. This approach follows the IPCC guidance
23 and it integrates all removals and emissions into a single
24 net change across space and time.

25 [SLIDE CHANGE]

1 ISD AIR POLLUTION SPECIALIST CAREY: Here, we see
2 an important example of why taking a whole system view is
3 necessary. This chart, from CARB's wildfire emissions
4 inventory, it displays annual wildfire carbon dioxide
5 emissions as green bars from 2000 to 2023. The dashed
6 black line represents the average annual gross
7 sequestration from California's forests and rangelands,
8 and the blue line shows the average carbon transformed by
9 forest management activities estimated in CARB's SB 901
10 report, which can be found online.

11 To put the magnitude of wildfire emissions into
12 perspective, in some years, such as 2008, 2020, 2021,
13 wildfire emissions match or exceed the sequestration
14 average. In other years, the bar sits well below the
15 sequestration line, and often it's even below the forest
16 management line.

17 Importantly, what this slide shows is that
18 wildfire emissions should not be viewed in isolation or
19 compared against AB 32 source emissions, while ignoring
20 the natural carbon removal that also occurs. One could
21 just as easily only look at the sequestration rates, and
22 ignore the wildfire emissions, and we would be much closer
23 to carbon neutrality, but that would be equally
24 misleading. To account for lands within carbon
25 neutrality, the net change, which includes all emissions

1 and sequestration must be accounted for.

2 [SLIDE CHANGE]

3 ISD AIR POLLUTION SPECIALIST CAREY: CARB staff
4 are currently working to update the natural and working
5 lands inventory, which tracks the contribution of lands to
6 carbon neutrality. Accounting for carbon in lands it's a
7 very different exercise than tracking emissions from AB 32
8 sources. Natural and working lands can be viewed as the
9 largest system in the state, and it's not one that we
10 engineered. And, in fact, it's one that we're learning
11 more about every day. Further, there's no mandatory
12 monitoring or reporting system that currently exists for
13 lands, as it does for AB 32 sources.

14 This all makes accounting for carbon in lands a
15 complex and scientifically challenging task, especially
16 when incorporating land management, climate action,
17 wildfires, droughts, and other natural disturbances. To
18 accomplish this task, CARB staff use satellites and aerial
19 sensors, along with flux towers and field observations, to
20 estimate within super computers the carbon in all of
21 California's plants and soils over time. The inventory
22 spans from 2001 to as current as possible, and it includes
23 accounting for carbon in harvested wood products as well.

24 This work, of course, is ever evolving, and we're
25 excited to share that we're currently working on the 2025

1 inventory update that will introduce major methodological
2 enhancements, providing the most comprehensive accounting
3 of carbon stored in California's plants and soils to date.

4 [SLIDE CHANGE]

5 ISD AIR POLLUTION SPECIALIST CAREY: Nature-based
6 solutions are one of the most powerful tools at our
7 disposal for improving outcomes from the land.
8 Nature-based solutions describe actions that work with and
9 enhance nature to address societal challenges. They
10 provide many benefits, including those listed on this
11 slide.

12 As laid out in the Natural and Working Lands
13 Climate Smart Strategy, nature-based solutions are central
14 to California's strategy for harnessing the power of our
15 landscapes to meet the State's climate goals. Among many
16 examples, nature-based solutions include healthy soils
17 practices on croplands, fuel-reduction treatments in
18 forests, and urban and community greening projects across
19 our neighborhoods.

20 Over the coming years, we expect there will be
21 billions of dollars in private and public investments made
22 to support these solutions, and CARB is working with our
23 sister agencies to make sure that we can account for the
24 outcomes of these investments as we track progress towards
25 carbon neutrality.

1 [SLIDE CHANGE]

2 ISD AIR POLLUTION SPECIALIST CAREY: So, what
3 does the long-term trajectory of greenhouse gas fluxes
4 from our lands look like and what should be the north star
5 for carbon in our landscapes?

6 We analyzed these questions as part of the 2022
7 Scoping Plan and identified an ambitious level of natural
8 and working lands climate action that's needed to ensure
9 California loses no more than four percent carbon stock
10 between 2014-2045. The finding of the Scoping Plan, which
11 is substantiated by independent research, indicates that
12 California will most likely lose carbon over the coming
13 years no matter what we do, short of stopping climate
14 change through the reduction of fossil fuels.

15 With that said, through accelerated and
16 thoughtful application of nature-based solutions, carbon
17 losses can be minimized and, importantly, the negative
18 impacts from those losses can be reduced. As one example,
19 the 2022 Scoping Plan found that through wildfire fuel
20 reduction, California could save over \$3 billion in health
21 cost savings from reduced wildfire emissions alone. This
22 doesn't account for all the other benefits that
23 communities will receive from healthier ecosystems more
24 broadly.

25 As a reminder, before I close this slide, our

1 objective here is to limit land-based carbon losses as
2 well as to maximize the health and resilience of
3 ecosystems and communities through the application of
4 nature-based solutions statewide.

5 [SLIDE CHANGE]

6 ISD AIR POLLUTION SPECIALIST CAREY: The most
7 impactful way the State of California can enhance the
8 health and resilience of our lands and communities is to
9 reduce greenhouse gas emissions coming from AB 32 sources.
10 This is because drought and extreme heat that are caused
11 by climate change, they promote catastrophic fires, and
12 they undermine the ability of California's ecosystems to
13 sequester and store carbon.

14 However, as I've already described, scaling
15 nature-based solutions is another way the State can help
16 to alleviate the impact of climate change on our lands and
17 then decrease the resulting emissions that it would cause.
18 In order to help achieve our Scoping Plan goals, just last
19 year, the State established a set of 81 nature-based
20 solution climate targets, which were announced by Governor
21 Newsom. These targets represent a significant expansion
22 of the pace and scale of climate action on California's
23 natural and working lands. They span all land types and
24 include solutions ranging from wildfire fuel reduction and
25 grassland restoration to urban greening and organic

1 agricultural production.

2 The objective of the targets is to enhance the
3 health and resilience of our ecosystems and communities,
4 while also driving towards more sustainable carbon stocks.
5 When we achieve these targets, the equivalent of half of
6 California's land area will have received some type of
7 nature-based solution.

8 [SLIDE CHANGE]

9 ISD AIR POLLUTION SPECIALIST CAREY: It's
10 essential that we understand where and when these
11 nature-based solutions are occurring on the ground, as
12 well as other land management actions and disturbances.
13 This information is needed to help assess their impact on
14 carbon dynamics and on other ecosystem outcomes.

15 Carbon in plants and soil it responds to many
16 drivers, including land management, such as timber
17 harvesting, crop tillage, and organic amendments. It also
18 responds to stress and disturbance, such as extreme heat,
19 drought-induced tree mortality, insect outbreaks, and
20 wildfires.

21 In this way, tracking ecosystem carbon dynamics
22 is, in part, an exercise in tracking the timing and
23 location of natural events and human inventions on the
24 landscape. The map shown here provides a snapshot of many
25 of these events, including land management and wildfire,

1 which were included in the 2018 natural and working lands
2 carbon inventory. Because there are currently no
3 mandatory monitoring and reporting requirements for land
4 management in California, our team relies on remote
5 sensing, as well as close collaboration with state and
6 federal partners, to identify the most effective and the
7 most efficient ways to track where and when natural
8 disturbances and land management actions are taking place
9 across the state.

10 Tracking these drivers of change is critical for
11 maintaining a robust and accurate inventory and for
12 ensuring progress towards the State's climate-related
13 targets is being achieved.

14 [SLIDE CHANGE]

15 ISD AIR POLLUTION SPECIALIST CAREY: Now, CARB
16 and the State of California, however, cannot achieve
17 targets on California-owned lands alone. Shown here is a
18 map of land ownership in California, along with a table
19 showing the percentage of ownership by land type.

20 What I'd like to point out here is that
21 federal -- the federal government owns almost half of
22 California's land area, and private entities own almost
23 all the other half, with the State of California owning
24 only three percent of California's land. So we must
25 continue to find ways to advance nature-based solutions on

1 private, tribal, and federally owned lands.

2 [SLIDE CHANGE]

3 ISD AIR POLLUTION SPECIALIST CAREY: This
4 ownership structure is one of several reasons why
5 collaboration is essential for success. Advancing climate
6 action, whether it's implementing practices, tracking
7 outcomes, or sharing data, it depends on working closely
8 with these partners. But land ownership is just one part
9 of the picture. CARB's work on natural and working lands
10 requires coordination more broadly with many state,
11 federal, and private partners, who have programs that
12 affect our landscapes.

13 We also work closely with researchers to continue
14 to incorporate scientific improvements into our work. As
15 one example, we're currently working closely with our
16 State agency partners to continue improving the ways we
17 track nature-based solutions as well as quantify the
18 effects they have on carbon and other outcomes statewide
19 and at regional scales.

20 Beyond the technical work to assess carbon
21 changes, CARB helps develop and support policies that
22 enable implementation on natural and working lands. Our
23 work to support Cap-and-Trade auction proceed investments,
24 the offsets protocols, the low carbon fuels program, and
25 prescribed burning are just a few examples.

1 This coordination and collaboration across all
2 areas of work is critically important and is what makes
3 meaningful progress on natural and working lands possible.

4 [SLIDE CHANGE]

5 ISD AIR POLLUTION SPECIALIST CAREY: To close,
6 California's natural and working lands play a vital role
7 in reaching our carbon neutrality goals. Nature-based
8 climate solutions will be essential to limit carbon losses
9 on these lands to no more than four percent between 2014
10 and 2045.

11 And because these landscapes are highly dynamic
12 and constantly changing, we need cutting-edge science and
13 technology to track trends, measure co-benefits, and
14 understand trade-offs with other ecosystem services.

15 To help meet this challenge, CARB was able to
16 expand its internal expertise over the past year,
17 positioning the agency to continue leading in carbon
18 monitoring and natural and working lands climate science.
19 And throughout all of this, collaboration remains at the
20 center, helping to link science, policy, and action
21 through strong partnership across agencies and sectors.

22 I'll now hand it over to Virginia Jameson, Deputy
23 Secretary of Climate and Working Lands at the California
24 Department of Food and Agriculture to provide some
25 additional remarks.

1 CDFA DEPUTY SECRETARY JAMESON: Thank you, Dr.
2 Carey and good morning members of the Board. Thank you
3 for the opportunity to be here today and talk about how we
4 are implementing nature-based solutions at CDFA. I'd like
5 to thank the CARB staff. They are wonderful to
6 collaborate with and we are really proud to be part of
7 these efforts.

8 So nature-based solutions are vital in
9 agriculture as we continue to experience increasingly
10 severe impacts of climate change that have real
11 consequences for our food system. Nature-based solutions,
12 or healthy soils practices in the cropland and grazing
13 land context, provide climate-resilience benefits that
14 help keep our lands producing the food that our State and
15 nation depend on. California produces the vast majority
16 of the nutritious specialty crops in the nation and
17 produces them with extremely high environmental and labor
18 standards.

19 CDFA has been working on nature-based solutions
20 for several years and was given authority to do so by the
21 Cannella Environmental Farming Act of 1995, which requires
22 CDFA to oversee environmental farming programs to provide
23 incentives to farmers whose practices promote the
24 well-being of ecosystems, air quality, and wildlife and
25 their habitat.

1 An example of that is our Healthy Soils Program,
2 which was established in 2017 and which has been supported
3 by California climate investments and general funds for
4 most years since then and will be supported by Prop 4 over
5 the next couple of years.

6 The bulk of the funding goes to incentives for
7 farmers and ranchers to implement new practices on their
8 farms and ranches. So far, the State has invested about
9 \$205 million for practices on over 200,000 acres. Our
10 last round of funding was distributed as block grants, and
11 as some of our grantees are still enrolling producers, we
12 don't have an exact acreage for you yet, but more to come.

13 At least five percent of each appropriation of
14 that program goes to technical assistance, which helps to
15 derisk new practice adoption by producers. There have
16 also been a number of one-time appropriations that have
17 supported nature-based solutions in agriculture. For
18 example, we had a \$15 million appropriation in 2021 for
19 our Pollinator Habitat Program, which paid for the
20 installation of trees, hedge rows, and cover crops for
21 pollinator habitat.

22 We also had an appropriation for our conservation
23 agriculture planning grant program, which assists
24 producers with various types plans, such as carbon farm
25 plans and nutrient and water management plans, and that

1 program received \$17 million in 2021 and funded 98
2 projects. And then finally, our organic transition
3 program awarded just over \$10 million over 2022 and 2023
4 as block grants to technical assistance providers who
5 helped farmers transition to organic production.

6 All these practices have a number of benefits
7 beyond greenhouse gas emissions reductions. They are
8 critical for building resilience to climate change by
9 increasing the water-holding capacity of soils and
10 improving water infiltration, retaining and providing
11 nutrients, prevent erosion, and safeguarding fertile
12 topsoil and preventing dust and supporting biodiversity.

13 In the time that CARB finalized the Scoping Plan
14 and that we collectively reduced -- released our 1757
15 targets, unfortunately we've seen a pullback from the
16 federal government in support for these types of
17 resilience building practices.

18 For example, the Natural Resources Conservation
19 Service provided some cost sharing for soil conservation
20 practices through the Environmental Quality Incentive
21 Programs since 1996. And funding for those primarily
22 comes from the farm bill. In 2024, the NRCS made over \$3
23 billion of Inflation Reduction Act funding available
24 through the EQIP program nationwide and then an additional
25 \$7.7 billion for 2025.

1 However, since then, all but \$20 million, or 0.35
2 percent, of those funds, which were for already awarded
3 projects, have been paused. That dollar amount actually
4 also covers other programs besides EQIP and its unclear
5 what proportion will go to EQIP.

6 Another program that would have made significant
7 investments in California was the Partnerships for
8 Climate-Smart Commodities Program. This nationwide
9 Program, which had been funded by Commodity Credit
10 Corporation, would have supported healthy soils practices
11 for hundreds of farmers in California. But beyond that,
12 the Program had a significant focus on measurement,
13 monitoring, and verification of GHG outcomes. That would
14 have helped us bolster climate modeling and track GHG
15 efforts nationally, and better enable farmers and ranchers
16 in the voluntary carbon market.

17 There were 37 projects representing \$1 billion in
18 California and only three of those will continue under the
19 significantly pared down and renamed Program Advancing
20 Markets for Producers. The good news is that we recently
21 convened a group of partnership's grantees, and there's
22 still significant interest in investing in Healthy Soils
23 and MRV work, and we will see a bit of Prop 4 money, as I
24 mentioned before, \$65 million to Healthy Soils, which the
25 Department will award over the next couple of years.

1 So that concludes my remarks and I'll now pass
2 the mic to Amanda Hansen, Deputy Secretary for climate
3 change at the California Natural Resources Agency, who is
4 joining us online.

5 CNRA DEPUTY SECRETARY HANSEN: Thank you,
6 Virginia.

7 Can you hear me?

8 Okay. Great. Thank you so much, Virginia. Hi,
9 everyone. My name is Amanda Hansen and I serve as the
10 Deputy Secretary for Climate Change at the California
11 Natural Resources Agency. Our mission is to help all
12 Californians and nature thrive together. Over the last
13 six years, a key area of focus for our agency has been
14 answering the Governor's call in Executive Order N-82-20
15 to elevate the role of lands in achieving California's
16 climate goals. We've done this work in very close
17 collaboration with other State agencies, the scientific
18 community, land managers, California Native American
19 tribes, nongovernmental organizations and nonprofits, an
20 expert advisory committee, and many more partners across
21 the state and around the world.

22 Just a few points of progress for California's
23 nature-based solutions climate agenda since then is we
24 released the first climate strategy for California's land
25 sector, which Chelsea mentioned in her presentation. We

1 integrated this strategy into the Scoping Plan, as well as
2 our State adaptation strategy. We've invested
3 approximately \$9.3 billion since 2020 to accelerate our
4 nature-based solutions agenda, and we've built
5 partnerships with nature-based solution leaders from
6 around the world, including China, Australia, Canada, and
7 South Africa.

8 We've also, as mentioned by others, implemented
9 key portions of Assembly Bill 1757, including the release
10 of California's first nature-base solution climate targets
11 last year.

12 A few areas of current focus for the Resources
13 Agency. First, supporting implementation of these
14 targets, for example, through the \$10 billion climate bond
15 approved by voters last year. The Governor's budget
16 proposes approximately 2.7 billion for the first year of a
17 multi-year bond expenditure plan, and by our count up to
18 two-thirds of this first year's investments can deliver on
19 our nature-based solution climate targets. Second, we're
20 focused on measuring progress toward achieving the
21 targets. And as Chelsea mentioned, we don't currently
22 have a comprehensive understanding of who is implementing
23 nature-based solutions on California's lands, where that
24 work is happening, over what time frame.

25 We're also very focused on updating our climate

1 strategy for lands. We released the first in 2022 and an
2 update is due this year. It will focus heavily on
3 identifying challenges and solutions to implementing those
4 targets.

5 And finally, we're supporting research through
6 California's Fifth Climate Change Assessment to help close
7 gaps in understanding how climate change will impact our
8 lands, as well as how our lands contribute to California's
9 climate goals, both greenhouse gas emissions and building
10 resilience and adaptation.

11 Thank you so much for the opportunity to present
12 today. I think I hand it back over to Chelsea now.
13 Thanks.

14 ISD AIR POLLUTION SPECIALIST CAREY: Thank you,
15 Amanda. This concludes this item and I'd like to pass it
16 back to the Board now. Thank you.

17 BOARD MEMBER TAKVORIAN: Thank you, Dr. Carey and
18 thank you to the presenters today for a really important
19 report I think natural and working lands and their
20 importance in our fight on climate change.

21 Now, we're going to hear from the public who
22 signed up to speak on this item either by submitting a
23 request-to-speak card or a raised in this Zoom. I'll ask
24 the Board clerk to begin calling the public commenters.

25 BOARD CLERK LEVRINI: Thank you. We currently

1 have one in-person commenter. Evan Edgar.

2 EVAN EDGAR: Good morning, Board members. My
3 name is Evan Edgar. I'm the engineer for the California
4 Compost Coalition. I represent the majority of the
5 compost industry in California, about 75 public and
6 private facilities and personally I permitted 50 of them
7 as an engineer. We represent the majority of the organic
8 compost certified by CDA in California. We're phasing out
9 pesticides in the field, phasing out fertilizers, phasing
10 out landfills and phasing out diesel, as we divert
11 organics from the landfill in their fleet as -- with
12 renewable natural gas.

13 We have supported the 2020 Scoping Plan natural
14 and working lands. I've been doing this for 30 in front
15 of CARB, so I've been around for while promoting compost.
16 So happy we made some strides in the last five years. I'm
17 in the right place at the right time.

18 The 5.4 million tons of carbon stock, about half
19 biomass and half soils, we can double that. So I
20 represent big soil, not big oil, support the nature base
21 climate targets. There's about 33,000 acres per year each
22 and every till 2045 which will double the carbon sink for
23 the soils of California. The California climate
24 investment report that CARB puts out every year, looks at
25 how does this program work in arrears under Cap-and-Trade?

1 There's Cap-and-Trade reauthorization coming along.

2 Well, this is the most cost effective program,
3 about 108 bucks a ton. Compost development, about 70
4 bucks a ton, where ZEVs are 1,000 to 3,000 bucks a ton.
5 So when you think about affordability and Cap-and-Trade
6 reauthorization, think about this program. What we're
7 doing is carbon credits, not a cook stove in Africa or
8 some tree in Amazon. We're doing carbon farming right
9 here in Sacramento County at Van Vleck Ranch. I work for
10 the California Rangeland Trust, where we round up all the
11 rangelands to -- for ecological restoration of rangeland
12 with pollinators and biodiversity and the first carbon
13 credit project is 20 miles up the road here on Highway 16,
14 bringing in about to 40 to 50 bucks a ton. And it's
15 nature based high integrity voluntary carbon.

16 But action is needed. I didn't hear anything
17 about carbon credits. (inaudible) -- part of this program
18 to help fund this program, because there's no
19 Cap-and-Trade money here, very little profit for money.

20 BOARD CLERK LEVRINI: Thank you, Edgar. That
21 concludes your time.

22 EVAN EDGAR: I look forward to working with staff
23 on this.

24 BOARD CLERK LEVRINI: And we do have two
25 commenters in Zoom starting with a Brian Kolodji and a

1 Richard -- then Richard Filgas.

2 Brian, I have activated your mic. You may unmute
3 and begin.

4 BRIAN KOLODJI: California Air Resources Board
5 Chair and attendees, my name is Brian Kolodji. My Last
6 name K-O-L-O-D-J-I. I have several companies -- two
7 companies and one of them has patents that recently were
8 fund -- were implemented with funding from the California
9 Department of Food and Agriculture in the SWEEP Program
10 grant. I was awarded at a almond orchard.

11 And what we did was we built the world's largest
12 free air carbon bio -- go ahead. Sorry -- free air carbon
13 dioxide in Richmond facility, which is a enhanced
14 nature-based carbon -- direct air carbon capture facility.
15 We would like to implore CARB to consider greenhouse gas
16 calculations for biosequestration, as referenced in a
17 technology referenced in the recent 20 -- recent CARB
18 Scoping Plan.

19 So again, we're emphasizing nature-based
20 technology for carbon -- direct air carbon capture. And
21 we're also very concerned about other technologies that --
22 director air capture technologies that don't benefit the
23 ag -- actually, harm agriculture. Our technology benefits
24 agriculture and we're convincing, based on a slide
25 presentation that I presented to you in a comment --

1 public comment.

2 So please, I just met with CARB at their -- not
3 CARB, but CDFA at their last meeting and they encouraged
4 that I bring this to your attention. So I added
5 everything into public comments and I'm very grateful for
6 this time to make this public comment orally. Thank you
7 so much. Bye-bye, now.

8 BOARD CLERK LEVRINI: Thank you. Richard Filgas,
9 I have activated your mic. You may unmute and begin.

10 RICHARD FILGAS: Thank you. Good morning. My
11 name is Richard Filgas, and I'm with the California Farm
12 Bureau, which is a nonprofit organization representing
13 over 25,000 farming members, including over 20,000 small
14 farms.

15 I'd just like to first acknowledge that Farm
16 Bureau agrees that natural and working lands inherently
17 combat the effects of climate change from climate-smart
18 practices like planting cover crops and optimizing the use
19 of water, fertilizer, and other ag inputs to voluntary
20 management of forest grasslands, wetland, and croplands.
21 Farmers and ranchers are reducing their footprint, while
22 simultaneously playing an integral role in addressing the
23 impacts of climate change. I think recognition must be
24 made to the fact that many factors control the scale and
25 pace at which climate-smart practices are adopted on farm

1 or ranch.

2 And in a risk-laden industry like ag, where so
3 many factors are uncontrolled, including drought, weather,
4 market, pests, and labor shortages, you know, change is
5 and will continue to be endemic to the natural and working
6 lands sector. In relation, to the organic acreage
7 targets, present in the nature-based solutions climate
8 targets, we'd like to reiterate that we support organic
9 production. In fact, a large portion of our members are
10 certified organic producers. But farmers weigh many
11 factors when they choose to transition their acres, things
12 like the commodity market, access to natural resources,
13 land use patterns.

14 But unfortunately, these often lead a grower not
15 to transition organic. Even after an organic systems plan
16 has been developed, Farm Bureau believes that market
17 demand should drive increased organic acreage. But in
18 conclusion, just for the conservation values of working
19 lands to be realized long term, their working value must
20 first be sustained, and any policies and regs must fit
21 within the technological and business capacity of farming
22 operations.

23 Thank you.

24 BOARD CLERK LEVRINI: Thank. And that concludes
25 the commenters for this item.

1 BOARD MEMBER TAKVORIAN: Thank you.

2 Staff, are there any issue that you want to
3 address?

4 EXECUTIVE OFFICER CLIFF: No, Acting Chair
5 Takvorian.

6 (Laughter).

7 BOARD MEMBER TAKVORIAN: Wow. Okay. Good.
8 Thank you very much and thank you to staff for your
9 presentation.

10 We'll now turn to the Board members and see if
11 there are any comments or questions.

12 We may have a full house, but I saw Dr. Shaheen
13 first, so thank you.

14 BOARD MEMBER SHAHEEN: Borrowing a mic. So thank
15 you so much for the presentation. I am just always amazed
16 by the leadership of CARB in this particular area. It's
17 really exciting to me as an ecologist. And I was really
18 struck by slide 16, shows how much of the land is owned by
19 federal government, so like 48 percent, 50 percent of the
20 land. And I wanted to just dig into this a little bit.

21 So one of the higher distributions is in the area
22 of shrublands, followed by other lands, which I'm not
23 quite sure what that encompasses, because those are very
24 large percent distributions. But I was just curious, you
25 know -- I got the impression from the presentation that we

1 don't have a lot of control over those lands at all, and
2 what role innovation can play in that, if drone
3 technology, satellite technology, and I know CARB leads
4 and leads with science and innovation. So just really
5 curious, because this is 48 percent of the lands. So I'd
6 love to hear your thoughts.

7 ISD CHIEF BOTILL: Thanks, Board Member Shaheen.
8 Matt Botill with the Industrial Strategies Division. I
9 think I'm going to pass to Dr. Adam Moreno to answer the
10 questions about how we track and assess changes in carbon
11 stocks on federal lands. And then if our partners, Amanda
12 Hansen or Virginia Jameson, want to answer any questions
13 about strategies in working with the federal government, I
14 welcome them to jump in as well.

15 So, Dr. Moreno.

16 ISD NATURE-BASED STRATEGIES SECTION MANAGER
17 MORENO: Hi. Yeah, I'm Adam Moreno. I'm the Manager of
18 the Nature-Based Strategies Second.

19 And so to monitor changes on land that we don't
20 control, we use a number of factors, kind of highlighted
21 in our presentation, so that's remote sensing for sure,
22 but then also a close collaboration with other federal
23 agencies. So, for example, the U.S. Forest Service, who
24 owns the majority of forests, they do track their activity
25 currently. However, that's also dependent on NEPA, the

1 National Environmental Protection Act.

2 So if action requires a NEPA decision, then it
3 gets tracked. And if it doesn't, then it doesn't get
4 tracked. And so then we have to rely on other means like
5 remote sensing to get it. And so changes to NEPA will
6 also affect our ability to track land management activity
7 on federal lands.

8 CNRA DEPUTY SECRETARY HANSEN: I'll just --

9 CDFA DEPUTY SECRETARY JAMESON: The cropland
10 site. Sorry, Amanda. I didn't mean to cut you off. We
11 are reliant on the National Agricultural Statistical
12 Survey that is done by USDA, and that's a voluntary survey
13 that happens every five years. And so, it's -- and it
14 really only asks farmers about a couple practices, cover
15 crops and compost applications. So it is an area where we
16 don't have a lot of information for agriculture across the
17 state, except where we've actually funded projects.

18 CNRA DEPUTY SECRETARY HANSEN: And I'll just
19 quickly add to that to say that at the Resources Agency,
20 we've worked really closely with federal land managers
21 over the years and built strong relationships. As
22 mentioned -- as you mentioned, they're the largest
23 landowner in the state. And we are really very concerned
24 about the impacts of staffing and budget cuts to our work
25 in this space. So, we're monitoring it very closely and

1 are quite worried about what the implications will be for
2 our work to build the health and resilience of our lands.

3 DEPUTY EXECUTIVE OFFICER SAHOTA: And, Board
4 Member Shaheen, this is Rajinder Sahota, Deputy Executive
5 Officer. I just want to note that we did enter into a
6 first of its kind significant contract for remote sensing.
7 Right now, those satellites will be focused on methane,
8 but we have the option to also purchase other natural and
9 worklands data to be able to monitor more comprehensively
10 with our own contract and own access to that remote
11 sensing technology. We can also share that data with
12 other states as they need it.

13 BOARD MEMBER SHAHEEN: Well, thank you for this
14 educational items. It's very eye opening and I wish you
15 all the best with the collaborations with the federal
16 government, because they are a strong landowner in this
17 State and as well as getting the funding we need to work
18 with them.

19 BOARD MEMBER TAKVORIAN: Thank you.

20 I'm going to call on Board Member Guerra.

21 BOARD MEMBER GUERRA: Thank you Acting Chair.
22 Appreciate the opportunity to speak.

23 First thank you staff for a great presentation
24 here and also to the past Board members who engaged in
25 ensuring the natural and working lands are partners.

1 My comments are directly on the agriculture.
2 One, Sacramento -- the City of Sacramento, you know, is
3 (inaudible) in our organic waste diversion process with
4 one entity that's (inaudible) and also -- is that better
5 right there? Okay -- very much. Okay. Thank you.

6 So, we're very proud of that effort that's
7 happening already with graze land, and see -- and looking
8 forward to future successes as that -- as that program
9 grows with our organic waste diversion on a municipal
10 side.

11 My questions or maybe more they're comments and
12 directions here is, one, I think the comment that was made
13 during the public comment period about maintaining the
14 working value of agricultural land is essential in -- if
15 we're going to -- I know there's a lot of concepts about
16 air capture for carbon purposes. We're looking at a lot
17 of technology. But I think old school technology of trees
18 capturing carbon, you know, and particularly if they're
19 agriculture, and California and this region here in the
20 great Sacramento Valley has been doing a lot of through
21 new its walnuts, through it's almonds, through its grapes,
22 and many other products.

23 But what I don't see here and -- is a recognition
24 on addressing their needs as part of the natural working
25 product of agriculture. So once we prune those trees,

1 right now, the concept is that we -- that we have to --
2 that we burn them and we regulate those burn permits. The
3 other concept is that we require farmers, or farmers will
4 have to pay to load those up on a diesel truck and then
5 shift them to composting. So composting has a benefit.
6 And it works when we're using organic waste on the
7 municipal side with say natural gas vehicles or cleaner
8 vehicles, where there's already a system in place.

9 But on the agricultural side, I think this is a
10 significant challenge. And I haven't heard in this
11 conversation today about biomass utilization and looking
12 at say mobile gasification units that are capturing carbon
13 through biochar, and the great work that UC Davis is doing
14 on their biochar database system, and looking at that
15 component, because I do believe that if we can assist
16 farmers in looking at both a cost neutral, if not a
17 revenue source, to maintain their working value of their
18 lands, then we can encourage more of the production of
19 food here in our region.

20 And so, one, I do want to thank Undersecretary
21 Virginia Jameson for the conversations we've had with
22 Secretary Ross on this, but can maybe Undersecretary, if
23 you can maybe discuss where this role fits and why we need
24 to move forward much more aggressively, in my opinion,
25 with biomass utilization, not only for agriculture, but I

1 think the benefit in the forestry areas, where it's
2 difficult to move numbers of vehicles in and out, and
3 being able to process that. So Undersecretary, if you --
4 if you could comment on that.

5 CNRA DEPUTY SECRETARY HANSEN: Well, I'm Deputy
6 Secretary.

7 BOARD MEMBER GUERRA: Deputy Secretary.

8 CNRA DEPUTY SECRETARY HANSEN: Thank you for the
9 promotion, but --

10 (Laughter).

11 CDFA DEPUTY SECRETARY JAMESON: -- I can't
12 accept.

13 BOARD MEMBER GUERRA: It's a wink to the
14 Governor's office, you know.

15 CDFA DEPUTY SECRETARY JAMESON: I think one
16 reason that we haven't been discussing things like that at
17 this meeting is that we're focused on nature-based
18 solutions and some of those processes start to leave that
19 realm, but I'll defer to my CARB colleagues for more
20 detail.

21 ISD CHIEF BOTILL: Yeah, happy to and thanks for
22 the remarks Board Member Guerra. So again, Matt Botill.
23 So as Deputy Secretary Jameson mentioned, there is this
24 confluence of nature-based strategies and what we
25 typically refer to as more engineered carbon removal

1 solutions. And that confluence happens when we talk about
2 things like agricultural biomass or forest biomass and
3 finding ways to engineer systems that help support the
4 long-term storage of that carbon in forms of underground
5 sequestration or long-lived products for instance.

6 And on the topic of agricultural biomass
7 utilization, one of the things that I'm excited about and
8 looking forward to working on more discretely, as we move
9 forward on tracking overall carbon stock changes in
10 California and understanding the impact of these
11 strategies on carbon in the agricultural system and forest
12 systems, we are also going to be embarking under our
13 authorities under AB 1757 and SB 905, which is around
14 carbon capture, utilization, and storage and carbon
15 dioxide removal approaches to quantify the carbon removed
16 from things like biomass gasification and others to help
17 us in our long-term march towards carbon neutrality, so,
18 very much on the radar.

19 In fact, right now, we are working, as part of
20 the administration to secure some additional resources for
21 SB 905 work with the Legislature so that we can have the
22 staff to be able to do the technical evaluations on things
23 like biomass gasification for carbon removal purposes.

24 BOARD MEMBER GUERRA: Well, thank you. And I
25 think this is probably where I disagree as a Board member,

1 because I don't think it's a -- even when we process
2 compost, there's some engineering that gets involved in
3 that. And I know that, because almost all of the
4 landfills are in my council district. So I'm very
5 familiar with trash talk. Let's put it that way.

6 (Laughter).

7 BOARD MEMBER GUERRA: That's a dad joke here
8 today.

9 But the point here is that, in fact, when we are
10 looking at, and I want to thank the good work of the
11 Sacramento Basinwide Air Pollution Control Council - we'll
12 just use BCC for short - is that the biochar going back
13 into the soils and managing the soils I think is an -- is
14 a direct nature-based solution, because we're looking at
15 maintaining the success of those soils as part of that
16 process.

17 So I would -- I would argue, and if you say
18 that's on the edge, I would say it's right inside the
19 scope of what we're trying to do is manage our working
20 lands and making sure that our working lands maintain
21 healthy standards. And there are different ways through
22 composting, but also through additives like biochar that
23 maintain the quality of that soil.

24 So I'll leave those, Acting Chair, as my
25 comments. And my directive, or at least as one Board

1 member, is to focus on biomass utilization as part of our
2 working lands -- natural and working lands strategy.

3 BOARD MEMBER TAKVORIAN: Thank you. Board Member
4 Lock Dawson.

5 BOARD MEMBER LOCK DAWSON: Thank you and great
6 report. I love natural lands management. That's my
7 background. So it's really interesting to me.

8 I have a couple questions, so I want to better
9 understand the work. I understand, you know, it's a
10 balance of -- or the entire calculus involved
11 sequestration and also emissions, right, and how we -- how
12 we balance that out.

13 But two questions. On the slide on page six,
14 we've got a data point from 2022 and then it's
15 extrapolated out to what we're -- our targets are for
16 2045. Is that our only -- is that our only base line we
17 have. Like Dr. Shaheen, I love me a good longitudinal
18 study. Is there anything that shows prior to 2022 that --

19 ISD CHIEF BOTILL: I'm happy to take that one and
20 maybe my boss sitting on front of me will also want to add
21 into this. So the slide six is -- she's -- slide six is
22 an extract from the 2022 Scoping Plan update that we
23 brought in front of this board a couple of years ago. And
24 it shows the 2022 emissions and then the 2045 emissions.

25 We have thousands of pages of data and analysis

1 that backup the existing emissions, as well as our
2 projections going forward on what those emissions could be
3 under our carbon neutrality scenario. So, yes, happy to
4 really, you know, dig in with you separately, if you'd
5 like on kind of all of our past emissions performance, as
6 well as our projections going forward in the intervening
7 years that we have.

8 BOARD MEMBER LOCK DAWSON: I would love to see
9 that.

10 DEPUTY EXECUTIVE OFFICER SAHOTA: Mayor Dawson.

11 BOARD MEMBER LOCK DAWSON: Yeah.

12 DEPUTY EXECUTIVE OFFICER SAHOTA: I'll just add
13 that every five years when we update the Scoping Plan, we
14 get to go through all of these analyses again. And if
15 there's new tools and data available, we incorporate those
16 into this. Because of the complexity of a system like a
17 biological system across all the natural and working
18 lands, there's still a lot we don't know and a lot we
19 can't model, because of the complexity, but we're trying
20 to do better in every Scoping Plan.

21 It's really easy -- it's much easier relative to
22 natural and working lands to think about the fossil energy
23 and manufacturing sectors, because you can put a meter on
24 a smoke stack and figure out what's going on. So, what
25 you see on slide six is really focused on that AB 32

1 inventory, and this was the first time we paired in
2 natural and working lands as a separate component, but
3 showing that both of them play a role when we think about
4 the new targets for 2045.

5 So, a lot more work to do and we're really
6 excited that the team behind me here has so many excited
7 people to work in this space.

8 BOARD MEMBER LOCK DAWSON: I'm just excited that
9 you're trying to quantify it. I mean, this is -- this is,
10 I mean, very cool to see. And I guess that -- sort of to
11 Mr. Guerra's point, you know, what -- how -- what
12 drives -- what exigency of -- what drives the -- our
13 targets and our priorities, right? So like if you're
14 looking at slide 14, we're talking about 17 -- AB 1757,
15 there's targets there to, say, reduce wildfire, and that
16 will be -- that will help with this, right?

17 So the idea is what -- how do we know -- what do
18 we know about the lands contribution, the various lands
19 contribution, either to sequestration or emissions, right,
20 so -- and I think that would inform what our priorities
21 would be. Like, this is just a kind of obvious thought,
22 but is that true?

23 DEPUTY EXECUTIVE OFFICER SAHOTA: That's very
24 true across multiple statutes related to climate. Since
25 the AB 32 statute was passed in 2006, we are directed to

1 look at the larger sources of emissions, and in looking at
2 those larger sources of emissions, the technologically
3 feasible and cost-effective policies to address those
4 emissions.

5 And so you saw the slide with all the targets for
6 the different working land types. And within those, there
7 are going to be embedded very discrete actions, whether
8 it's drip irrigation, or sustainable management, or other
9 kinds of policies on those different landscapes. Every
10 single one of those is looked at from that lens of how
11 much can we reduce if we deploy this policy on this
12 landscape, and what is the net benefit in terms of
13 reductions that we get.

14 As Dr. Cliff had said, when we look at every one
15 of these policies across State agencies, we have to look
16 at things like, you know, what are the benefits to the air
17 quality, benefits to the environment, what are the job
18 benefits, what are the other benefits and costs related to
19 taking that action, and what is the cost if we don't take
20 that action, because there are new data emerging, even
21 from the fires earlier this year in Southern California
22 about the billions and billions of dollars, hundreds of
23 billions of dollars worth of damage. And if we don't get
24 some of these sources under control, we're going to see
25 those other values of inaction continue to increase for

1 consumers.

2 BOARD MEMBER LOCK DAWSON: Yeah. Thank you. And
3 I do say -- one of my favorite books, it's an old one, but
4 a good one, it's called *Nature's Services*, and it's all
5 about quantifying what -- how much money nature's service
6 can give us and how much we save. So anyway, appreciate
7 that. Thank you so much.

8 BOARD MEMBER TAKVORIAN: And Board Member
9 Hopkins.

10 BOARD MEMBER HOPKINS: Thank you so much. A
11 couple quick comments. Number one, I totally want a "Big
12 Soil Not Big Oil" bumper sticker. That's the best slogan
13 I've heard all day. And number two, you know, I know
14 there's often a kind of tension between urban California
15 and rural California. And I am so proud to serve on a
16 board with urban colleagues sitting next to me who are
17 seeking up for natural and working lands. Board
18 members -- thank you to Board members Dawson and Guerra
19 for their remarks and I agree wholeheartedly with them.

20 A couple of questions for staff. You know, when
21 we're looking at forest-based carbon sequestration, I'm
22 wondering if we have data by ecosystem type about both
23 sequestration and emissions, so looking at the type of
24 forest?

25 ISD NATURE-BASED STRATEGIES SECTION MANAGER

1 MORENO: Hi. Yeah. Thanks for the question. So we could
2 technically pull that sort of information out, but that's
3 not an exercise that we've done, so that's not information
4 that's currently available. I will say that how we do
5 this is actually by tracking stocks specifically and not
6 tracking all of the emissions individually. We do do that
7 for some sources of emissions, like wildfires
8 specifically, and our modeling can get to like gross net
9 primary production, so the amount of carbon that goes into
10 biomass.

11 However, this is to say we can't currently pull
12 out all emissions from lands, because we track
13 specifically stocks, which is the net change from
14 sequestration emissions.

15 ISD CHIEF BOTILL: And I'll add too that one of
16 the introductory slides, I think it was the second one,
17 shows the different landscapes that we're tracking the
18 ecosystem carbon across. And there is some kind of
19 fluidity between these landscapes. And so even just
20 drawing those boundaries can be a little challenging, but
21 the team works really hard to pull in as many data sources
22 and different modeling efforts to be able to say, okay,
23 across each of these landscapes what are the carbon stocks
24 within them and how are they changing, over time.

25 And as we move forward into future scoping plans,

1 we certainly expect that our ability to kind of project
2 forward the impacts the climate change and land management
3 action will have on those carbon stocks will improve and
4 well get more granular information at different regional
5 and local scales associated with how lands will adjust and
6 adapt to climate change and our actions.

7 BOARD MEMBER HOPKINS: It seems like it would be
8 really helpful to have the data, you know, broken out
9 certainly by forest type, because then we can actually
10 utilize that to prioritize the higher sequestering, you
11 know, areas, and then also track the changes over time,
12 because as we do see climate change, as we see, you know,
13 fire regimes also alter landscapes, sometimes for instance
14 you'll go from an oak woodland to a chaparral, or maybe
15 there is, you know, a decrease in kind of prevalence of
16 our coastal forest -- redwood forest ecosystem.

17 One thing that I just wanted to flag for a
18 potential follow-up is I know Save the Redwoods League was
19 actually just across town over at the Natural Resources
20 building asking for \$8 million to conserve 1,500 acres of
21 redwood forests in my district, so very much on point, has
22 actually done some work with Humboldt State regarding
23 carbon sequestration, capacity, and redwood forests. And
24 they actually have in situ measurements taking place
25 throughout the state.

1 So if you're not aware of that program, I would
2 love to put you in touch with their new science director,
3 because it's very exciting and I think it can help
4 prioritize conservation efforts.

5 The next one is about -- question is about the,
6 "Big Soil Not Big Oil", which is who gets credit for
7 compost? You know, I'm familiar with the Advanced[SIC]
8 Manure Management Program, which has been very successful
9 in north coast dairies. But my understanding is that the
10 farmers kind of get credit for the -- or the program gets
11 credit for the methane emissions reductions, but not for
12 the subsequent application of compost onto working lands.
13 And we do know that, you know, working lands, right,
14 you're actually sequestering more carbon in the soil, in
15 addition to actually decreasing water use, because you
16 actually have a greater, you know, kind of water content
17 ability to hold the water in the soil, which is great for
18 drought resilience.

19 So is there -- like, do we have data and can we
20 capture that, which then I think also would help us
21 advocate for funding for that and something like GGRF?

22 CDFA DEPUTY SECRETARY JAMESON: That's a good
23 question. I'm not exactly sure how that works out in our
24 various quantification methodologies for say our AMMP
25 Program, which has received GGRF funding. It may depend,

1 if they've also selected as a practice applying that
2 manure compost somewhere else, so I'd have to get back to
3 you and talk to staff.

4 BOARD MEMBER HOPKINS: Yeah, it would be great to
5 see. And I guess another question is sort of like do we
6 actually have quantitative data around specifically the
7 application of compost, whether that is being used for row
8 crops or whether that is being used for grazing land. I
9 know we've had some pilot programs in the North Coast with
10 Albert Straus trying to quantify this on, you know,
11 rangelands. And I know that with perennials, you know,
12 perennial grasslands, it's sort of an enhanced carbon
13 sequestration compared to annuals. But just wondering if
14 you have any information and data on that. And if that
15 can help again drive our funding decisions into the
16 future.

17 ISD NATURE-BASED STRATEGIES SECTION MANAGER
18 MORENO: Yeah. Thanks. So composting on all kinds of
19 lands is definitely something that we're taking into
20 account. So, composting benefits on different types of
21 landscapes is something that we've been looking into for a
22 number of years now, because that -- obviously, there's a
23 lot of interest in that. So, specifically speaking to
24 composting on rangelands, yeah, it looks like that there
25 are benefits under certain circumstances, but that's not

1 universal, and necessarily beneficial all across the
2 state. And so we're actively looking at that science as
3 it evolves.

4 However, yeah, compost is a very important part
5 of our strategy, both for the organic targets that we have
6 and just the healthy soils programs, but then all of our
7 natural and working land nature-based strategies or
8 solutions will probably require some form of compost, if
9 that's urban greening, or, you know, whatever else, so,
10 yeah.

11 ISD CHIEF BOTILL: And I'll add too that being
12 able to track the application of things like compost in
13 agricultural systems is actually one of the big challenges
14 that we have in front of us and one of the things that our
15 team is going to be working on really closely with
16 Department of Food and Ag, CalRecycle, CNRA, and others.
17 And this -- you know, this next step on implementation of
18 our nature-based strategies includes understanding how
19 much is actually happening across California in our
20 various different systems and how effective that is being.
21 And we mentioned in the staff proposal how -- or the
22 presentation how challenging this can be because you're
23 talking about a lot of actions that individual producers
24 are doing sometimes voluntarily without any incentive
25 support, without any actual dollars, or reporting, or

1 anything along those lines.

2 And so, we -- we're working on this problem, but
3 it is big one to try and better understand what those kind
4 of non-State funded actions are in this space, so that we
5 can incorporate that into our overall accounting of
6 greenhouse gas changes over time, as well as our climate
7 strategy and are always open to suggestions on other data
8 sources that might exist, either in the academic community
9 or in the NGO space to be able to help build up our
10 database of, you know, progress tacking over time and what
11 other strategies we can do.

12 The only other thing that I will mention is that
13 we did get a decent push here from the Legislature in 2022
14 with the adoption of AB 1757, which gives legislative
15 requirements for us to work hand in hand with CNRA, and
16 CDFA, and others on tracking these outcomes. And so we're
17 in that process right now of working with them on creating
18 methods for tracking statewide outcomes of actions like
19 compost application in trying to do this data assessment
20 now. So very much on the forefront and something that
21 we're working on over the next couple years.

22 BOARD MEMBER HOPKINS: Just my final through is
23 we really cannot solve this without working just
24 absolutely hand in hand with CDFA and Natural Resources,
25 because, you know, it really has to be a whole systems

1 perspective. And it would be great to think about how our
2 Board can also liaise more closely, you know, with those
3 agencies, with our conservancies, with WCB. Are there
4 ways in which, you know, we can partner and support their
5 work as much as we can.

6 BOARD MEMBER TAKVORIAN: Thank you.

7 Board Member De La Torre.

8 BOARD MEMBER DE LA TORRE: Thank you. This is
9 great work. I get asked a lot about (inaudible), why are
10 we (inaudible) and I just I want to emphasize the work it
11 took just to get here.

12 For many years, (inaudible) the timeline that's
13 here wasn't mentioned in the Scoping Plan in 2017. I know
14 that there were efforts to bring us all together, so I'm
15 loving that we're -- our sibling agencies are
16 participating here today, but that took a while to make
17 that happen. I know during the Brown administration,
18 there were efforts to do it. It didn't really happen
19 until the Newsom administration. So, we were able to come
20 together as agencies and row in the same direction. And
21 so, we can't just snap our fingers. Obviously, there are
22 these two other agencies that major roles in this.

23 And so it's important to understand that that
24 process took awhile. And then we didn't establish our
25 first target until the most recent Scoping Plan. So,

1 that's why, that's the answer. And now that we have the
2 authority, now that we have the collaboration of all three
3 of us, now we can -- we can step on the gas and -- or
4 electricity and really speed up.

5 So I just want to thank our two sibling agencies
6 for being here with us today, for helping us to get to
7 this point, where we are all working together to make this
8 happen. The people of California will be better for it.

9 Thank you.

10 BOARD MEMBER TAKVORIAN: Thank you.

11 Dr. Tania Pacheco-Werner.

12 BOARD MEMBER PACHECO-WERNER: Hi. Yes. I just
13 wanted to see if there was any comments or opportunities
14 that we can see about how to gain further insights on the
15 strategies and be able to delineate strategies being used
16 by our tribal partners. I know that tribal partnership
17 was mentioned about needing to be strengthened during the
18 Scoping Plan on a variety levels. And while it might not
19 be CARB, is there also opportunities for some other
20 agencies to help us get that data to understand those
21 strategies specifically and start to try to get a real
22 science around how these strategies are uniquely
23 beneficial or have opportunities themselves in terms of
24 our goals?

25 ISD CHIEF BOTILL: Thanks, Board Member

1 Pacheco-Werner. So I'll start from the kind of assessment
2 side and then I'm not sure if one of my colleagues from
3 CNRA or CDFA wants to also layer in. But I think as we
4 are moving forward and improving our analytical ability on
5 the land management actions that are occurring and the
6 outcomes from those land management actions, we can
7 certainly, and would welcome any feedback from you as
8 well, work to have more tribal consultation efforts under
9 our tribal consultation policy to understand how tribal
10 governments are maybe already doing various actions, like
11 cultural burning or other land management actions that we
12 would want to fold into our tracking of actions over time.

13 We had a number of tribal consultations in the
14 Scoping Plan process to help kind of improve our
15 recognition of tribal practices. And this is maybe where
16 I'm going to see if Amanda or Virginia want to add into,
17 because I know that was a big part of the work on their AB
18 17 -- 1757 nature-based strategies process.

19 CNRA DEPUTY SECRETARY HANSEN: Yeah, I'm happy to
20 add in here. It's a really great question and I guess
21 I'll just point to a couple of areas of focus for the
22 Resources Agency. One is just, you know, as we develop
23 the first climate strategy for our land sector, we did
24 very significant consultation with California Native
25 American tribes. We also recognize very strongly and

1 clearly that the ways in which tribes care -- steward
2 their land are 100 percent aligned with the goal of our
3 nature-based solutions agenda, which is building the
4 health and resilience of our lands.

5 So I think it was in -- I can't remember if it
6 was last year's budget or the year before, but we created
7 a new program, our tribal nature-based solutions program
8 and plugged a hundred million dollars, which it's been
9 wildly successful. There is another 10 million available
10 through the climate bond that I mentioned earlier. So
11 just to say that there's a lot of collaboration with
12 tribes in our nature-based solutions agenda, and we're
13 really grateful for it.

14 BOARD MEMBER PACHECO-WERNER: Yeah. And just to
15 clarify, so is that -- is that investment, are you also
16 going to be gaining data and insights about those
17 strategies that we could also think through more
18 holistically, as we think about those strategies and map
19 them? You know, can we -- are -- is there an opportunity
20 to be able to delineate these are tribal strategies as
21 well?

22 CNRA DEPUTY SECRETARY HANSEN: That is a really
23 good question. And I don't want to trip over myself here,
24 so let me just sort of commit to getting back to you.
25 There is certain data that we -- that there is some

1 sensitivity around, as it relates to tribes. And so we're
2 very mindful of that. I think we're also very interested
3 where we can in getting data -- getting information about
4 what practices are being done and what the benefits of
5 those practices are. So broadly I'll answer, you know, we
6 try to thread that needle between being respectful of data
7 privacy concerns and being able to learn from one another.

8 That's my top line answer and I can get back with
9 more specifics, once I've coordinated with my tribal
10 advisor, who is very deep on that question.

11 BOARD MEMBER PACHECO-WERNER: Thank you so much.

12 ISD CHIEF BOTILL: And, Board Member, maybe I'll
13 add too that, you know, as an example of where we've been
14 able to work collaboratively with tribes and collect data.
15 So our forest offsets program does have a number of tribes
16 that have participated in that program. There's over a
17 billion dollars in offset value that's been generated for
18 tribes, and that is across the nation, but there are a
19 number of tribes here in California that have also
20 utilized that program for forest stewardship. And, you
21 know, in that example, we have really detailed data of the
22 forest managements, the carbon stocks, and the overall
23 greenhouse gas benefits of the program, because we were
24 able to design a program as an agency that worked for the
25 benefit of tribes, but also allowed us to have access to

1 some of that data on their land management and forest
2 carbon changes. So it's just an example of an area that
3 we've been able to kind of work collaboratively and get
4 that information.

5 BOARD MEMBER PACHECO-WERNER: Thank you so much.
6 Thank you. That's all my questions.

7 BOARD MEMBER TAKVORIAN: Thank you. And last I
8 think is Board Member Ortiz-Legg.

9 BOARD MEMBER ORTIZ-LEGG: Thank you, Madam Chair.
10 Thank you so much for the report. You can tell that
11 everybody is very interested in this topic. I mean, we do
12 cover a lot of land space in California, so we have tons
13 of opportunities. I would be remiss with not inviting you
14 down to Cal Poly San Luis Obispo, where our sustainability
15 and farming group are working with the Carbon Cycle
16 Institute on their Carbon Farm Plan. And so maybe you've
17 already been there. Maybe you're already working, but I
18 know that so much of their carbon farm plan, which looks
19 at both range, crop, riparian, all the various types of
20 lands that -- into helping us create climate action plans.
21 So I just wanted to put that invitation out.

22 Thank you.

23 BOARD MEMBER TAKVORIAN: Thank you very much.

24 Okay. So we're going to close this item now.

25 Thank you again to staff for a really important report and

1 one that I think we'll take us far in our climate change
2 work, and to the Board members for your great questions.

3 So we are -- we're going to move to open
4 comment -- open comment for those who wish to provide a
5 comment regarding an item of interest within the
6 jurisdiction of the Board that is not on today's agenda.
7 The clerk will call on those of you who have submitted a
8 request-to-speak card. And if you're joining us remotely,
9 and wish to comment, please click the "Raise Hand" button
10 or dial star nine now.

11 Thank you.

12 BOARD CLERK LEVRINI: Thank you, Ms. Takvorian.
13 We currently have six in-person commenters starting with
14 Evan Edgar.

15 EVAN EDGAR: Good afternoon. Evan Edgar, Edgar
16 Associates. I'm an engineer for anaerobic digestion and
17 stand alone for the urban sector. We make renewable
18 natural gas, which is carbon negative, both private and
19 public, and as part of SB 1383 to get 75 percent of the
20 organics out of the landfill for methane. This is a true
21 circular economy. We take the digestate from anaerobic
22 digestion. We make compost in carbon farm. And we make
23 the RNG to put back in the same truck. So we're carbon
24 negative today. We're net zero today. We're doing a
25 great job today if you phase out diesel and phase out

1 landfills.

2 I'm rejoiced that CARB withdrew the ACF for the
3 private sector, because the private sector can go on and
4 be carbon negative, be net zero, and be near zero on NOx.
5 And we don't have to recarbonize with ZEVs. ZEVs would
6 have been highly expensive and not appropriate for the
7 heavy-duty sector. And so we'll keep on going with the
8 wastewater, landfills, anaerobic digestion to fulfill the
9 mission to stay carbon negative and not to recarbonize
10 their fleet.

11 Eight thousand trucks are private sector and
12 carbon negative of minus a hundred. And it's a great
13 program. The other 8,000 public is sector. They're still
14 stuck with heavy-duty. And when the advanced clean fleet
15 was adopted two and a half years ago, they're supposed to
16 be public sector on the future of biomethane. It never
17 happened. What happens to biomethane? We're supposed to
18 put it in a PUC pipeline and take it to Fresno or some
19 place. We make biomethane on-site, our own use, either to
20 be carbon neutral or to make RNG. So when is that
21 workshop?

22 The big question is affordability is coming up.
23 And what we're doing now is very affordable, with the
24 garbage rate is about 35 to 40 bucks a household per month
25 for the three-car system for 1383. The second we do zero

1 emissions in public sector with zero waste, we're talking
2 about over a hundred bucks a ton per household per month.
3 So it's going to triple the rate. So in today's world of
4 affordability, let's have the public sector stay on RNG,
5 and I look forward to the workshop that never happened.

6 BOARD CLERK LEVRINI: Thank you.

7 Next speaker is Pascale Warren.

8 PASCALE WARREN: Good morning, Chair Randolph and
9 members of the Board. My name is Pascale Warren. And I'm
10 here on behalf of the Sac Metro Air District. First, I
11 want to thank Councilmember Guerra who's also one of our
12 Board members for campaign our Clean Cars 4 All program.

13 The Sac Metro Air District has run the most
14 comprehensive Clean Cars 4 All program in the state,
15 because we have built it around the culture of customer
16 service. We offer mobility options beyond just rebates
17 for electric vehicles. Our program includes home and
18 public chargers. Our program includes home and public
19 charging, electric bikes, car sharing, and transit. Soon,
20 we will also be offering zero-emission motorcycles and
21 even more flexible charging options.

22 We believe this holistic model is key to
23 achieving a new paradigm of mobility, one that is built on
24 strong consumer service -- consumer protection measures
25 and local partnerships. These partnerships make our Clean

1 Cars 4 All program stand out. The relationship puts our
2 local utilities and transit, dealership, e-bike vendors,
3 charging network providers, and numerous community based
4 organizations allow us to adapt Clean Cars 4 All to meet
5 community needs and amplify impacts while removing
6 barriers.

7 Moving funds to CC4A and sustaining funding is
8 absolutely necessary to build on these efforts and create
9 a lasting shift to clean transportation solutions. The
10 Sac Metro Air District has and will continue to
11 collaborate with other program administrators to offer
12 complementary services, such as financing assistance, and
13 scale up benefits to our participants whenever possible.
14 We believe that facilitating better integration between
15 Sac Metro CC4A and the statewide Drive Clean Assistance
16 Program would ensure that all participants seamlessly
17 access all services.

18 Lastly, we believe the vehicle scrap requirement
19 hinders participation. We note that the state has never
20 asked of EV rebate recipients to scrap a vehicle, and that
21 the statewide e-bike incentive program also lacks a
22 scrapping component. Thus, Clean Cars 4 All should be no
23 different. Thank you for the opportunity to make these
24 remarks.

25 BOARD CLERK LEVRINI: Thank you.

1 Vitaliy Arnaut.

2 VITALIY ARNAUT: Good morning, everybody. My
3 name is Vitaliy Arnaut. One of the owners of the two
4 local dealerships here in Sacramento and Folsom. So one
5 of the dealerships that we have is in South Sacramento.
6 And I wanted to talk about Clean Cars 4 All program.

7 We believe that it's a great program, especially
8 for those that have low income and that live in
9 disadvantaged areas. This program -- we see the need for
10 this program on an everyday basis. So, at our dealership,
11 we have at least 250 credit applications from the
12 consumers that make less than \$40,000 a year. And it's
13 devastating to see that most of them don't qualify for a
14 good electric vehicle. So, they -- they're forced to
15 either buy a regular vehicle that is older and high miles,
16 but they don't even have enough down payment. And a lot
17 of times they have to go to, you know, buy here, pay here
18 places, and then you know how that goes.

19 So I think there's a huge need for CC4A. And
20 also there's not a problem that we see with our program
21 that it takes way too long to get the customer approved,
22 60 to 90 days. That is absolutely unacceptable. It
23 cannot work, because those customers they work every day.
24 Their car breaks down, they need a car now, so they cannot
25 even use that program.

1 So we, as you know, experts in that space at the
2 dealership, we can get those customers prequalified within
3 minutes. We use currently IRS Clean Energy program, which
4 is great help for our customers. And a lot of those
5 customers that couldn't qualify for a vehicle thanks to
6 that program do qualify, so we would like to offer, you
7 know, our help to maybe tweak the system so we can go
8 those customers approved faster.

9 Thank you.

10 BOARD CLERK LEVRINI: Thank you.

11 Afrack Vargas.

12 AFRACK VARGAS: Good afternoon. My name is
13 Afrack Vargas. I'm with K Street Consulting. I'm a
14 public affairs consultant, I'm a lobbyist. I am
15 working -- I do some work to support the work that Vitaliy
16 is doing, who is a private company owner, private business
17 man. He's not the president of an association. He wasn't
18 recruited to be here. Heck, his stores aren't even yet
19 part of the Clean Cars 4 All program. He's looking
20 forward to being an approved vendor this summer, and he's
21 still looking to -- one thing he didn't mention is to
22 expand his business. So he is an expert in this
23 demographic that qualifies.

24 And given what is probably going to happen at the
25 federal level with regards to that \$4,000 EV credit, now

1 is the time for you to respectfully continue this program,
2 especially in these districts. These are, of course,
3 identified for a reason and Vitaliy is making his business
4 here. He is making this investment and he is an expert in
5 this demographic. And unfortunately, you know, about the
6 250 people that come to qualify to try to purchase a car,
7 many in this demographic who this is the first time
8 they've ever come to a dealership to purchase. They've
9 never done things like organize their taxes and their
10 employment records. And this is the first time they
11 experience it, so oftentimes they're working as kind of
12 like financial planners, supporting, helping them,
13 organize and letting them know.

14 So we really, really respectfully request that
15 you continue this program, especially in light that the
16 IRS credit is probably going to go away. There's going to
17 be a lot of confusion in this area and we would really
18 like to work with you, with your staff. We'll work with
19 the local air board to share Vitaliy's vast experience in
20 this area. And we respectfully request that you continue
21 to fund this program.

22 Thank you very much.

23 BOARD CLERK LEVRINI: Thank you.

24 Richard Falcon.

25 RICHARD FALCON: There's a button there. Nobody

1 told me about the button. I'm here to advocate for CARB
2 to move funds to the California Clean Cars 4 All Program,
3 and especially within the Sacramento Air Quality
4 Management District, a pivotal initiative that not only
5 addresses environmental concerns, but also promotes equity
6 in public health.

7 In Sacramento, since the program's inception, we
8 witnessed tangible benefits. While the program faced
9 challenges in meeting the participation goals, it has
10 still facilitated replacement of numerous high-polluting
11 vehicles with cleaner alternatives. This transition has
12 contribute to improved air quality and reduced greenhouse
13 gas emissions in our community.

14 Statewide, Clean Cars 4 All has, as you know,
15 (inaudible) Californians with approximately 88 percent
16 (inaudible) populations, low-income and disadvantaged
17 communities. Notably, the program has become -- has been
18 effective in reaching Latinos communities. For instance,
19 I understand that in the San Joaquin Valley, targeted
20 outreach efforts have led to significant participation
21 from Latino residents, demonstrating the program's
22 capacity to serve the most impacted by
23 transportation-related pollution.

24 Furthermore, Clean Cars 4 -- Clean Cars 4 All
25 addresses multiple barriers to clean vehicle adoption. By

1 offering incentives, the Program makes zero-emission
2 vehicles accessible to families who might otherwise find
3 them financially out of reach. It also provides support
4 for home charging infrastructure or prepaid charging cards
5 ensuring that participants can effectively utilize new
6 vehicles.

7 In conclusion, Clean Cars 4 All is more than an
8 environmental program, it is a catalyst for social equity,
9 economic relief, public health improvement. Continued
10 investment in Clean Cars 4 All is essential to ensure that
11 all Californians, regardless of income or background, can
12 participate and benefit from our State's transition to a
13 cleaner, more sustainable transportation future.

14 Thank you for your time.

15 BOARD CLERK LEVRINI: Thank you.

16 Kimberly Burr.

17 KIMBERLY BURR: Hi. Thank you. My name is
18 Kimberly and I'm from Sonoma County. And I want to just
19 thank you all for your very important work. I really,
20 really support all the stuff that you're doing. My
21 concern is climate change and I'm familiar with the
22 International Panel on Climate Change's recommendations.
23 They basically call out that not only do we have to reduce
24 global emissions, we have to sequester huge, vast amounts
25 of CO2 and other greenhouse gases. And they also call

1 out -- their amazing cadre of scientists have pointed out
2 that trees are so important to the equation. And so they
3 have actually said that we should be saving all our
4 forests and growing more.

5 So I feel like that there -- maybe we could put a
6 lot more emphasis on that in the work that we're doing at
7 the State level. The analysis that I've seen, and I'm not
8 a scientist, so I probably got it wrong in some ways, but
9 doesn't account for all the other -- the inputs of
10 removing trees. There's a lot of inputs that go into
11 logging, and thinning, and fuel reduction. And so, I
12 would encourage that these equations look beyond just an
13 aerial view, but actually look at, you know, what are some
14 of the other contributions to the climate problem that
15 come from big logging projects.

16 And I know the federal government owns a lot of
17 our acres of forests, but private ownership in California
18 is 40 million acres are forested in private ownership.
19 And that is something the State has some say over and can
20 incentivize, you know, the growing of these forests. So I
21 encourage you guys to (inaudible) -- to say, but thank you
22 all for listening. And thank you. I'm sorry you had to
23 stay late, but thank you all.

24 BOARD CLERK LEVRINI: Thank you.

25 We currently have three commenters with their

1 hands raise in Zoom, starting with Brian Kolodji, Thomas
2 Becker, and Kathy Saechou. Brian, I have activated your
3 mic. You may unmute and begin.

4 BRIAN KOLODJI: I -- can you -- I hope you can
5 hear me. My name again is Brian Kolodji. I'm with
6 Kolodji Corporation and I have seven direct air --
7 enhanced nature-based direct air capture patents, and we
8 have built these facilities -- three facilities in Kern
9 County California, almond orchards, where we're showing
10 great success. The University of California and USDA
11 published articles in Agronomy Society of America, where
12 we -- our target is to capture 10 tons of CO2 per year per
13 acre, and with a million tons of -- a million acres of
14 almond crop, we're targeting hopefully a capture of 10
15 million tons a year, which is exceeding the Governor's
16 target for carbon capture using trees by enhancing the
17 biosphere of crops.

18 And we again are looking for CARB to lead the way
19 by allowing greenhouse gas capture with biosequestration
20 using crops by enhance -- using -- and supporting enhanced
21 nature-based technology as promoted by U.S. DOE after 40
22 years of research showing these -- this data, and USDA
23 publications by Dr. Bruce Kimball.

24 So I will send my comments in writing again with
25 copious backup documents, and hoping that greenhouse gas

1 capture and the permanence of it is doc -- is allowed with
2 CARB's greenhouse gas calculators. Currently, we're -- we
3 actually were funded by CARB -- not CARB, but by
4 California Department of Food and Agriculture. And we're
5 looking for additional funding. And we need -- we need
6 the support by CARB and biosequestration as promoted in
7 their Scoping Plan.

8 Again, thank you for your time and for listening.
9 Brian Kolodji with Kolodji Corps. Bye-bye.

10 BOARD CLERK LEVRINI: Thank you.

11 Thomas Becker, I have activated your mic. You
12 may unmute and begin.

13 THOMAS BECKER: Hi. Can you hear me?

14 Hello.

15 BOARD CLERK LEVRINI: Yes.

16 THOMAS BECKER: Yeah. Okay. Today's Senate vote
17 ends the ACC II Regulation. CARB Board and staff
18 intentionally refused to prepare an analysis of reducing
19 VMT by 50 percent as and alter -- as an alternative to the
20 ACC II Regulation. Reducing VMT by 50 percent from 2014
21 baseline would achieve a greater result than what the ACC
22 II would have achieved. CARB appears to have violated
23 CEQA by intentionally refusing to analyze alternatives to
24 the ACC.

25 It appears CARB Board and staff intentionally

1 refused to prepare analysis of alternatives for the
2 purpose of obstructing alternatives from being considered.
3 This appears to have been done to thwart any challenge to
4 the ACC II Regulation. In short, there are alternatives
5 to the ACC II Regulation. It appears CARB thwarted the
6 study of those alternatives to protect CARB's pet project,
7 and I certainly hope that this issue is presented to the
8 federal Department of Justice, so your activities in
9 thwarting alternatives can be investigated, because I
10 believe not only did it violate CEQA, it violated NEPA,
11 and it appears to have been done in order to basically
12 obstruct alternatives to ACC II from being even looked at,
13 and then the whole thing was submitted to EPA containing
14 what appears to be false and misleading information.

15 Thank you very much.

16 BOARD CLERK LEVRINI: Thank you.

17 Kathy Saechou, I have activated your mic. You
18 may unmute and begin.

19 KATHY SAECHOU: Good afternoon, CARB Board
20 members and staff. My name is Kathy Saechou with Valley
21 Vision. Valley Vision is a civic leadership organization
22 working towards livability and economic well-being for all
23 residents in the greater Sacramento region. On behalf of
24 Valley Vision, we express our support for continued
25 funding and enhanced effectiveness of the established

1 Clean Cars 4 All Program in Sacramento.

2 As implemented in the Sacramento region, Clean
3 Cars 4 All is currently the most comprehensive program,
4 offering various clean mobility options. The Driving
5 Clean Assistance Program has similar goals and provides
6 Clean Cars 4 All administration in areas surrounding
7 Sacramento County, but also financing assistance, which
8 provides a no-scrap option and low interest rates
9 statewide, including within Sacramento County.

10 Currently, program participants in Sacramento
11 County who would like financial assistance need to enroll
12 in both programs. It is currently difficult for
13 applicants to navigate both programs, especially since
14 Clean Cars 4 All grants have liquidation deadlines and
15 securing equitable financing may take months. We also
16 have seen that vehicle scrap requirements are a barrier to
17 program participation.

18 For these reasons, we urge CARB to consider
19 adding flexible liquidation and expenditure deadlines for
20 participants pursuing the two programs to allow sufficient
21 time to complete both. We also ask that CARB facilitate
22 information sharing and aligning eligibility requirements
23 between both programs, so participants can seamlessly
24 access all of the services CARB is funding.

25 We ask that CARB work with the Legislature to

1 ensure consistent funding for both of these programs into
2 the future and to avoid any lapse in operation. This will
3 help yield widespread adoption of clean mobility options
4 in all of our communities.

5 Thank you for the opportunity to comment.

6 BOARD CLERK LEVRINI: Thank you, Kathy. And that
7 concludes our commenters for open comment.

8 BOARD MEMBER DE LA TORRE: I'd like to make some
9 comments on some of the public comments that were made
10 regarding Clean Cars 4 All going to action. It's not on
11 the agenda, so -- but I would like to just read out our
12 resolution from November on our (inaudible) -- on number
13 8. This is the mobility plan resolution from back in
14 November that this Board approved, "Delegating authority
15 to the Executive Officer or their designee to make
16 adjustments, corrections, updates and modifications to the
17 projects included in the proposed FY 24-25 funding plan
18 consistent with Board direction."

19 "Draft -- skipping ahead a little bit. "Draft,
20 negotiate, amend, extend, execute, and terminate grant
21 agreements." Ending a little further within item number
22 8, "Allocate funding received from new sources to augment
23 project categories authorized in the funding plan. Scale
24 back projects, if needed." So that's on number 8.

25 And then in the second, "Be it further resolved,

1 that in the proposed FY 24-25 funding plan with provisions
2 to make modifications where necessary and shift -- or
3 shift funding as needed."

4 I think this Board was very clear. We know going
5 into the new fiscal year there's zero money for these
6 programs coming from the Capitol. And so, it is time that
7 we make sure that the Clean Cars 4 All programs in South
8 Coast Air District and (inaudible) Air District.

9 Although, they're the newest program, so they're just --
10 absolutely, that's why I'm mentioned it. Bay Area and San
11 Joaquin Valley, which have run out of funds in this fiscal
12 year, that we, staff, whatever brings -- bring it back, so
13 we can have that follow-up conversation that we discussed
14 back in November, because it's come to pass. Here we are.
15 Thank you.

16 CHAIR RANDOLPH: Okay. Yes.

17 BOARD MEMBER GUERRA: Thank you. I think my
18 colleague was very eloquent in speaking on what we did
19 back in November. And I concur with those comments as
20 well. I want to -- want to respond to some of the
21 concerns that I heard through the public comment. And
22 one, to recognize how there is a willingness to serve
23 people in South Sacramento. And where we started Clean
24 Cars 4 All was in South Sacramento in our AB 617 zone.
25 And I -- what -- how timely it is. I don't know if it was

1 coordinated that way, but looking at our first item, which
2 was our ability to look at the toxic pollution report, and
3 we're able to actually narrow it down to the AB 617 zone,
4 which has -- you know, which has the cancer rates, and the
5 risk of cancer rates.

6 And so to me, this is -- the fact that we had
7 Valley Vision and the Clean Air Partnership of Sacramento
8 submit a letter to me today about this issue of Clean Cars
9 4 All, and its funding, and the conflicting programs, I
10 think it's something that needs to be elevated. Those
11 comments came from Breathe California, Sacramento region,
12 Valley Vision, not only Sac Metro Air District, but the
13 Feather River Air District, the Yolo-Solano Air District.
14 And to me, that tells me that, you know, that I'd like to
15 see a schedule, something scheduled to discuss this, so
16 that the public can engage in this. And at the very
17 least, very least recognize that this Board in November
18 did give the Executive Officer authority to respond to
19 these concerns.

20 So, one, I want to make sure that that -- that
21 that's identified and I want to thank the -- all the
22 constituents of the Sacramento Valley that came in to
23 speak during public comment on that issue.

24 The second thing I'd -- that was mentioned in
25 public comment, and for the Executive Officer as well, is

1 we did discuss biomethane as a component when we passed
2 the ACF. There's been discussions by staff about when
3 we're going to have a workshop. I think it's important
4 that we identify the timing of that as well. I'm very
5 proud about the work that the Sacramento Sewer District is
6 doing on biomethane capture and looking at non-combustion
7 sources, such as hydrogen production to look at how do we
8 really maximize, you know, our biomass and biomethane, as
9 a -- as a tool here as well.

10 So those are my two comments, Chair, and I would
11 appreciate the -- a response from our Executive Officer to
12 the constituents who came out today. Thank you.

13 CHAIR RANDOLPH: Okay. We are now breaking for
14 closed session, as authorized by Government Code section
15 11126(e). And it has indicated in the public notice for
16 today's meeting. And after the closed sessions, the Board
17 will reconvene to adjourn.

18 (Off record: 12:27 p.m.)

19 (Thereupon the meeting recessed

20 into closed session.)

21 (Thereupon the meeting reconvened

22 open session.)

23 (On record: 1:12 p.m.)

24 CHAIR RANDOLPH: The Board has concluded it's
25 closed session. No reportable action was taken and this

1 meeting of the California Air Resources Board is
2 adjourned.

3 (Thereupon the California Air Resources Board
4 meeting adjourned at 1:13 p.m.)
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

I, JAMES F. PETERS, a Certified Shorthand Reporter of the State of California, do hereby certify:

That I am a disinterested person herein; that the foregoing California Air Resources Board meeting was reported in shorthand by me, James F. Peters, a Certified Shorthand Reporter of the State of California, and was thereafter transcribed, under my direction, by computer-assisted transcription;

I further certify that I am not of counsel or attorney for any of the parties to said meeting nor in any way interested in the outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of May, 2025.



JAMES F. PETERS, CSR
Certified Shorthand Reporter
License No. 10063